

**From:** [Schneider, Justin](#)  
**To:** [Koval Charles](#)  
**Subject:** RE: Firestone accident interview  
**Date:** Tuesday, July 3, 2018 11:10:13 AM  
**Attachments:** [Schneider combined.pdf](#)

---

Charles,

I have "no comments to make" on the attached transmission of my interview.

Thank you,

Justin

---

**From:** Koval Charles [REDACTED]  
**Sent:** Friday, June 8, 2018 1:51 PM  
**To:** Schneider, Justin [REDACTED]  
**Subject:** Firestone accident interview

Here is your Firestone accident interview for your perusal.

**CONFIDENTIALITY NOTICE - THIS E-MAIL TRANSMISSION MAY CONTAIN INFORMATION THAT IS PRIVILEGED, CONFIDENTIAL, PROPRIETARY, SUBJECT TO COPYRIGHT, AND/OR EXEMPT FROM DISCLOSURE UNDER APPLICABLE LAW. IT IS FOR THE USE OF INTENDED RECIPIENTS ONLY.** If you are not an intended recipient of this message, please notify the original sender immediately by forwarding what you received and then delete all copies of the correspondence and attachments from your computer system. Any use, distribution, or disclosure of this message by unintended recipients is not authorized and may be unlawful.

[Click here for Anadarko's Electronic Mail Disclaimer](#)