

DCA-12-MR-009

**CSX Transportation Freight Train
Derailment with Non-railroad
Fatalities**

Ellicott City, MD

August 21, 2012

**Interview of CSX Division Engineer
on August 24, 2012**

**48 pages, including cover & errata
sheet**

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

* * * * *

Investigation of:

*

*

CSX TRAIN DERAILMENT

*

AUGUST 20, 2012

*

Docket No.: DCA-12-MR-009

ELLCOTT CITY, MARYLAND

*

*

* * * * *

Interview of: RANDY DANIELS

Division Engineer, CSXT

Friday,
August 24, 2012

The above-captioned matter convened, pursuant to notice.

BEFORE: RICHARD HIPSKIND
Accident Investigator

APPEARANCES:

RICHARD HIPSKIND, Accident Investigator
Chairman, Track and Engineering Group
National Transportation Safety Board
490 L'Enfant Plaza East, S.W.
Washington, D.C. 20594
hipskir@ntsb.gov

FRANK CROWTHER, Track Safety Inspector
Federal Railroad Administration
Region 2
Baltimore, Maryland

LARRY KISH, Deputy Regional Administrator
Federal Railroad Administration
Region 2
Philadelphia, Pennsylvania

BRIAN HONTZ, Regional Administrator
Federal Railroad Administration

RICK INCLIMA, Director of Safety
Brotherhood of Maintenance of Way Employees
Division

<u>ITEM</u>	<u>I N D E X</u>	<u>PAGE</u>
Interview of Randy Daniels:		
By Mr. Hipskind		5
By Mr. Crowther		25
By Mr. Kish		29
By Mr. Inclima		31
By Mr. Hipskind		36
By Mr. Kish		43

I N T E R V I E W

1
2 MR. HIPSKIND: My name is Richard Hipkind and I am the
3 Track and Engineering Group Chairman for NTSB for this accident.
4 We are here today on Friday, August 24th, 2012, to conduct an
5 interview with Mr. Randy Daniels, Division Engineer, who works for
6 CSX Transportation. This interview is in conjunction with NTSB's
7 investigation of a train derailment with non-railroad fatalities
8 on CSX's Old Main Line Subdivision in Ellicott City, Maryland on
9 August 20th, 2012. The NTSB accident reference number is DCA-12-
10 MR-009.

11 Before we begin our interview and questions, let's go
12 around the table and introduce ourselves. Please spell your last
13 name and please identify who you are representing and your title.
14 I would remind everybody to speak clearly so we can get an
15 accurate recording. I'll lead off and then pass off to my left.
16 Again, my name is Richard Hipkind. The spelling of my last name
17 is H-I-P-S-K-I-N-D. I am a railroad accident investigator and the
18 Track and Engineering Group Chairman for the NTSB on this
19 accident.

20 MR. CROWTHER: Frank Crowther. Last name spelled C-R-O-
21 W-T-H-E-R. I'm with the Federal Railroad Administration, Region
22 2, headquartered Baltimore, Maryland, and I'm a track safety
23 inspector.

24 MR. KISH: Larry Kish, K-I-S-H. I'm with the Federal
25 Railroad Administration. I'm a Deputy Regional Administrator for

1 Region 2, Philadelphia.

2 MR. HONTZ: My name is Brian Hontz, last name spelled H-
3 O-N-T-Z. I'm FRA Regional Administrator here as an observer
4 today.

5 MR. INCLIMA: My name is Rick Inclima, I-N-C-L-I-M-A,
6 Director of Safety for the Brotherhood of Maintenance of Way
7 Employees Division.

8 MR. DANIELS: Oh, Randy Daniels, Division Engineer, CSX
9 Transportation, Baltimore Division.

10 MR. HIPSKIND: Okay. Mr. Daniels, do you mind if --
11 first name basis; do you mind if I refer you to as Randy?

12 MR. DANIELS: That's fine.

13 MR. HIPSKIND: Okay. Do we have your permission to
14 record our discussion, our interview, with you today?

15 MR. DANIELS: Yes, you do.

16 MR. HIPSKIND: And do you wish to have a representative
17 with you at this interview?

18 MR. DANIELS: No, I do not.

19 MR. HIPSKIND: Okay. Let's proceed.

20 INTERVIEW OF RANDY DANIELS

21 BY MR. HIPSKIND:

22 Q. Randy, give us -- you've been present. You kind of know
23 the drill. You've been here on some of the other interviews, all
24 the other interviews. Give us kind of a synopsis of your work
25 experience and take us up to your present job and let us know how

1 long you have been in that position.

2 A. I started in 1981 with one of the CSX predecessor
3 railroads, B&O Chessie System. My first 3 years on the railroad I
4 worked various BMW related positions: trackman, foreman,
5 equipment operator. About 1983, '84, I was promoted to production
6 supervisor, so I worked production supervisor. In 1986, I came to
7 Baltimore as an assistant roadmaster. About -- and I worked in
8 Baltimore Terminal, Baltimore area. About 1990, I went to
9 Hanover, Pennsylvania as a roadmaster.

10 In 1998, I became staff engineer in Baltimore, Maryland.
11 In '99, I was transferred to Louisville, Kentucky and was regional
12 staff engineer in Louisville, Kentucky from 1999 to 2004. In
13 2004, I returned back to Baltimore as engineer of track with
14 responsibilities from Philadelphia to Richmond on our I-95
15 corridor. And 1997, I went to Connellsville on the west end of
16 the Baltimore Division and was engineer of track responsible for
17 the railroad between Cumberland and New Castle. And --

18 Q. '97 or 2007?

19 A. 2007. I'm sorry. I lost a decade.

20 UNIDENTIFIED SPEAKER: It happens.

21 MR. DANIELS: And then -- and last year, 2011, I was
22 promoted to division engineer, Baltimore Division, and that would
23 put me on as division engineer -- just over 1 year as division
24 engineer in Baltimore.

25 As division engineer in Baltimore, I am responsible to

1 oversee all maintenance of way engineering functions. That could
2 include or would include maintenance of the track and structures.
3 It could include and does include responsibility to oversee, at a
4 high level, track inspections; developing programs, capital
5 programs, approving capital programs; ensuring that all the
6 members of my team are complying with rules and guidelines that
7 they're responsible to comply with.

8 BY MR. HIPSKIND:

9 Q. And, Randy, in terms of managing, planning, testing,
10 specifically rail tests and geometry tests, tell us how you fit
11 into those kinds of planning.

12 A. Well, for planning, with the geometry tests and rail
13 tests I don't actually get involved with the planning. That's not
14 part of what I develop. What does happen, and specifically with
15 rail tests, is that our contractor -- and I heard Brad say it's
16 Harsco now, but in my knowledge it's ZETA-TECH -- develops some
17 recommendations for CSX for our testing frequency, and my
18 responsibility is to then review those recommendations, not with
19 the ability to make them less stringent, but based on my knowledge
20 of the division to ask for them to be more stringent. So if they
21 recommend 120-day test and I think it should be a 90-test, then I
22 can ask that to be done.

23 Geometry testing is scheduled on a frequency basis. It
24 is no less than three times a year, sometimes four or five, but
25 our goal is to do it at least three times a year with our car, and

1 then subsequent other tests with FRA vehicles based on their
2 schedule, and I have no input on when they test.

3 Q. Okay. What are your thoughts about -- you know the Old
4 Main Line has been on a 31-day test cycle. What do you think
5 about that? Is that too challenging, or what signal does that
6 send to you?

7 A. A 31-day test is always challenging from a performance
8 standpoint for us to actually execute that, but Owen has done a
9 very good job, as has every other roadmaster that's been asked to
10 do that, and it's important that we make those tests happen and
11 get good quality tests. What it does indicate is that it's more
12 important for me to develop a very good rail program related to
13 that location with the ultimate goal of reducing that test
14 frequency.

15 Q. And just for me to put it maybe in some simpler terms,
16 if you're having some issues with rail wear in curves, it's
17 important that the test data key you in on that and then you have
18 to more or less try and stay one step ahead with rail replacement?

19 A. I guess you --

20 Q. Or is it more complicated?

21 A. Well, it's more complicated than that. We get data from
22 our geometry cars that give us rail wear measurements, and Owen
23 was very good at explaining that. That's just a piece of the
24 puzzle. You have to take rail test data. You have to take
25 physical measurements. As my roadmasters and engineers of track

1 start to develop the program, which that's where it all starts, it
2 starts at that level. They have to make recommendations
3 especially with something like rail because I cannot personally
4 walk every curve every year. That can't happen.

5 I can see what they're asking and use the rail plots to
6 try to make sure we're in the right direction, but it's their --
7 it's at that level to recommend, and we develop that information
8 using a lot of facts and data and input to determine the right
9 rail. We have specific rail wear as one of the criteria, rail
10 wear measurements that we use for different sizes of rail, that
11 will help us to drive rail replacement.

12 Q. But in all of that the -- when the rail test starts
13 giving you defects or starts clustering defects along with the
14 rail wear data off the geometry car, those are your two
15 indicators, two key indicators?

16 A. Yeah. Rail wear and rail defects would be the primary
17 drivers, yes.

18 Q. Okay. Well, the other big thing that all of us know
19 about and we've been talking about is how do you -- when you get
20 the rail wear data off the geometry car, what do you do -- what
21 helps you to understand that you're getting near a critical wear
22 measurement?

23 A. Owen shared that we get the data through rail plots.

24 Q. Yes.

25 A. So, again, that is only a place to start. You have to

1 field verify your rail. So you have to know that if it says it's
2 132-pound rail with a half-inch rail wear, it is that, because it
3 is a technical system and everything has to be field verified.
4 Once you determine by field investigation what you have -- again,
5 we're programming our work at least a year out, and that's kind of
6 the way -- what we're doing this year right now programming is for
7 next year and maybe even some stuff for the following year because
8 I'm looking -- personally that's what I do. I'm looking even more
9 than 1 year out. I want to know what my plans are beyond that.

10 But as we look at that data, we field verify it, we try
11 to predict how much we think it might wear. So if it's at a half
12 inch right now and the threshold is 5/8 inch when our guidelines
13 say that rail should be considered for replacement at that point,
14 do I believe that that rail is going to wear that extra amount by
15 the time we get to our rail replacement next year or do I think
16 it's not? And then that's also why we have a change order
17 process, because if we predict wrong, we can easily make a change.

18 Q. Well, let me stay with the rail wear limits. Are you
19 familiar with any policy or standard plan, standard procedure,
20 guideline, that CSX has in terms of if a certain weight of rail
21 gets to a certain wear tolerance that it's time -- and I don't
22 want to use the word condemnable, but it's time that a certain
23 action has to take place?

24 A. There are guidelines -- CSX has a set of guidelines that
25 tell us when we should start to consider that rail for

1 replacement, and that will bring that rail into -- you know, into
2 the program for the upcoming year, yes.

3 Q. Okay. And let's go back with you receive a lot of data,
4 and I guess you're always trying to stay one step ahead knowing
5 that it takes time for capital improvement and approvals and for
6 the stuff to actually show up and go in the track, right?

7 A. That's correct.

8 Q. What's a ballpark figure of the normal process for
9 something like that to happen? I understand anything can happen
10 on an expedited schedule, and we talked about that phrase earlier,
11 but what should I understand is just the normal lead process on
12 some of those decisions?

13 A. And I can only -- I'm sure that each division engineer
14 does theirs just a little bit different, so what I'll share with
15 you is what I've asked the people that work for me to do.

16 Starting in the winter of last year I had asked all my
17 engineers of tracks and roadmasters that I want every curve walked
18 to understand what the field measurements of those curves are.
19 That's what I did when I was an engineer of track and I've asked
20 them to do that for me. Based on those field observations and
21 then some verification with the rail plots, they then input
22 requests into the -- I don't remember what the acronym is, but
23 it's a system that collects our requests.

24 Now, they also put every request in that is -- that they
25 feel is nearing the threshold that we have set up at CSX. That

1 doesn't mean it's met the threshold, that doesn't mean it will
2 meet the threshold, but it's -- and sometimes some stuff that's
3 put in there is just a placeholder. It may roll over to the next
4 year, but it's there because it's getting close and further
5 evaluation determines it's okay.

6 So at that point -- once that's all done, and that has
7 to be done somewhere around June or July of the year so all the
8 information's in for all our program requests for next year, the
9 division engineer -- I have to go to Jacksonville and we have a
10 meeting. In this case it just happened a week or so ago. And we
11 talk about at that meeting ties and out-of-face rail and start to
12 go over the curve patch, because a curve patch is such a large
13 program and it's difficult to understand versus rail ties. We go
14 over those main things and then we go over curve patch and we
15 start to evaluate the things that our computer system says are
16 valid. So we ask for things we see. The computer system says
17 here's what the computer says we should get, and then the answer
18 is somewhere in the middle. And then at that point the -- you
19 know, they continue to evaluate it. The money's allocated. The
20 work is programmed. And then next year with the program, after
21 it's created, the work will happen next year.

22 And so, you know, is it possible that -- we are
23 programming right now in the Old Main Line rail for next year or
24 the Capitol Sub rail won't be till September/October next year.
25 It just depends on the gridding process, when they actually

1 schedule it, because that's a very complicated process to
2 schedule, all the subdivisions, and we have certain guidelines and
3 rules say how you grid the teams so that they don't interfere with
4 each other. So, you know, next year will happen. It just may --
5 the variability is when because of scheduling.

6 Q. But in general terms at least a year lead time?

7 A. In general terms I would say by the time we request it
8 till the time it happens it's, you could say, a year. It's a
9 little less to a little more, but you could say average of 1 year.

10 Q. And in that year's lead time you may get in on the early
11 part of the scheduling or you may get in on the latter part of the
12 scheduling, talking about the rail gang and the rail trains and
13 laying out the rail to do the work?

14 A. That's correct.

15 Q. Okay. And I don't want to oversimplify this, but in all
16 the datastreams that come into you about rail wear/rail plots,
17 does it really come down to kind of worst first or that those
18 curves or those areas with the highest degree of wear, they're
19 probably going to bubble to the top?

20 A. That's where it starts, but that's not necessarily where
21 it finishes. That's why we have a change order process. You
22 know, if there's a curve that based on our experience bubbled to
23 the top because of rail wear, but my experience says, I've been
24 doing this for a long time, that's good rail, it's not going to go
25 anywhere and we can wait on that curve for a year, I would rather

1 have this curve, or maybe it's I got to have both curves. Because
2 Owen talked about trading and that does happen, but if it comes
3 down to I got to have both curves, that happens too.

4 Q. Okay. And tonnage and speed of operation are big
5 factors too, right?

6 A. Absolutely. Tonnage --

7 Q. I mean on the risk side of things?

8 A. Risk side. It's tonnage, speed, commodity, whether
9 there's passengers or not. I mean, all those things come into
10 play in consideration of what we do and where we do it.

11 Q. And in general terms, if you ask for rail replacement,
12 and I want to be clear about this, for the most part you're
13 getting new rail where you're changing out worn rail?

14 A. On a heavy tonnage main line we get new rail.

15 Q. Okay. And are there occasions where you're accepting
16 rail that's being cascaded down from other portions of the system?

17 A. Yes. If it's on a branch line or yard it's absolutely
18 normal practice to first position, second position, even third
19 position rail so we're moving it in a useful fashion into areas
20 with -- that it's appropriate to lay it.

21 Q. Okay. You know, and you've already heard and we've
22 talked about that this area that -- where we're looking at the
23 POD, the derailment footprint, that it was scheduled for a gang to
24 come in and be replaced, and the common phrase I always heard when
25 I was out there on the investigation is, well, it was next week.

1 Is that, in fact, correct or was it like next week or 2 weeks or
2 what --

3 A. No, it was absolutely -- the gang was -- the gang is
4 working at Jessup, Maryland this week and it was scheduled to move
5 to the Old Main Line Subdivision next week. So it would have
6 started on the subdivision on Monday. Now, it may have been
7 another week till it got to -- you know, depending on the
8 schedule, it may be another week till it got to the Ellicott City
9 location, but it was scheduled to be on the Old Main Line on
10 Monday.

11 Q. And so Owens' forces would have been prepping and
12 supporting that future activity?

13 A. His forces would be prepping and supporting that,
14 prepping and supporting the -- in the case of most roadmasters,
15 Owen being a normal roadmaster, they look forward to a curfewed
16 opportunity because that allows them to get much more stuff done
17 than they might normally do because the train traffic's not there,
18 so they can piggyback into the work that's going on and really
19 make a lot of things happen that would be more difficult with
20 higher train traffic.

21 Q. And, in general, those curfews when the rail gang gets
22 over here are, what, 5, 6 hours or more?

23 A. Old Main Line is probably 10.

24 Q. So you can get a lot done when that cooperation is made
25 with the operations and it allows you to do a lot of curve renewal

1 rail laying?

2 A. Yes, sir.

3 Q. Okay. In terms of the rail testing, you heard a lot
4 about that. Do you think -- from your vantage point do you think
5 that it is going like you would want it to? I'm talking about in
6 terms of manning the car, responding to the car, following up on
7 the data that comes from the car?

8 A. And you're -- just to clarify, you're talking about how
9 the roadmasters are handling --

10 Q. Correct.

11 A. -- that responsibility? You know -- yes, I think that
12 in general and almost 100% of the time our -- my roadmasters do
13 exactly what they're supposed to do and are very good at following
14 CSX guidelines.

15 Q. Okay. And you know we talked to Brad Spencer. In terms
16 of tracking or patterning of the defects, the size of defects, the
17 location of defects, is that something more that he looks into or
18 the input of data from those tests that ZETA-TECH looks into, and
19 what I'm getting at is how much are you involved with the analysis
20 of all that data, or does that fall to either Brad or ZETA-TECH?

21 A. The analysis -- the specific analysis for our testing
22 frequency, is that what you're talking about?

23 Q. Right.

24 A. Beyond getting to review that when ZETA-TECH provides it
25 to us, I'm not involved in that analysis at all.

1 Q. Okay. And in the time that you've been over here has
2 anybody communicated to you, hey, we've got a bad situation with
3 this curve or this area in terms of frequency of rail service
4 failures, broken rails, Sperry rail defects?

5 A. Specifically to the Old Main Line or anywhere on the
6 Baltimore division?

7 Q. No, let's just talk the Old Main Line. And specifically
8 let's think about Ellicott City, but if you have some other
9 experiences in other areas that's what I'd like to know about.

10 A. Well -- and specific to Ellicott City, no, but specific
11 to the Old Main Line, yes.

12 We have got -- you know, Owen had come to Kerry Nails
13 (ph.) and then, of course, chain of command, Kerry talked to me --
14 Kerry's the engineer of track over there -- and identified some
15 locations when Kerry first became engineer of track there, which
16 Kerry became engineer of track there when I became division
17 engineer. And I was able to get rail for some locations that he
18 had felt concern about and to take care of problems that we felt
19 were there. And it's not unusual, not only there, but anywhere,
20 to find a way -- if we on the division have a concern, to either
21 give it, you know, into Jacksonville in a change order to
22 authorize a change and change the program or get rail and lay it
23 ourselves. That is not unusual and happens a lot.

24 Q. Provided you have the material?

25 A. With -- we can get the material. I've not had -- I can

1 honestly say if I've needed it, I've not had problems getting it.

2 Q. Okay. Let's switch gears here a little bit. You've
3 been very helpful in our rail rebuild and our on-scene
4 investigation, and I think it's -- everybody knows that there's a
5 water issue, a drainage issue, on the bluff side of the railroad,
6 and why don't you talk about that and give me your thoughts? And
7 what I'm really asking out of you, Randy, is tell me what your
8 experience tells you in terms of the curve, curve-worn rail, the
9 track modulus, some of that stuff that we were looking at out
10 there.

11 A. Well -- and there is a drainage issue in that high side
12 of curve. The water is expected to drain westward to a pipe
13 that's up several hundred feet west of there, and --

14 Q. Closer toward the depot?

15 A. Away from the depot.

16 Q. Away from the depot?

17 A. Yeah. Actually the -- and we have worked in there
18 several times now to not only improve the drainage and correct the
19 conditions in the track, and we were planning to continue to do
20 that in this curfew, but, you know, in my experience it is a
21 condition that has to be addressed and monitored especially to,
22 you know, ensure that it doesn't result into a -- and, again, as I
23 asked Brad in his question about rail surface versus track
24 surface, the big concern for me is track surface where, you know,
25 you would have a surface condition that would cause a car to

1 derail because of that, a warp-off type situation, and that's not
2 what happened here.

3 Q. Well, let's talk railroad here on this point because I
4 want some discussion on this. What we're really saying here or
5 what I think -- I'll see if you agree. You feel more comfortable
6 if you've got a line or a curve that lays good, clean ballast, dry
7 and doesn't pump?

8 A. Absolutely correct.

9 Q. And part of that, if we lay on top of that kind of track
10 that if you have rail wear challenges, the long and short of it is
11 the rail's probably going to last longer if it's on some nice,
12 sturdy, stable, clean track?

13 A. I will agree with that, that conditions like we had at
14 Ellicott City could result in increased rail wear, yes.

15 Q. Okay. And then the flipside of that is it just becomes
16 more of a concern where you already have maybe some rail wear
17 challenges, limits that you're dealing with, managing, but then
18 when you throw into there a soft track modulus, some fouled
19 ballast, some drainage issues, some cross-filtration of water into
20 the subgrade, that just -- well, does that concern you?

21 A. It does concern me to the point that we would need to
22 consider a corrective action, yes.

23 Q. Okay. Well, here's one of the things that was going
24 through my head when we talked to Owen, and you correct me if I'm
25 wrong, if I misheard him, but I thought he said Dick, look, in the

1 spring of this year, 2012, in April, we had a surfacing -- a gang,
2 a tamper. He had access to a surfacing gang and I thought he
3 said, hey, we came all the way through the Ellicott City area. So
4 to put a fine point on it, do you think he surfaced that track in
5 and around where that derailment footprint and our tentative POD
6 was?

7 A. Yes. What I don't think he did is crib it.

8 Q. So that may have facilitated some of the conditions
9 coming back a little quicker and how we saw it?

10 A. That's correct.

11 Q. Okay. All right. And there were several spots out
12 there. I mean, there was a lot of track that looked and laid
13 great and was clean, but there were some locations that --
14 especially where some of the drainage issues along the bluff side
15 there were a couple of muddy spots out there?

16 A. Yes.

17 Q. Okay, and specifically maybe one in and around the
18 tentative POD area?

19 A. Yes.

20 Q. Okay. What -- let's talk a little bit about training.
21 I know you used an acronym REDI, R-E-D-I. Tell me a little bit
22 about that. What's the importance of that; what are your
23 thoughts?

24 A. Well, as we have a transition from our more experienced
25 tenured employees to a lot of less experienced, less tenured --

1 and not just managers, but contract employees; I mean the entire
2 workforce -- it was decided or determined that we needed a way to
3 help develop those people much faster to become ready to handle
4 responsibilities. So in a response to that the railroad created
5 what we call the REDI center or the Railroad Education and
6 Development Institute. It's in Atlanta, Georgia. It is one of
7 the most advanced training centers that I know of in the country
8 for railroad education and maybe the most advanced center. They
9 will train all crafts of the railroad, not just engineering, but
10 everyone. They can -- from an engineering standpoint they will
11 train track inspectors, welders, operators, bridge people, fall
12 protection.

13 We've just within the last few months came up with
14 something called Advanced Track Inspection. So after an inspector
15 has gone through the initial inspection class and spent a year or
16 two doing his job and actually gets some hands-on experience
17 understanding what they're doing, then they go back for more that
18 get them into stuff beyond -- you know, things that they might
19 have learned that they have questions about that they could learn
20 more.

21 Almost every aspect of what we do, the training center
22 touches and/or will provide special training if we think we need
23 that.

24 Q. So no problem getting your forces, your personnel, down
25 there for training?

1 A. Nope. I consistently ask my roadmasters for
2 recommendations and, above that, when I'm in meetings encourage
3 the employees, the rest of the guys, just to ask to go. And I can
4 honestly say that anyone that has ever asked has not been turned
5 down other than, you know, you can't go that week, you have to go
6 next week because of, you know, you're both track inspectors, you
7 both can't go the same week; you've got to go different weeks.
8 But I encourage them to go. The more they know, the better the
9 job they can do for me.

10 Q. Okay. And that kind of training is -- I'm certain
11 everybody would say is beneficial and it's ongoing, and probably
12 there are elements of reoccurring training depending on how long
13 you've been around and foremen, track inspectors probably end up
14 going back there. But that being said, how often are you able to
15 get with people who work for you to impart all your years of
16 experience, training, understanding of engineering principles to
17 them and just railroading in general to them? You're farther down
18 the path. You know a lot more. How do you get that transfer of
19 knowledge to some of your people who are frontline supervisors?

20 A. In my experience there's two kinds of people or two
21 kinds of managers: office managers and there's field managers.
22 And I hate to be in the office. I don't go in my office hardly at
23 all. I am out in the field with my managers all the time. I high
24 rail with them all the time, regularly. My -- CSX guidelines tell
25 me that I should get over my whole territory once a quarter. I'm

1 really close to doing it once a month, which is what an engineer
2 of track is expected to do, and I do that for just that reason, to
3 make sure that I can be with them, I can talk to them, they can
4 touch me, they can ask questions, they can feel comfortable with
5 me.

6 They understand I'm not going to -- you know, I'm going
7 to hold them accountable for what they're supposed to do, but they
8 don't have to be afraid of asking questions and doing their job,
9 because I encourage them to do that, and if they don't know, they
10 have my number, they ask. And not just the managers, but, you
11 know, everybody. I get regular phone calls from everybody, what
12 should I do in this case; help me with this situation.

13 You know, I'm a hands-on guy. I want to be out with the
14 people. You know, I think it's important that they not only hear
15 the technical stuff that I have to say, but they hear what I say
16 or the stuff behind it, because my expectations of everybody is --
17 and it's kind of a theory. It was something I came up with this
18 year and I stoled [sic] it, but I've asked everybody this year to
19 not do me any favors. And they ask, what do you mean don't do you
20 any favors? Well, don't do me a favor by doing something you're
21 not supposed to do. And then all of a sudden a light bulb goes
22 on, wait a minute, I got you.

23 And so my expectations of everybody is to support them
24 in what they need and teach them when they need taught and help
25 them and support them, and I think by doing that it works better.

1 Q. Do you think the track inspectors and the roadmasters
2 are putting slow orders on properly?

3 A. I certainly hope so.

4 Q. Well, I mean -- well, let me ask it a different way.
5 You said you've been active and you've been out with them. Have
6 there been occasions where you've had to bring to their attention
7 you need to do something here and until you get it done we need to
8 reduce the speed?

9 A. That's part of the education process. Yes, that happens
10 and that -- and it's because they -- they have good reasons for
11 not having slow ordered something, but that's where I have to
12 educate them as to why it requires a slow order. The expectations
13 are if it needs slow ordered, it will be slow ordered. The only
14 thing I ask them is once they put a slow order on, I need you to
15 have a plan of what you're going to do to get it off.

16 Q. Okay. But let's just cut to the chase. Fouled ballast
17 and places that may not meet a -- or exceed a specific FRA
18 threshold, those are always the questionable spots, right? If I
19 put a slow order on it, why do I say I've got it on there? If it
20 doesn't meet or beat some kind of FRA threshold, maybe I don't do
21 anything and maybe I just live with it. And it's not just this
22 railroad. We see this a lot of places and a lot of times, and it
23 is a topic of conversation, I'm sure, with FRA when they think and
24 talk about the regulation, and not just the regulation, but the
25 interpretation of the regulation. Do you care to share any

1 thoughts on all that?

2 A. Well, again, just dealing with that specific subject
3 with fouled ballast --

4 Q. Yes.

5 A. -- if a track inspector or a roadmaster feels it needs
6 slow ordered, then they need to and I would support them for slow
7 ordering it. Yes, I would ask questions. That's part of my
8 responsibilities: Why is it on? You know, what measurements did
9 you have? What are you going to do to fix it?

10 But never would I encourage them not to put it on. I
11 would go and use that as an educational opportunity, you know,
12 what they did. If it was absolutely improper, we'd go through
13 that. But most times that I found when any of the people working
14 for me put a slow order on, I wouldn't question any of it.

15 Q. Okay. All right. Well, let me turn this over to my
16 other Track Group members. Thanks, Randy, for everything that
17 we've talked about thus far.

18 MR. HIPSKIND: Frank?

19 MR. CROWTHER: Frank Crowther, FRA.

20 BY MR. CROWTHER:

21 Q. Randy, I had asked Owen earlier of his high railing of
22 like -- I don't know what the word I'm looking for -- how often he
23 goes and --

24 MR. HIPSKIND: Frequency.

25 BY MR. CROWTHER:

1 Q. Frequency. And so he said he got over his territory,
2 all of his territory, at least once every 2 weeks. And what would
3 be the frequency, if there is any, that is handed down --
4 instructions handed down to the engineer of tracks to get over his
5 territory?

6 A. The -- well, the roadmaster is -- you said, you know,
7 Owen gets over every 2 weeks. You didn't ask that question, but
8 that is his requirement, 2 weeks. And he also indicated many
9 times he gets over it every week.

10 Q. Right.

11 A. The engineer of track is required to get over his
12 territory a minimum of every 6 weeks. But his whole territory,
13 everything, the entire territory one end to the other, a minimum
14 of every 6 weeks.

15 Q. All right. And is there a requirement for him to
16 personally high rail along with the track inspector?

17 A. He should, and I have to check the guidelines exactly,
18 what it says, the wording, but he should spend time with the track
19 inspectors. That is part of his responsibility, yes.

20 Q. And the reason why I'm asking those questions is that
21 from what I saw when I arrived at the derailment scene there was
22 approximately four saturated subgrade spots between the station
23 and the west end of the ledge there, and they hadn't been there --
24 they were long-term. They had been there a while. And I'm just
25 kind of curious as to if everybody got over their tracks, you

1 know, how come they weren't taken care of in more of a permanent
2 manner than they had been.

3 A. And I can't specifically answer that, but I can say, you
4 know, we talked about it did rain before that. And although
5 subgrade doesn't get bad all of a sudden, it does get worse when
6 it rains, and we have had a unusually dry summer, so up until this
7 time it may not have appeared as bad as it looked at the time of
8 the derailment. And I do know that there were plans to work,
9 again, through all that area with equipment starting on Monday to
10 take advantage of the curfew.

11 Q. Right. And just to -- I guess to make it a little
12 clearer to me; Dick touched on it a little bit and -- like a
13 substandard of where your men look at a saturated subgrade and
14 they determine, well, there's no geometry, so there's no defect so
15 there's no slow order. And do they ever look at, like, there's
16 half of a defect and it's only going to get worse if I leave it
17 there the way it is, so if I put a defect on it, you know, and
18 report it to my supervisor, that it will get fixed quicker, I
19 guess is what I'm saying.

20 A. I don't know how to answer that. I can -- I mean I'm --

21 UNIDENTIFIED SPEAKER: Time out.

22 (Off the record.)

23 (On the record.)

24 MR. HIPSKIND: Okay, we're back on the record.

25 BY MR. CROWTHER:

1 Q. Randy, in the area of the derailment, when I got there
2 the day of the derailment, that night, I noticed that there was
3 three or four spots of fouled ballast, and in your prior testimony
4 you had told me that -- and I had learned from your roadmaster
5 that he had gotten over the territory, high rail and inspecting
6 it, and the track inspectors had, and I'm just kind of curious as
7 to why if this fouled ballast was there -- it seemed to me to have
8 been there a while, but nothing had been done to it to make it
9 better, to get the fouled ballast gone.

10 A. So the question?

11 Q. Well, the question is, you know, it's a defect, so why
12 hadn't it been reported? Because as an FRA inspector, when I
13 request the records, I don't see any notes that are handed to the
14 supervisor by the track inspector that say, hey, here's something
15 that needs to be addressed. All I see is what the track inspector
16 finds and makes a repair or he calls it a defect and slow orders
17 the track and gives it to the -- so I hadn't seen any of that
18 there when I did my records inspection, so I was just kind of
19 curious as to --

20 A. And, you know -- and, again, track inspectors,
21 roadmasters, are asked to comply with all FRA guidelines and
22 regulations at a minimum and then, beyond that, with the CSX
23 guidelines and rules. And, you know, based on weather conditions,
24 could it have worsened based from the drought situation and other
25 things, that's a very good possibility. You know, it did rain

1 Sunday; it didn't rain Monday, so that could have made the
2 situation look much worse at the time of the derailment than it
3 ever looked before those 2 days.

4 Q. Okay. Very good. Thank you.

5 MR. HIPSKIND: Larry?

6 BY MR. KISH:

7 Q. Yeah. Larry Kish, K-I-S-H, with the FRA. I'm going to
8 shift modes here a little bit. CSX reporting procedures for
9 service failures, how are they -- what are they? I mean there's a
10 form you guys report every time you have a service failure.

11 A. The service failure information is now input into ITIS.
12 So the same stuff -- the same program and process that a track
13 inspector would use to do his track inspection, that's the same
14 place that they would go to put their rail service failures into.

15 Q. And generally -- and I'll get to the point. What kind
16 of defect -- in the ITIS system how do they identify the type of
17 defect that was the cause of the broken rail?

18 A. In a service failure?

19 Q. In a service failure.

20 A. Based on their training and opinion, based on their
21 knowledge, they're going to look at the rail. They will determine
22 what the break -- kind of break it is, and then in the ITIS system
23 there is a drop-down box with selections. They can't just make up
24 a broken rail. It will tell them, you know, TDD, or actually
25 straight break if there's no defects or, you know, head and web or

1 whatever, and they just collect it and it actually forces you to
2 fill in all the required information that's necessary for the
3 report.

4 Q. And I'm curious, in the REDI training, are they trained
5 to identify the different types of defects?

6 A. I have never attended the REDI training --

7 Q. Oh, okay.

8 A. -- but I can tell you that in every track inspector
9 training I've ever been in for CSX, rail defects were part of that
10 training.

11 Q. Okay. Because since this is a risk-based model that the
12 CSX is using and part of the calculation, what would be the
13 service failures, I was hoping, you know, that the identifications
14 out in the field would match, you know.

15 A. Yeah, and I'm fairly comfortable that that is what's
16 happening.

17 Q. Okay.

18 A. And I will also tell you that in most cases before that
19 report goes in there is some discussion with the roadmaster to
20 make sure that everybody agrees, that, you know, it's not just
21 somebody who's only worked for the railroad for a couple of weeks
22 making those reports out. There's people that are fairly well
23 trained or very well trained consulting with each other to
24 determine that information.

25 Q. Good. That's kind of what I was hoping for and looking

1 for. Okay. Thank you. I have no further.

2 MR. HIPSKIND: Thanks, Larry. Rick?

3 MR. INCLIMA: Yeah. Thank you.

4 BY MR. INCLIMA:

5 Q. Randy, just a few questions. You had mentioned heavy
6 tonnage mains and the fact that new rail generally goes to heavy
7 tonnage mains. Would the Old Main here be considered heavy
8 tonnage?

9 A. Yes.

10 Q. Okay. Do you know -- can you give me an idea of how
11 many MGTs run over that, say, in 2011, last year?

12 A. And this is an estimate, not looking at information
13 specifically, but somewhere around 30.

14 Q. Okay.

15 A. 30 million gross tons.

16 MR. HIPSKIND: Actually it's -- in the stuff that I
17 looked at, I would say it's somewhere in the neighborhood of 32 to
18 34 million, something like that.

19 BY MR. INCLIMA:

20 Q. Okay. Now, how long have you been on the territory,
21 Larry, here?

22 A. Randy.

23 Q. Oh, Randy. I'm sorry.

24 A. That's all right.

25 Q. Yeah, that's Larry.

1 A. As division -- I've been division engineer just over
2 1 year. It was June of last year.

3 Q. Okay. Can you give me any sense on the fluctuations in
4 MGT, say, you know, if you went back, say, you know, 5 years? I
5 mean, has it been somewhere in that same vicinity of, you know,
6 32, 34 or has it been less?

7 A. It's going to be hard for me to go back that far. I
8 know that over the last year coal traffic has been increasing, and
9 I can tell you that just recently it has -- the coal traffic has
10 decreased. So just within the last month there's been a fairly
11 noticeable decrease in coal traffic. So there was a -- you know,
12 again, we've run a lot of coal here prior to the last month or so
13 and it was -- it had spiked up and now it's dropped off a little
14 bit.

15 Q. Okay. Great. In your -- you know, I know you're
16 running the Sperry rail detection about, you know, once every 31
17 days, say, once a month. Do you have a feel for the average
18 number of, you know, internal rail flaws that are getting picked
19 up on the Old Main? I mean, is it --

20 A. It really varies based on runs so I can't tell you the
21 average. And, you know, my experience tells me certain weather
22 conditions change that and invariably every time it runs when I
23 expect more defects there's less and when I expect less defects
24 there's more based on my experience. So it really does vary
25 fairly widely depending on which test it is and so, you know, I

1 can't give you that answer specifically.

2 Q. Okay, and that's fair enough. How about rail service
3 failures? You know, on average, how many, you know, rail breaks
4 might a -- you know, might the track inspector find per month that
5 are, you know, maybe not picked up by the detector car, but
6 something that they'll find in a -- you know, on a monthly basis?

7 A. Again, that's seasonal, but it's not significant. No
8 more than one or two a month, and generally, a lot less than that.

9 Q. Okay. The rail that was under the train, do you know if
10 that was laid there new rail or was that -- have any idea on the
11 history?

12 A. I don't know that.

13 Q. Okay. And the rolled date on that rail was?

14 A. 1997.

15 Q. Okay. And that was 132?

16 A. Thirty-six.

17 Q. 136. Do you know if -- I understood from other
18 testimony that there were probably two derailments that occurred
19 somewhere in that vicinity, maybe not at the derailment site, but
20 those cars evidently were dragged through there. Was there any
21 rail replaced based on those cars, do you know?

22 A. There was some rail replaced. I don't know that it was
23 based on those cars, but there has been rail replaced in that area
24 in 2011 and 2010.

25 Q. What is the procedure for, for lack of a better word,

1 certifying plug rail? I know that, you know, you have worn rail
2 and track and obviously you want to get -- you want to match that
3 up. You know, how do you assure that your plug rail is not -- you
4 know, the plug rail doesn't have any defects?

5 A. There's two paths that can take. One is that we
6 purchase it certified from a outside vendor, that they ultrasound
7 test the rail before they sell it to us. And it comes, it's
8 tagged, it says it was certified by the company that we buy it
9 from.

10 Q. Okay.

11 A. We have an internal process where if we have rail that
12 comes out of the track meeting certain guidelines and certified by
13 an outside entity -- they actually come out to the site. The rail
14 cannot be moved from where it was taken out. So we lay curve
15 patch. We take the rail out of the track. They have to come to
16 the site. It has to be exactly where it was. They certify it
17 based on tonnage and last rail test, tag it, and then it's okay
18 for us to use.

19 Q. So that's done by a third party also?

20 A. That's done by a third party also, yes.

21 Q. Have you -- you know, I know we talked about manpower
22 issues early on, you know, 19 -- you know, standard forces are 15
23 depending on if you include the extra gang. How much of a
24 challenge has that been for you as far as adequate manpower?

25 A. Actually, at Owens' location, he's had fairly adequate

1 manpower. He's not had a lot of issues. He even had a
2 significant -- well, not significant, but he's had -- of all my
3 roadmasters he's probably had the most help when it comes to not
4 just only his headquarter folks, but the support folks that are
5 there, the floating forces. So that's not particularly a
6 challenge there.

7 Q. Okay. This is probably just a hypothetical question,
8 Randy, and I know this rail section and this territory has been
9 scheduled for an upgrade. Has there been any consideration of
10 lowering the class speed pending the upgrades or -- and, if so,
11 what kind of pressure would you be under if -- let's say a track
12 inspector says, hey, this rail is really worn and I think I'm
13 going to put a Class 1 speed on it. What kind of pressure would
14 you get from Jacksonville or elsewhere on something like that? I
15 mean, would that be frowned upon?

16 A. I might get pressure, but I don't care. That's not my
17 -- well, it's my responsibility. That's not my goal. You know,
18 we -- it's not unusual for a track inspector or a roadmaster to do
19 that, and that would be the situation I talked about earlier where
20 I have to find the resources to fix that problem and help them fix
21 that problem. The expectations are that that's what they'll do.

22 Q. Okay, good. I have no other questions at this time.
23 Thank you, Randy.

24 MR. HIPSKIND: Okay. How are you holding up, Randy? Do
25 you want to keep going?

1 MR. DANIELS: Good.

2 MR. HIPSKIND: Thumbs up?

3 BY MR. HIPSKIND:

4 Q. All right. Let me fill in some gaps on some things that
5 I have thought of listening to everybody. Who on your division
6 monitors or reviews the track inspection records? Does that begin
7 and end at the roadmaster level or how should I understand that?

8 A. The roadmaster has the primary responsibility to review
9 track inspection records. So he looks at them, he ensures that
10 they're proper, he approves them. Both the engineer of track and
11 I have some monitoring responsibility, too; you know, take a look
12 at the inspection records, just kind of randomly pull out ones
13 here or there. In no way do we do a records inspection near what
14 the FRA would do when they come out to look at our inspections,
15 but it's our job to monitor compliance to ensure that the
16 inspectors are -- understand what they're supposed to do and are
17 doing what they're supposed to do, both by looking at the records
18 and by field follow-up with the inspectors.

19 Q. Okay. And I want to jump back to the conversation that
20 you and Frank were having, and I'm going to make a formal request.
21 Sometime here in the near future if you can give me a name, phone,
22 contact number of somebody down at REDI? And here's the topic.
23 It seems to me that I need -- at least I need to understand better
24 that if I'm a foreman and if I'm a track inspector and I'm new to
25 the property and I'm new to CSX and I go down to REDI, what I

1 would like to know is what does REDI tell them about fouled track
2 conditions? What are the do's, the don'ts; what are the
3 expectations that are implanted into those employees as -- and I'm
4 going to say it this way, that they might receive as policy and
5 guidance? And I don't know what the language is and I don't know
6 what the verbiage is, but if you can -- if you know, you can tell
7 me now, but if this is a matter where you need to provide me that
8 contact then I'll take up that topic with them.

9 A. And I believe that would be best since, again, I've not
10 attended that training. I'll get you that phone number. Because
11 I can tell you what I believe it to be, but I can't tell you what
12 it is, so I'm going to let them --

13 Q. Okay, and I'm okay with that. And I just want the
14 record to reflect what is your understanding of the two
15 predominant rail weights in and around the Ellicott City area?
16 They are?

17 A. 136 RE and 141 RE.

18 Q. Okay. And if on occasion we saw out there some -- you
19 said 136?

20 A. 136, 141.

21 Q. Okay. All right. But the point is there is a mixture
22 of them, and depending on Sperry rail and service rail --
23 replacement rails, there can be a mix. In other words, it's not
24 just all one, there's a blend?

25 A. There is a blend. There could also be some other small

1 pieces -- sections of other rail sizes, so --

2 Q. Okay. Now, Owen this morning talked about -- when we
3 were talking about rail wear and head checking and TDDs and all
4 this and that, he introduced the concept of -- at least he was
5 aware that some locations could experience rapid growth. And I'm
6 going to throw some numbers out there. I don't think they're the
7 numbers he used, but things can go from a 5% to a 60% and they may
8 end up doing that in between test cycles. What are your thoughts
9 on that?

10 A. And I'm not a rail expert, but I understand that is a
11 possibility. I am aware of that possibility.

12 Q. Okay. In other words, he wasn't just throwing some off-
13 the-wall scenario out there? You don't necessary disagree with
14 it?

15 A. I don't disagree that rail fractures can occur and rail
16 growth can occur between cycles.

17 Q. Okay. Here's another formal request I have for you.
18 Rick was asking you about -- and we just kind of just today became
19 aware of the two rail derailments. Can you reach out and again
20 either give us the contact name or number or provide us just a
21 little bit more information on those two derailments and -- go
22 ahead.

23 A. I can actually tell you something about them right now
24 if you'd like to know.

25 Q. Let's do it.

1 A. They both occurred in 2010. They were both mechanical
2 caused. One was a broken wheel. One was side bearings. One of
3 them had a wheel drag through the town and one occurred east of
4 the town and only was on the ground a little while and then
5 rerailed itself and ended up through a defect detector and was
6 found.

7 Q. Okay. And what challenges did that present to you in
8 the Ellicott City area?

9 A. What I have observed since my time as engineer of track
10 -- I mean, as division engineer, and I can only answer that from
11 last year to this year, is based on plate damage primarily on the
12 south rail. It has caused some problems with rail cant, not
13 necessarily defective rail cant, but just areas that we need to
14 address.

15 Q. Okay. So it's something that you've been able to live
16 with. Well, before I say that, behind each of those derailments
17 did you have to make some track repairs?

18 A. Yes.

19 Q. How extensive?

20 A. In that area around Ellicott City, limited, if any,
21 mostly replacing clips --

22 Q. So --

23 A. -- Pandrol clips.

24 Q. So Pandrol clips. You didn't have to replace any rail,
25 no ties, but it marked the ties?

1 A. It marked the ties and it -- not a lot, but there was
2 some face breaks that they had to change a rail here or there.
3 Again, I don't know where.

4 Q. But south rail?

5 A. South rail?

6 Q. Not north rail?

7 A. Not north rail.

8 Q. And you are certain of that?

9 A. Mostly certain. I can't tell you --

10 Q. Okay.

11 A. -- 100%, but I'm fairly comfortable with that, yes.

12 Q. Okay. And so 2010, if I do my math right, there's
13 probably been at least 20 ultrasonic rail testings of the area
14 since then?

15 A. Yes, that's correct. It was early 2010.

16 Q. Okay. So all of 2010, 2011, 2012. The point you've
17 made is it's not 20, it's probably 30?

18 A. It's been almost 2 years, so it's --

19 Q. Okay.

20 A. The things that would have resulted from that derailment
21 have already been detected and corrected, and --

22 Q. Okay. Let's switch gears here. Tell me your
23 understanding or your instructions in regards to the observance of
24 trespassers.

25 A. CSX considers our property to be our property just like

1 anybody else would consider their property to be their property,
2 and anyone that is on CSX property is considered to be
3 trespassers, not only because it is private property, but because
4 it's a hazardous location to be due to the rail traffic. Anytime
5 any CSX employee sees anyone on CSX property they have been
6 instructed to and generally will address with those people please
7 leave the property. We're not police officers. We have a little
8 bit of issues with enforcement, but we can encourage that to
9 happen. If we don't get cooperation, we will then contact our PCC
10 or the local police and ask for help in removing those people.

11 And the PCC as an acronym is our Police Control Center
12 in Jacksonville. It's a 1-800 number we can call and get
13 immediate help from our police department.

14 Q. Okay. And over the years have you identified any areas
15 that seem more problematic than the rest of the railroad?

16 A. Yes.

17 Q. Okay. How do you address that? What are some of the
18 strategies that you use?

19 A. Well, the police can be more active in those areas, both
20 local and CSX police. We post no trespassing signs.
21 Unfortunately, the more active they are, the quicker the no
22 trespassing signs seem to disappear, to the point where the very
23 active areas, they may disappear overnight. So, you know, we do
24 our best to protect our property and to post it as no trespassing
25 and to ensure that people are aware of the hazards, and when we

1 see them, ask them to leave.

2 Q. And the Ellicott City area is -- I've heard some
3 discussion about something, a park system and the railroad
4 intersector interface. Tell me where and what that's all about.

5 A. Generally, up through that entire valley from near
6 Baltimore, well past Ellicott City, is the Patapsco State Park,
7 Maryland State Park, and it is on both sides of the railroad, and
8 generally through that whole area it is not unusual to see
9 trespassers and have to ask them to leave the property.

10 Q. Okay. And I think I'll tentatively ask you, but maybe
11 -- I think I'll ask the investigator-in-charge to reach out to the
12 CSX party spokesman and maybe we can get some more official
13 language or policy regarding trespassers.

14 A. For the purposes of the report that would probably --
15 the best place to go for that question, yes.

16 Q. Okay. Now, we've been talking to you here for almost an
17 hour and a half and I'm going to ask you the tough question. You
18 ready? So you got a call sometime Monday night or early Tuesday
19 morning and they said we got a train derailed at Ellicott City.
20 What did you think or went through your head?

21 A. Well, unfortunately, because of my personality, my first
22 thought is always was it something with track. Fortunately also,
23 most times it turns out not to be because that's the -- as 30
24 years, the first thing you do is start running everything through
25 your mind, what was there. And I can honestly say that based on

1 the last couple of times I had been over, other than the history
2 of the Old Main Line being a very severe maintenance railroad,
3 which -- you know, that always is in the back of your head, I did
4 not believe that this could be a track-caused derailment or would
5 have been. I was expecting something else, a train handling type
6 derailment or a car cause, because most of the derailments we've
7 had are related to car problems.

8 Q. So, in other words, not to put words in your mouth, but
9 shades of 2010?

10 A. Yes.

11 Q. Or a repeat of that?

12 A. Yes.

13 Q. Okay. All right.

14 MR. HIPSKIND: Track Group, I'm going to turn it back
15 over to you. Larry, any follow-up?

16 MR. CROWTHER: No, I have no follow-up.

17 MR. HIPSKIND: Okay. Thank you, Larry. Rick?

18 MR. KISH: Just one question.

19 BY MR. KISH:

20 Q. I'm not familiar with the 136-pound rail. Is there a
21 comprise bar between the 136 and, I think you said the -- was it a
22 136 and 140, or 141?

23 A. 141.

24 Q. Is it a straight bar or is there actually a compromise
25 bar required?

1 A. 141, 136 and 132 all have the same fill-in section.

2 Q. Okay.

3 A. The difference is the cap.

4 Q. The top of the ball.

5 A. So the answer is depending on the amount of head wear,
6 we have step-up bars that we can use. But that would be made --
7 and you heard Owen talking about making sure that the guys making
8 the rail repairs have the right rail.

9 Q. Um-hum.

10 A. They would also need to know that they have the right
11 bars to make sure that if it needed to have step bars on them,
12 they had step bars.

13 Q. Okay. So based on the wear --

14 A. Yeah.

15 Q. -- is how you determine? Okay, great. Thank you.
16 That's the only question I had.

17 MR. HIPSKIND: Frank?

18 MR. INCLIMA: No further questions.

19 MR. HIPSKIND: Okay. Randy, thank you for all of your
20 hard work and participation and support with the investigation,
21 both on-scene and you did a great job with getting the records and
22 documents to us as quick as you could. We appreciate that. I
23 mean, that aided our investigation. It just provided us a lot of
24 knowledge in a quicker manner, so -- and you've heard me talk with
25 the other interviewees. If in the subsequent days and weeks you

1 have some thought that you think that you need to share with us, I
2 would appreciate a call or an e-mail. You know that we'll be
3 sending you a hard copy transcript and I, like Brad, if you want
4 me to send it to your business card I'll do that.

5 MR. DANIELS: I tend to get something -- stuff better at
6 my home address, so I will give you that.

7 MR. HIPSKIND: All right. Well, then I'll ask you to
8 fill that out right there. And if there are no other closing
9 questions or comments, Randy, thank you for your time and your
10 candor here today, and that will conclude our interview.

11 (Whereupon, the interview was concluded.)

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF: CSX TRAIN DERAILMENT
AUGUST 20, 2012
ELLICOTT CITY, MARYLAND
Interview of Randy Daniels

DOCKET NUMBER: DCA-12-MR-009

PLACE: Ellicott City, Maryland

DATE: August 24, 2012

was held according to the record, and that this is the original,
complete, true and accurate transcript which has been transcribed
to the best of my skill and ability.

Cheryl L. Phipps
Transcriber