

DCA-12-MR-009

**CSX Transportation Freight Train
Derailment with Non-railroad
Fatalities**

Ellicott City, MD

August 21, 2012

**Interview of CSX Track Supervisor on
October 4, 2012**

44 pages, including cover

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

* * * * *

Investigation of: *

CSX TRAIN DERAILMENT *

AUGUST 20, 2012 * Docket No.: DCA-12-MR-009

ELLICOTT CITY, MARYLAND *

* * * * *

Interview of: OWEN SMITH

Roadmaster, CSX Transportation

Ellicott City, Maryland

Thursday,

October 4, 2012

The above-captioned matter convened, pursuant to notice.

BEFORE: JAMES SOUTHWORTH

Investigator-in-Charge

APPEARANCES:

JAMES SOUTHWORTH, Investigator-in-Charge
National Transportation Safety Board
490 L'Enfant Plaza East, S.W.
Washington, D.C. 20594

RICHARD HIPSKIND, Accident Investigator
Chairman, Track and Engineering Group
National Transportation Safety Board
490 L'Enfant Plaza East, S.W.
Washington, D.C. 20594
hipskir@ntsb.gov

FRANK CROWTHER, Track Safety Inspector
Federal Railroad Administration
Region 2
Baltimore, Maryland

RICK INCLIMA, Director of Safety
Brotherhood of Maintenance of Way Employes
Division

RANDY DANIELS, Division Engineer
Baltimore Division
CSX Transportation

<u>ITEM</u>	<u>I N D E X</u>	<u>PAGE</u>
Interview of Owen Smith:		
By Mr. Hipskind		5
By Mr. Inclima		19
By Mr. Crowther		26
By Mr. Daniels		34
By Mr. Hipskind		35
By Mr. Inclima		38
By Mr. Hipskind		40

I N T E R V I E W

(3:20 p.m.)

1
2
3 MR. SOUTHWORTH: Okay. Again, my name is James
4 Southworth. I am the Investigator-in-Charge for the NTSB for this
5 accident. We're here today on October the 4th, 2012, to conduct
6 an interview with Mr. Owen Smith, Roadmaster, who works for CSX
7 Transportation. This interview is in conjunction with NTSB's
8 investigation of the train derailment with non-railroad fatalities
9 on CSX's Old Main Line Subdivision in Ellicott City, Maryland on
10 August the 20th, 2012. The NTSB accident reference number is DCA-
11 12-MR-009.

12 And before we begin our interview and questions, let's
13 again go around the table and introduce ourselves. Again, we'll
14 spell our last names and I'll remind everybody to speak clearly so
15 we can get an accurate recording. I'll lead off and I'll pass
16 again to my right.

17 Again, my name is James Southworth. The correct
18 spelling of my last name is S-o-u-t-h-w-o-r-t-h. I'm the
19 Investigator-in-Charge for the NTSB on this accident.

20 Go right here.

21 MR. HIPSKIND: My name is Richard Hipkind and I work
22 for the National Transportation Safety Board and I am the Track
23 Group Chairman assigned to this accident. The correct spelling of
24 my last name is H-i-p-s-k-i-n-d.

25 MR. SMITH: My name is Owen Smith, S-m-i-t-h. I'm the

1 roadmaster with CSX Transportation.

2 MR. CROWTHER: My name is Frank Crowther, spelled C-r-o-
3 w-t-h-e-r. I am a track safety inspector for the FRA assigned to
4 Region 2, headquartered Baltimore, Maryland.

5 MR. DANIELS: Randy Daniels, spelled D-a-n-i-e-l-s,
6 Division Engineer, CSX Transportation, Baltimore Division.

7 MR. INCLIMA: Rick Inclima, I-n-c-l-i-m-a. I'm Director
8 of Safety for the Brotherhood of Maintenance of Way Employees
9 Division.

10 MR. SOUTHWORTH: Okay. And do we have your permission
11 to the record the discussion and our interview with you today?

12 MR. SMITH: Yes.

13 MR. SOUTHWORTH: And do you wish to have a
14 representative with you in this interview?

15 MR. SMITH: No.

16 MR. SOUTHWORTH: All righty. Dick, go right ahead.

17 INTERVIEW OF OWEN SMITH

18 BY MR. HIPSKIND:

19 Q. Owen, good morning. Thank you for coming back to tie up
20 a few loose ends with our interview today. I want to just kind of
21 springboard off of some of our discussion in a previous interview.
22 And one of the things that we asked you, not having hi-railed the
23 territory at that point in time, we were asking you how much of
24 your territory on the Old Main Line is curved track, and you
25 thought at that time, I think your best guesstimate was you

1 characterized it as 90% curves. Is it actually that or is it less
2 than that? How do you think about that today?

3 A. Yeah, I kind of said that, not accurately. It's a
4 majority of curves. I just said 90% just to try to emphasize the
5 fact that it was very -- the vast majority of curves. That's what
6 it's known for.

7 Q. Okay. And thinking of -- on the top end at Point of
8 Rocks and thinking of the first half of that territory from, say,
9 milepost, roughly, 64 down to 32, that has quite a bit more
10 tangent track in it in a comparative sense than, say, from
11 milepost 32 on down to the coal depot.

12 A. Yes. It comes in patches. It's a little bit curvy just
13 east of the office to 62 and then it straightens out a good ways
14 until the 53. It's curvy again there up until about another 44,
15 then straightens out with some more mile of curves from there on
16 down to Sykesville and then it'll pick back up again and get
17 extremely curvy from the 29 pretty much all the way down to the
18 end of the subdivision. So the 29 to the 7 is really where you
19 have the highest amount of curves and severity, you know, in grade
20 and also in number.

21 Q. Okay. Thank you. One other topic that we covered in
22 our previous discussion was we were trying to get some
23 characterization of the number of service rail failures, and let's
24 revisit that. What do you think you were experiencing in the
25 calendar year of 2012 in terms of numbers?

1 A. In numbers? Like the total amount I've had?

2 Q. Yeah, and just service rail failures is all we're
3 talking about.

4 A. Okay. Reported broken rails, would that include -- you
5 know, I've turned in service failures. I don't know the exact
6 number that I turned in, but would that also include something
7 like a vertical split head where the rail didn't physically break
8 but it was a vertical split head end that we changed that and
9 reported?

10 Q. Probably not because that's not a failure that may have
11 occurred under a train or something of that nature.

12 A. So we're just talking about a good old broken rail where
13 it breaks in two?

14 Q. Yeah, you know, kind of that call in the middle of the
15 night and you've got a track light on and you go out and you find
16 something.

17 A. All right. I'll try to think from memory for the past
18 year, since January of 2012. We had three in Ellicott City area,
19 one down in Union dam; that's four. We had -- no, that was the
20 year -- that was last year, late last year. I would say maybe
21 seven straight breaks we've had and not all of them were on the
22 Old Main Line. We had some on other subdivisions, too, but
23 probably about seven where the rail broke in two and we had to
24 take the track out of service.

25 Q. So that answer of seven, that's for the territory that

1 you're responsible for?

2 A. Yes.

3 Q. Okay. And as a routine part of the process, service
4 rail failures do get recorded, do get folded into the ITIS system?

5 A. Um-hum.

6 Q. Yes?

7 A. Yes.

8 Q. Okay.

9 MR. HIPSKIND: And so, Randy, I think when we do your
10 interview -- or we'll probably make a formal request to get some
11 of those numbers that have -- that are documented and that come
12 out of the ITIS system. Is that -- would that be a problem?

13 MR. DANIELS: Service failures?

14 MR. HIPSKIND: Rail service failures.

15 MR. DANIELS: We can do that.

16 MR. HIPSKIND: Okay. Thank you.

17 BY MR. HIPSKIND:

18 Q. Another topic that we covered in the previous interview
19 was training. And I'm not sure that I completely recall how much
20 training that you received. It seemed to me like everybody in the
21 engineering department attends annual training on CWR and probably
22 gets annual training on maybe things related to FRA track safety
23 standards. Fair to say?

24 A. Yes.

25 Q. Okay. But do you attend or have you attended in your

1 career training that's other than those two kinds that I just
2 spoke about?

3 A. Yes. In the past several years I've taken classes on
4 derailment investigation. I've taken classes -- that is the big,
5 though, the derailment task force we take, TAPS.

6 Q. And TAPS stands for?

7 A. Train Accident Prevention System.

8 Q. Thank you.

9 A. We take, you know, safety courses. We take the required
10 safety courses. And we do have a person called the general
11 roadmaster. He makes his rounds around the system to give some
12 hands on and observation training too just to make sure we're
13 following procedures and policies set forth in the MWIS and the
14 track safety standards.

15 Q. Okay. And talking about the track safety standards, are
16 you familiar with the terms that FRA uses in categorizing their
17 track deficiencies, and the two terms are class specific defects
18 and non-class specific defects.

19 A. Yes. A class specific defect has a table with an
20 assigned threshold to it which you cannot exceed for that
21 specified class. So things like gauge, cross-level, warp, runoff,
22 they have a specified threshold that they're not allowed to
23 exceed, or if we do, we have to lower to the next -- either repair
24 it, lower it to the next applicable class, or take it out of
25 service.

1 And then a non-class specific defect is a multitude of
2 other things in the Part 213 book. And they cover things like
3 vegetation, drainage, ballast, switch components, just general
4 care and upkeep of stuff, which doesn't have an assigned threshold
5 to it.

6 Q. Okay. And would fouled ballast or saturated subgrade,
7 would they fall into that non-class specific category?

8 A. Yes.

9 Q. Okay. And how -- let's talk about the non-class
10 specific category of FRA track deficiencies. And I know that this
11 is -- all these defect codes that are on the -- in Part 213, the
12 track safety standards, those are all incorporated into your ITIS
13 program. Fair to say?

14 A. Correct.

15 Q. So how do you think about or how does the ITIS program
16 handle an entry of a non-class specific track condition?

17 A. Well, if the track inspector reports the non-class
18 specific thing, whatever defect it would be, he has a choice of
19 either repairing it on site or, like I said earlier, removing it
20 from service or stating in ITIS that it's a non-class specific
21 defect. If he says it's a non-class specific defect, it'll be
22 saved in the system and it'll put it on a timer, which will alert
23 me when the 30 days have expired. It'll actually mark on ITIS the
24 due date for having been repaired within the 30-day threshold. So
25 if it's reported and it's not marked as being repaired, the only

1 thing is, if it's a non-class specific defect that was, you know,
2 not addressed but we're going to put a timer on it, it would
3 notify me in ITIS.

4 Q. Okay. Any why the 30 days? I mean, why isn't there
5 some other number that we're talking about? Why aren't we talking
6 about 25? Why aren't we talking about 30 or 40? What is the 30-
7 day time limit, what is that tied to?

8 A. That's -- in the beginning of the Part 213 rules there,
9 it says a track owner has 30 days to bring the track into
10 compliance for a specific -- or certain defects. That's what --
11 that comes right from the book there.

12 Q. Okay. Is that -- I'm going to throw a number out and if
13 you think that's it, say so. If you don't know, that's okay too.

14 But when we talk about the classes of track, we might be
15 talking about 213.9(a), the table?

16 A. Um-hum.

17 Q. Yes?

18 A. Yes.

19 Q. Okay. And when we talk about 213.9(b), that may be some
20 of the language that talks about a 30-day limit?

21 A. Right. 213.9(b) is slightly different, though. That
22 could be for a defect that doesn't meet the track safety standards
23 at all where a qualified individual can determine that it is safe,
24 and there's a grace period of 30 days to bring the track back into
25 compliance where you can still operate on it, given that you

1 maintain a 10-mile-an-hour speed restriction.

2 Q. Okay. Well, in terms of that kind of thinking, how does
3 a non-class specific track deficiency or condition or
4 noncompliance to the federal track safety standards, where does
5 that fall into? In other words, if you have a non-class specific
6 item that you recorded in ITIS, are you punching the clock? Are
7 you engaging that 30 days?

8 A. Yes.

9 Q. Okay. That's where I wanted to get to.

10 Let's switch gears here for a minute. We also talked
11 about CSX standard plans, standard procedures, and we talked a
12 little bit about rail wear limits and we talked about how you guys
13 go out and assess rail wear, specifically in curves. And I want
14 to see, is it your understanding that those rail wear limit
15 tables, those are guidelines for rail replacement? And the point
16 is, are those what somebody should consider condemnable limits?

17 A. No, it says nothing about it being condemnable or having
18 to take a certain remedial action. They're advisory mainly. It
19 gives us an idea of when it's appropriate to request new rail.
20 There's no rule in there that says condemn the rail or put a speed
21 restriction on it or anything like that.

22 Q. Okay. Thank you for that.

23 In the past couple days we've been out and I'm sure
24 you're aware that we've hi-railed portions, a vast majority of the
25 Old Main Line as well as over on the Capital Subdivision, and in

1 the course of our hi-railing, we talked about curves and the
2 subject came up about an expectation of personnel walking curves.
3 So with that lead-in, tell me a little bit more about those
4 expectations, how that process evolves, your involvement, if
5 there's any. Just kind of broaden our understanding of that.

6 A. Yeah, we have a spreadsheet that I share with the track
7 inspectors, myself and the assistant roadmaster. And based on the
8 degree of curvature, a curve is supposed to be walked 3 times,
9 twice or 12 times a year, depending on the degree of curvature.
10 So, since I have a lot of heavy curves there, the east end of the
11 Old Main Line has a lot of monthly curves that we have to walk.
12 So the track inspectors actually routinely handle it all
13 themselves because oftentimes we do end up walking a good portion
14 of the railroad anyway because of track time issues and just
15 because we -- they want to be able to go and kind of scout out
16 ahead of them when they have limited track time and actually do
17 some gauging work, which they might do on their own.

18 If they have issues doing it, I help them out and I also
19 try to walk every curve at least seasonally when I make a hi-rail
20 trip, where I might jump up ahead and get out and walk a curve and
21 then keep doing that. So it is recorded by the track inspectors
22 and myself, just kind of to help us keep track of where we are
23 walking it. And that way we use it to identify, you know, issues
24 we might be having or future requests for next year.

25 Q. And when you say recorded, are we talking -- is this

1 another kind of item that might get folded in, inputted into the
2 ITIS program?

3 A. Unfortunately, no. I'd like to use the computer. It's
4 a spreadsheet I keep in the visor of my truck. So it's convenient
5 for me to write it down, but it's a little bit harder to share,
6 just because I keep it in my vehicle there for my reference. No,
7 it's not put into ITIS.

8 Q. Okay. And let's break down, just in terms of logistics,
9 whether you're out there or the track inspector's out there, if
10 the choice that day, depending on the availability of track time,
11 is to accomplish some of this curve walking, it's more productive
12 to do it when you have somebody with you because when you exit the
13 vehicle and start walking the curve and maybe you walk a couple of
14 curves in a row, you don't have to do the double walk back to your
15 parked vehicle. So am I seeing that part of the real world
16 correctly?

17 A. Yeah, the week program -- Danny, who you talked to, has
18 another track inspector he works with Wednesday. They do that
19 quite often where they'll do walking, either industries or tracks
20 on a Wednesday. That way Will can drive the vehicle to a
21 determined point and they walk to that and then Will will walk and
22 they meet that way. And then they can cover twice the territory
23 in the same amount of time.

24 Q. Okay. But is it fair to say that's pretty challenging
25 to meet the expectations of completing the curve walks given the

1 high number of curves and the limited time that Danny has a second
2 person with him?

3 A. Yeah. The other way we do it too is we hi-rail, and
4 we'll park in between curves there and he'll walk it when he's
5 doing his inspection. And you can cover a few curves in a day
6 doing it that way too, because they're not terribly long curves
7 either. They're -- you know, some are only about 500 feet long,
8 so he'll go and check a few curves in a bunch there. Generally
9 the shorter curves are also the ones that have to get walked more
10 anyway.

11 Q. Okay. And going back -- I'm sorry for jumping around,
12 but going back to the training here. When you're in Atlanta, do
13 you recall whether the instructors down there, do they use terms
14 like hazard assessment, risk analysis? And if they do, how does
15 that -- how do some of those terms or concepts, how do they get
16 applied into your real world, the things that you do?

17 A. Yeah. I don't think anyone's ever really said those
18 phrases to me when I was in the REDI Center. But hazard
19 assessment and risk analysis are essentially what we do every day.
20 The track inspector conducts a hazard assessment, you know. And
21 then we're talking really track safety. I'm not going to go into
22 just occupational safety.

23 You know, hazard assessment, the track inspector is
24 looking for tell-tale signs of deficiencies, of material failures,
25 while he's conducting that. And he'll get a -- and with that, you

1 know, he'll take that information and determine the amount of the
2 risk each thing has associated with it. That's also kind of based
3 off these track safety standards. Back when they issued those,
4 before I've been here, there was some scientific background to
5 that too, where analyzed data with the geometric conditions where
6 it would give an increased risk of a derailment. So, you know,
7 the track inspection is one of the most fundamental ways we do it.
8 Another way where we do a hazard analysis and risk assessment is
9 with the geometry cars, and that kind of does both. It'll record
10 all the data throughout the territory and it'll prioritize it
11 based on the amount of risk we have: FRA defect near --
12 approaching a critical limit, or a priority 1 where it's safe but
13 it's an issue that may appear within a few months.

14 The Sperry car, another good example. They determine
15 the frequency of when they test based off of risk, tonnage. You
16 know, they use actually tonnage, rail age, defect history, service
17 failures. And we use that as a tool too to change out sections of
18 rail that may be a hazard to operations.

19 You know, another we've started doing is we have the
20 vehicle track interaction, or VTI, devices installed on our
21 locomotives. And that's some research that they started too where
22 they're identifying the hazards or things associated with the ride
23 quality measures. Vertical might indicate that you have, at worst
24 a broken rail or a number of other things which can cause a
25 failure to the car components or the track. They have laterals to

1 indicate alignment or create a wheel-climb issue with your
2 locomotive or string.

3 So those are just a few of the technologies we've been
4 using. They never really use those terms with it, but if you
5 think about the intent of what it is, how it works, you know, we
6 conduct hazard and risk assessments daily.

7 Q. Okay. So a lot of data from a lot of different sources,
8 all come to you and the track inspector on some of those things if
9 you're sharing that with him, but a lot of the data, is it fair to
10 say, is designed to measure and record things before they get to a
11 critical level? Is that the concept that I should understand
12 here?

13 A. Yeah. You know, we're engaged in preventative
14 maintenance. We really want to get away from being the emergency
15 response team for CSX.

16 Q. Okay.

17 A. So we're using these tools to get ahead and get better
18 at being preemptive.

19 Q. And when we talk about training, thinking about the
20 foreman and the track inspectors who may go down to Atlanta --
21 we've talked to Danny Glass about that -- what are your thoughts
22 -- what do you think the expectations that are placed on you in
23 terms of when those employees come back from the training center
24 and they're back in a regular job, do you fold in to any of the
25 follow-up of assessing how well they apply the training in the

1 real world conditions?

2 A. Yes. That's part of my job as a supervisor. They go
3 and take foreman training and they come back fairly new, probably
4 not having the applied knowledge. They just sat through a class
5 and had a lot of book knowledge. It's my job to make sure that
6 they're applying what they were taught and what is issued in our
7 instructions when they go out and work. So we do that in a
8 multiple amount of ways. I'll go out behind them when they're not
9 there and look at their work, monitor it. Or I'll actively engage
10 them during the day when they're out working and check on them
11 either when they're in the task or about to begin it or sometimes
12 when they've just recently finished it. And then we'll hold like
13 a debriefing and talk to them about what they did, why we did it
14 that way, what we could do differently.

15 Q. Okay. And in that continuum of your checking them --
16 please don't take this the wrong way, but I suspect that there's a
17 level that checks and sees that you're doing your job just as you
18 looked at employees coming back from training and applying their
19 classroom to the real world?

20 A. Yeah, we all answer to somebody. My supervisor is Carey
21 Nelms. He comes by periodically and hi-rails the territory and,
22 you know, keeps -- monitors what I'm doing to make sure I stay
23 focused on the way things are being done.

24 Q. Okay. And I realize phonetically Carey can be spelled
25 different ways. Can you spell his first name for us?

1 A. C-a-r-e-y, and I'll spell the last name: N-e-l-m-s.

2 Q. Okay. Thank you for that.

3 I think that's all I've got for right now, Owen. Let me
4 pass it off it to Mr. Inclima.

5 MR. INCLIMA: Thank you.

6 BY MR. INCLIMA:

7 Q. Owen, again, thanks for being here. We appreciate that.

8 Owen, if you can, tell me or maybe you can explain to me
9 in a little more detail how the ITIS system actually tracks
10 recorded defects? In other words, if the track inspector puts in
11 whatever it might, the cross-level or whatever it might be, how
12 does that equipment or the system prompt you as the supervisor,
13 you know, to follow up? I mean, just give us an explanation of
14 the process.

15 A. Yeah, there's a -- if you open the ITIS screen up
16 there's a summary page on the program, where it'll have some icons
17 that are green, yellow or red. Red means something's overdue;
18 yellow means you got something coming up pretty soon; and green
19 means everything's in compliance. And then next to those icons
20 you have a line that says -- gives you a summary stat sheet. So
21 on the first line, for example, say, 0 pending, non-class specific
22 or 213.9(a) defects. And then another line you got them for rail
23 defects. Another line you got them for geometry defects -- not
24 geometry defects, but you know what I mean.

25 Q. Um-hum.

1 A. The big regulatory one there, it'll give you a status of
2 how many you have outstanding and if any are due or overdue.
3 That's one way to do it.

4 We also have something called the roadmaster portal on
5 the engineering gateway, which also has a similar type of summary
6 sheet there.

7 Q. Okay. And just so I can get an idea of how the prompts
8 work in time, let's just take a month, you know, any month -- take
9 the month of October -- and something gets put into the system,
10 say, on October 1st. When would you get a prompt, say, you know,
11 the yellow or, hey, there's, you know, something coming up? I
12 mean, is it daily until it's addressed or does it, you know --

13 A. No. It'll go yellow just before you meet the limit. It
14 doesn't really give you much notice. And I don't really use --
15 rely on the yellow thing because --

16 Q. Okay.

17 A. -- it'll usually tell you it's going to go overdue
18 tomorrow, which is really helpful, but --

19 Q. That -- yeah, that's what I'm getting at, how do you --

20 A. But, you know, that's why I don't really look at that.
21 If I see red, I kind of actually get a spike in blood pressure if
22 I see -- if I see green, I see a number next to it. I always just
23 monitor the numbers there because that's more helpful to me than
24 the colors, but --

25 Q. Okay.

1 A. Yellow just would annoy me because we waited too long
2 and red would just get me nervous.

3 Q. Okay. So if understand then, the green color more or
4 less says, hey, you've got 5 things that are in the system that
5 need your attention.

6 A. Yeah.

7 Q. And you look at those. By the time it goes to yellow
8 and subsequently to red, it's -- you really don't have time to
9 manage it at that point?

10 A. Yeah, we don't really get that close anyway. No.

11 Q. Right.

12 A. Sperry defects are a little different. They give you
13 maybe about 3 days to 5 days of advanced notice on yellow. But
14 that's a fairly recent change. They just updated that in the past
15 few months. They've been kind of experimenting with some
16 different ideas there. So, you know, I hope that maybe it can be
17 more consistent on the program where they give you normal warning
18 thresholds, but, you know, that's kind of how it is.

19 Q. But would you, you as a supervisor, or maybe some of
20 your peer supervisors, would you find it helpful in your, you
21 know, in your management of your work and your workforce to have,
22 you know, maybe something that, rather than prompt you with a
23 caution or with a yellow the day before, that, you know -- I mean,
24 if it was backed up 2 weeks, I mean, would that be helpful? Or is
25 it --

1 A. I mean, I'm happy with how it is now. I mean, we just
2 keep track and monitor things as they come and we have a good
3 enough system where we never really have to get that close to the
4 end of the limit anyway.

5 Q. Okay. Thank you.

6 In the ITIS system, the way -- at least the way I
7 believe I envision it, is your track inspector will put in, you
8 know, his or her, you know, defects, things that might need to be
9 tracked. Say it's a 30-day -- needs to be fixed in 30 days or
10 whatever, but there's also -- correct me if I'm wrong, Owen --
11 there's also a section on inspector notes. So a track inspector
12 can submit his track inspection report or, you know, exceptions,
13 if you will, and then he can also put notes in that daily log, if
14 you will, regarding other things that maybe are not defects, but
15 he wants to bring someone's attention: you know, drainage problem
16 here or maybe we need some ditching there, whatever it might be.
17 How does ITIS track those notes?

18 A. Yeah, I spoke about this last time, I remember. It does
19 some things well, where if you want to put in a condition report
20 -- there's many different ways I can look at it. When I approve
21 track inspections, I don't do it through ITIS. I go in the
22 engineering gateway and there's a form there and you approve it
23 that way. That form is essentially a summary of what they did,
24 where it'll tell me what tracks inspected, what tracks they
25 traversed, any defects they found, but it'll just really give a

1 quantity or threshold of the defect, but the more intricate
2 details are actually in ITIS. So you have to go into that system
3 to look at that. They can report conditions on it and I can see
4 them, but if I need more information, I have to go into ITIS and
5 look through his old track inspection records where he may have
6 written a couple notes. And Danny has in the past where if he
7 wrote up a -- I think he wrote up a head block tie one day and he
8 put the measurements I needed for head block ties there in the
9 comments. So if you -- you kind of have to hunt for it, but
10 they're there to look at.

11 A lot of times I usually just ask him, because it's a
12 bit quicker. When I approve them, I'm in the office and he's
13 usually there so I just ask him.

14 Q. Okay. So would it be -- would I be correct to say that
15 the ITIS system -- if I put a track inspector note on, you know,
16 on today's date, 10/4, so I do my inspection report and I also put
17 a note. Maybe it's to you; maybe it's to someone else, just as a
18 -- you know, something to watch or something to be mindful of,
19 does that note get carried forward, say, you know, at the end of
20 October will you still see that note on October 29th? Or do you
21 have to go, kind of peel back the pages, the electronic pages, and
22 find the note that only shows up on the 4th?

23 A. Yeah. I think I get what you're asking. The ITIS
24 system will say, because the regulations require to leave the
25 records available for inspection to the track inspector.

1 Q. Um-hum.

2 A. So it'll actually maintain records for about a year in
3 the ITIS screen. So, yeah, if you wanted to go look at some old
4 notes that they may have written back in August, I can scroll down
5 and hunt for them, you know, based off of the track inspector
6 name, I can search for them through ITIS, yes.

7 Q. Okay. So in other words, you would -- my question is
8 just the simple process of the system. You would have to actually
9 scroll down or search for a note rather than the note popping up
10 when you, you know, on any given day when you pull up something?

11 A. Yeah, it doesn't give me an alert like, "E-mail message
12 from Danny." I don't get an alert like that.

13 Q. Right. Okay. Okay.

14 So your opinion, Owen, would something like that be
15 helpful? I mean, for you to have, you know, like when you pulled
16 up, say, Danny's track inspection reports to take a look, if you
17 had, you know, some field that showed the notes that he might have
18 inputted? Would that be a helpful process as reminders or --

19 A. I don't really know because ITIS isn't real time, so --

20 Q. Okay.

21 A. Danny can put something in there and then when I take
22 the computer, I might get the message a day or two after he put it
23 in. Really, e-mail would probably be the best way to communicate
24 sometimes. Or the way we do it now, where I have a mailbox and
25 he, you know, will give me notes on a piece of paper. There's no

1 formal tracking of it. It's basically just a business document
2 that he gives to me. I think that's usually best because I'll
3 leave that on my desk there. That way I can ask him some
4 questions if I have it.

5 Q. Okay. I appreciate that.

6 Now, I know you said that sometimes they just tell you,
7 you know, which is fairly normal: Hey, Owen, you know, I found
8 this yesterday; maybe you want to look at it. How do you track
9 your verbal? I mean, when -- you know, you've got a couple or
10 several track inspectors and many, many other things going on.
11 How do you as a supervisor track those, you know, verbal notes
12 from various people? I mean --

13 A. Well, it depends on what it is. Sometimes they'll raise
14 a concern and I'll look back to see if we have any work doing in
15 the area and I'll let him know it's going to be addressed within
16 this time limit anyway. Just monitor it and make sure it doesn't
17 exceed any thresholds or (indiscernible). That's one way we
18 handle them. Usually those, we just know that they're going to be
19 handled by the work that's planned ahead. Other times, I keep a
20 list on my computer. It's just a spreadsheet, where I'll note
21 stuff in there, little projects or jobs that we need to get done
22 on a preventative fashion and I'll just integrate it into that. A
23 lot of times -- and we also sit as a group in the morning and have
24 a meeting, where, you know, we'll talk about what each group's
25 supposed to get accomplished for the day and if there's another

1 concern we have in the area, we'll get that accomplished while
2 we're down there.

3 Q. When you say groups, you mean your track forces, your
4 track inspectors, your --

5 A. Yeah, everybody I have.

6 Q. Okay.

7 A. We meet on a conference call in the morning and we'll
8 discuss what everyone's supposed to be doing that day.

9 Q. Okay. Well, thank you, Owen. I think that's all I have
10 for right now. Thank you.

11 MR. HIPSKIND: Frank?

12 BY MR. CROWTHER:

13 Q. Just a couple of items, Owen. We've talked quite a bit
14 about this ITIS program. I just want to make sure that everybody
15 understands how it's supposed to work and who all is involved in
16 it. How are the defects entered into the system by the track
17 inspector as he finds them?

18 A. There's a screen there, which he goes --

19 Q. A screen on what?

20 A. On the computer.

21 Q. What computer?

22 A. On his laptop (indiscernible).

23 Q. Where's that?

24 A. In their truck.

25 Q. So he has a computer laptop in his truck?

1 A. Yes.

2 Q. With him as he's doing his hi-rail inspection?

3 A. Correct.

4 Q. Okay. Go ahead.

5 A. So when he's doing his hi-rail inspection, you know, and
6 if he's only entering an FRA for it, there is a screen on his ITIS
7 laptop which is mounted in his vehicle, which is FRA inspections.
8 And then it puts up a list of every track segment that's due to be
9 completed. So he's hi-railing along on, say, the single main on
10 the Old Main Line at milepost 53 and he finds something. He'll
11 stop his truck, do what he normally does to investigate it. He
12 can go into that screen then. There's a button that he clicks
13 that says defect. He can click that. Then that'll pop up a box
14 that has different defect categories.

15 So you got your surface, joint, (indiscernible),
16 whatever it may be. So he picks the applicable category and then
17 that'll bring a list which he can scroll through that'll have the
18 defect code which is found in the back of that handy book we all
19 have. He can check the box for the applicable defect. Then it
20 asks him more questions about milepost -- depending on the type of
21 defect, it'll ask for severity. So if it's a cross-level spot,
22 they want a measurement. So you put in a few inches or something,
23 and then it'll give you a recommended remedial action, which in
24 that case would be to lower the class to the applicable speed.

25 So then he would report what remedial action he took,

1 which can either be I tamped the joint up, or I slow ordered it,
2 or I removed it from service. And then if he repaired it, it'll
3 just say what he did. If he didn't repair it and slow ordered it,
4 it'll say put a temporary speed restriction on it, and then wait
5 for the repair to be done. Then he complete that form and he'll
6 save it and then he can keep hi-railing along and repeat the
7 process over and over again until he completes the track segment.
8 And then when he finally completes the track segment, there's
9 another button you push that says "complete" and he'll complete
10 that out and move on to the next segment.

11 Q. Okay. So as he progresses through the day he creates
12 these reports for each segment of track?

13 A. Yes.

14 Q. And then at the end of the day of his inspection, what
15 happens to all that data?

16 A. Well, all that -- the button presses he makes, fills a
17 form on another page in ITIS where it'll compile this information
18 he entered. So then if you see in the report, it'll categorize
19 the tracks he inspected on the top, tracks he traversed on the
20 next line, and then it'll list any defects or other type of
21 inspections he did like walking switch inspections, his monthly
22 switch inspections. As he entered all that stuff, it's actively
23 building a form and then when he's done for the day, he'll close
24 that form out and sync it.

25 Q. All right.

1 A. If he wants to do two types of reports in a day, where
2 he might do an FRA track inspection in the morning, then turn
3 around and do a heat run in the afternoon, what he'll do is he'll
4 complete his FRA report for whatever he did for the day, he'll
5 close it, and then that'll reset the forms in the system so then
6 when he starts his heat run, it'll actually open up a new form for
7 him, which will be categorized as a special heat inspection. Does
8 that answer your question?

9 Q. Yeah. So at the end of his shift or at the end of the
10 day --

11 A. Yes.

12 Q. -- the report is closed and synced to the main frame?

13 A. Correct.

14 Q. And that's when it becomes available to you?

15 A. Yes.

16 Q. Okay. Now, so you know by the -- like we'll say his day
17 is 7 to 3:30. When you come in in the morning, unless he's found
18 something critical that he didn't -- you know, he calls you on and
19 verbally tells you there's something terrible out here, come fix
20 it, other than that, if he doesn't do that, you know by -- in the
21 morning, if you wanted to, you could go check his report without
22 speaking to him and see what he found?

23 A. Yeah. I --

24 Q. Or defects and notes?

25 A. Yeah, and I do that at home a lot of times. I can go

1 over his information from my house.

2 Q. Right. Okay.

3 A. So -- yeah.

4 Q. All right. Now, you mentioned -- and you have to -- oh,
5 by the way, do you have to sign off on those reports saying that
6 you saw them and --

7 A. Yeah. I spoke about that earlier. I have to approve
8 them.

9 Q. Okay.

10 A. I look through it and just check to see what they've
11 been finding --

12 Q. Right.

13 A. -- with the inspectors, and you hit the approval button
14 and approve it.

15 Q. All right. Now, you earlier talked about the green --
16 you know, a green light -- a green light, amber and red on the
17 conditions of those defects that were found during the course of
18 his inspection which gives you a heads up as to what's going on
19 out there in the field. What happens when a defect gets to red?
20 What happens at that point? Within -- how does the system work
21 when there's a red defect?

22 A. You get an e-mail that tells you, you have an overdue
23 defect. And really then it'll give you the opportunity to go in
24 there, and maybe you forgot to take it out, so you can post-date
25 it to the day it was repaired. I never really had one that was

1 overdue, so I don't know if you can I say I repaired it later or
2 anything like that. But, you know, it'll let you go in and have
3 the opportunity to take it out of the computer and say what day
4 you repaired it.

5 Q. All right. Now, if you don't take care of that
6 opportunity, take advantage of that opportunity, what happens?

7 A. I'll get an e-mail from my boss saying why do you have
8 overdue -- or, you know, a call or whatever, why do you have
9 overdue defects, because my supervisor's got to get on it as well.

10 Q. Because he was notified --

11 A. Yes.

12 Q. -- that now we got a problem out in the field because
13 somebody isn't fixing these defects?

14 A. Right.

15 Q. And then what happens if he neglects to take action on
16 it?

17 A. I really don't know.

18 Q. Does the division engineer get notified?

19 A. You probably have to ask him.

20 Q. So there's a process of higher responsibility here
21 involved other than it stopping at -- with your inspector or you.
22 There's other people involved in making sure the defects that are
23 found in the field are fixed and fixed in a timely manner?

24 A. Yes.

25 Q. Correct?

1 A. Yes.

2 Q. All right. On these notes, you explained in clear
3 detail, actually, that once a note is written, it's there for you
4 to see when you look at the report to approve it, but in all
5 reality, once you approve it and it goes away, out of sight, out
6 of mind? There's nothing, as Rick was trying to get, there's
7 nothing that brings those notes up?

8 A. Right. I mean, a note's a note. It's a recommendation.
9 If there's no formal audit process for the note, like with the 213
10 and non-class specific defects, there's really no basis or
11 justification that require me to sign off on them other than, you
12 know, look at them.

13 Q. So if he was to write a note on an area that he had an
14 issue with but wasn't a defect, he can actually write that note
15 every day for a week or for a month?

16 A. Right.

17 Q. And it wouldn't accumulate -- it wouldn't be like a
18 bunch of notes saying you had a -- of all the same type that you
19 got a problem; it would just be a note on an electronic record
20 that is kind of like in the system but you don't see other than
21 you saw it that day and you approve it and it goes away and then
22 it comes back the next day on the next note, and you go through
23 the process but it's never accumulating?

24 A. Right.

25 Q. It's not putting a number saying, you know, it's getting

1 bigger; it hasn't gone away; he hasn't fixed it?

2 A. Right. There's no monitoring --

3 Q. The only time it would get on the report really to bring
4 your attention is if it was assigned a --

5 A. Non-class --

6 Q. -- it became a class specific defect with a number of
7 some type of defect, a warp or a gauge or toe file or --

8 A. Well, yeah, you could it for anything.

9 Q. Right.

10 A. I mean, if there's a tree that's growing there, you
11 could write I'm putting a non-class specific defect on this tree
12 because I'm not able to cut it down by myself.

13 Q. Right. So -- all right. So I understand that
14 correctly, because -- now when you pull up those -- once it's in
15 the system and you pull up a record, do those notes come back or
16 are they gone? Are they stuck to that inspection form or --

17 A. Yeah, but you can't see it when you audit it. It's only
18 on an internal inspection form that's retained.

19 Q. Okay.

20 A. The only comment you can read, Frank, on it is the top
21 one there which says "Remarks."

22 Q. Right.

23 A. But there's other ways you can put comments in there
24 that are hidden from the FRA report.

25 Q. That's it. Thank you.

1 MR. HIPSKIND: Thank you, Frank. That was a good
2 discussion.

3 Randy, do you have anything to clarify?

4 MR. DANIELS: Just a -- yeah, a couple of questions.

5 BY MR. DANIELS:

6 Q. You talked about -- training was one of the questions.
7 You attend quarterly training on multitudes of stuff; is that
8 correct?

9 A. Yeah. I didn't really talk about the safety stuff, but,
10 yeah, operating rules, break (ph.) worker safety, other regulatory
11 things, on-track worker safety. I take that every year when it's
12 assigned to me. But I was thinking more about track specific, you
13 know, kind of related to this incident.

14 Q. And then we talked about walking inspections, and you
15 say that's primarily track inspectors, but it is also a team
16 event. So you, your assistant, Carey Nelms, we talked about, even
17 me, we all kind of share in that responsibility when necessary.
18 Is that correct?

19 A. Yeah. I'll go out and walk around a lot. I mean, I
20 walk -- a lot of times if I'm hi-railing and I'm waiting
21 somewhere, I'll walk some curves. So it's just kind of a habit we
22 all engage in, yeah.

23 Q. And you and Frank had a lot of discussion about the
24 notes page and how that's handled. Defects do not go on the notes
25 page; is that correct?

1 A. Defects do not go in the notes page --

2 Q. The notes page is not for defects; is that correct?

3 A. Right. That's just for general notes, not --

4 Q. Information?

5 A. Yeah. Well, there is another place you can do it too,
6 where if you write a defect you can put in Inspector Thomas,
7 specific actions that need to be done.

8 Q. Correct. But the notes page is related to -- not the
9 defects that are part of the defect report. That is your notes to
10 you that he wants you to know about?

11 A. Yeah.

12 Q. And if that information was important, you would
13 transcribe it to your spreadsheet which you referenced earlier?

14 A. Yes.

15 Q. That's all I have.

16 MR. HIPSKIND: Thank you, Randy.

17 MR. SOUTHWORTH: Just one item. What's an MWI?

18 MR. SMITH: Oh, maintenance of way instruction.

19 BY MR. HIPSKIND:

20 Q. Okay. Owen, sometimes in our accident investigations
21 and our post-accident discussions we do like to kind of drill down
22 and know and understand some of the -- let me suggest that we
23 pause here for just a minute.

24 (Off the record.)

25 (On the record.)

1 MR. HIPSKIND: Okay. We had a little interruption
2 there. We had some noise in the background. We wanted to get a
3 good recording.

4 BY MR. HIPSKIND:

5 Q. Let me recap for the group and for your review, if I
6 understood this ITIS program correctly. It's an electronic
7 system. It's on the track inspector's laptop. It's with him in
8 his truck. And when he sees a defect, he calls that up on his
9 screen. He selects a drop-down menu. He records it. It becomes
10 part of his official track inspector record for that day. Correct
11 so far?

12 A. Yes.

13 Q. He also has an option that if he wants to, as part of
14 that system, if he wants to record track inspector notes -- and I
15 want to be clear about this -- track inspector notes are not
16 defects. He had that option to choose when he first got in there
17 to record a condition if it was a defect. But the point is that a
18 track inspector note should not be thought of as a defective
19 condition per FRA's track safety standards regulation?

20 A. Correct.

21 Q. Okay. Now, a further point I want to clarify for the
22 record is that when CSX uses the ITIS system, the electronic track
23 inspection record system, when the FRA safety inspector comes in
24 for a track inspection records review, he does not see -- or she
25 does not see the track inspector notes that were entered over the

1 course of time by the track inspector because those were not
2 defects?

3 A. Correct.

4 Q. He sees a different screen than maybe a screen that you
5 had available for you to see before they became the official FRA
6 records given to FRA, correct?

7 A. Yes.

8 Q. And one more point of clarification, if I may. I want
9 to be sure we're all on the same page with this. When we talk
10 about a defect, it doesn't make any difference in entering on the
11 screen if it was a class specific defect or a non-class specific
12 defect, I still hit the defect button, it goes in, I get the drop-
13 down menu, and we go forward?

14 A. Right. The computer -- the initial input, you never
15 specify if it's a class specific or non-class specific defect.
16 You only select the defect based off of what it is. The computer
17 will then decide whether it should be handled as a class specific
18 or non-class specific defect.

19 Q. Okay. And to be clear, on the non-class specific
20 defects, if I enter them into the ITIS system, it starts -- for
21 all intents and purposes, it starts a 30-day clock?

22 A. Yes.

23 Q. And as the track inspector or the roadmaster or anybody
24 who views or has accessibility to the ITIS that wants to look at a
25 particular subdivision, a particular roadmaster, a particular

1 track inspector, they can go in and watch that 30-day window on
2 non-class specific defects?

3 A. Yes.

4 Q. Okay. I'm good with all of that and I don't have any
5 more questions right at this time.

6 MR. HIPSKIND: Rick?

7 MR. INCLIMA: Thank you, Dick. Just a couple of quick
8 questions.

9 BY MR. INCLIMA:

10 Q. Owen, when you talk about you receive an e-mail, I
11 assume is that a automatically generated e-mail from ITIS?

12 A. Yes.

13 Q. Okay. So it'll come in, say your overdue or whatever it
14 might say; it'll give you that?

15 A. Yeah, it -- essentially, that's what it tells you, yes.

16 Q. Okay. And does that e-mail come to you in a -- I mean,
17 is it color-coded? Is there any way for you to pick that out of
18 the stream of e-mails you get every day or is it --

19 A. Yeah, I think it -- it's pretty visible. It says,
20 "WARNING: OVERDUE DEFECT."

21 Q. Okay.

22 A. It's all capitals. I think you can see it if you get
23 something.

24 Q. So they're yelling at you?

25 A. Yeah.

1 Q. Okay. Okay, good.

2 Just as a matter of, you know, your perspective and
3 instructions that you might give to your track inspectors, fouled
4 ballast or saturated subgrade, you know, where you got standing
5 water, you got some mud, do you -- are your inspectors instructed
6 to write that up as fouled ballast or saturated subgrade in the
7 absence of a geometry defect, or is it the practice to rely on the
8 emergence of a geometry defect that then would relate to the
9 presence of mud or saturation?

10 A. Yeah, we'll -- we tell them as a maintenance issue to
11 cut the ends of the ties out if it's just emerging to help us buy
12 some time.

13 Q. Okay.

14 A. And the instruction is, it says -- the definition that
15 FRA's been using when they issue us non-class specific -- or not
16 geometry, but fouled ballast defects, where you have a surface
17 condition in there which isn't the maximum for the class because
18 we don't want to get that close.

19 Q. Right.

20 A. We'll get to a class or two above, where if it exceeds
21 that limit, then that's when we're going to slow order it and
22 address it as a non-class specific defect.

23 Q. Okay. Great. Thank you. I appreciate the
24 clarification.

25 MR. INCLIMA: That's all I had.

1 MR. HIPSKIND: Frank, left to you to --

2 MR. CROWTHER: Oh, I have -- I'm all set. No further
3 questions.

4 MR. HIPSKIND: Thank you, Frank.

5 And Randy?

6 MR. DANIELS: I'm good.

7 MR. HIPSKIND: We're all good on the clarifications?

8 BY MR. HIPSKIND:

9 Q. Okay. Owen, you have been great in your participation
10 and coming in a second time for this interview. Is there anything
11 that's on your mind or anything that you think topically we ought
12 to talk about or are we getting pretty close to understanding how
13 you guys manage risk and how you assess things out here?

14 A. Yes. I'd just like to say I think the computer
15 technology we've had in the past 4 years and the new
16 implementations they're doing is really going to help us be more
17 effective in analyzing our risk. And I think whatever lessons we
18 learn and the input they can get from people in the field, we can
19 make it better to do our jobs more effectively.

20 Q. Okay. But let me just try and recap here. We've talked
21 about an awful lot of systems here, the ITIS track inspection
22 reporting of defects, track notes -- track inspector notes, both
23 class specific and non-class specific items are recorded. We've
24 talked about the Sperry test and ultrasonically testing rail
25 giving you a heads up on where rail flaw defects are. Track

1 geometry car. And the point is all of that in combination are
2 data streams into you to help you manage your risk, to help you to
3 know to be in the right place at the right time.

4 A. Yes.

5 Q. Are you in agreement with that or --

6 A. Yes. That's what I was trying to say. ITIS is -- the
7 ultimate goal of ITIS is to integrate all this data into one
8 section, which can be a reference to not only me but other people
9 in the field so we can identify areas that are going to be an
10 increased risk.

11 Q. Okay. And the other layered approach that I take it
12 that you have out there is it is not just left to the track
13 inspector solely on his own, or a couple of track inspectors, to
14 make the risk assessments and hazard assessments on a day in/day
15 out, week in/week out, month in/month out. You also assist in
16 their oversight and people look over your shoulder and there's
17 some oversight at that level too?

18 A. Yeah, they look for the most immediate risk and then I
19 look at a more general risk. They hi-rail every day. I hi-rail a
20 couple times a week. So I look at a bigger picture of them and
21 help integrate their concerns into one plan and then I bring that
22 up the ladder to the other people above.

23 Q. Okay. And another element of this is when you are
24 providing your oversight, your supervision, we're really talking
25 about elements of good judgment. Are the field personnel and are

1 the track inspectors exercising good judgment and are they
2 complying with not only CSX standards and expectations, but also
3 the Federal Railroad regulations as well.

4 A. Absolutely. And that's how I go about doing my job.
5 And, you know, we don't go there just to fix defects the FRA
6 issues. It's the FRA issues a defect or if one of our employees
7 go there, we go above and beyond that. Example, the state
8 inspector wrote up a joint tie defect on the Old Main Line. Well,
9 I could have fixed that just be changing one tie out or welding
10 the joint, but we didn't do that. We changed ties out. We
11 changed the rail out. We did more than what we'd have to do as
12 the minimum to satisfy the FRA. We did -- we went above and
13 beyond that. And that's I say using good judgment or just doing
14 our job, we need to be able to -- above and beyond what the FRA
15 states, and that's what we try to do.

16 Q. Okay. If there are no questions or comments from
17 anybody, I will just end it with you know that you'll get a
18 package from me, your transcript and some instructions and if
19 you'll just follow through the same way that you did before, that
20 would be great. And with that, I think we'll close the interview
21 and just extend to you our great appreciate for you coming back a
22 second time.

23 A. Thank you.

24 Q. Thank you.

25 (Whereupon, the interview was concluded.)

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF: CSX TRAIN DERAILMENT
AUGUST 20, 2012
ELLICOTT CITY, MARYLAND
Interview of Owen Smith

DOCKET NUMBER: DCA-12-MR-009

PLACE: Ellicott City, Maryland

DATE: October 4, 2012

was held according to the record, and that this is the original,
complete, true and accurate transcript which has been transcribed
to the best of my skill and ability.

Kay Maurer
Transcriber