

**DCA-12-MR-009**

**CSX Transportation Freight Train  
Derailment with Non-railroad  
Fatalities**

**Ellicott City, MD**

**August 21, 2012**

**Interview of CSX Director of  
Engineering Training on  
October 4, 2012**

**36 pages, including cover**

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

\* \* \* \* \*

Investigation of: \*

\*

CSX TRAIN DERAILMENT \*

AUGUST 20, 2012 \* Docket No.: DCA-12-MR-009

ELLICOTT CITY, MARYLAND \*

\*

\* \* \* \* \*

Interview of: STEVE FRAZIER  
Director of Engineering Training  
CSX Transportation

Ellicott City, Maryland

Thursday,  
October 4, 2012

The above-captioned matter convened, pursuant to notice.

BEFORE: JAMES SOUTHWORTH  
Investigator-In-Charge

## APPEARANCES:

JAMES SOUTHWORTH, Investigator-In-Charge  
National Transportation Safety Board  
490 L'Enfant Plaza East, SW  
Washington, DC 20594  
(202)314-6000

RICHARD HIPSKIND, Accident Investigator  
Chairman, Track and Engineering Group  
National Transportation Safety Board  
490 L'Enfant Plaza East, S.W.  
Washington, D.C. 20594  
hipskir@ntsb.gov

FRANK CROWTHER, Track Safety Inspector  
Federal Railroad Administration  
Region 2  
Baltimore, Maryland

RANDY DANIELS, Division Engineer  
CSX Transportation  
Baltimore, Maryland

BRUCE ROSE, Director  
Train Accident Prevention and Investigation  
CSX Transportation

RICK INCLIMA, Director of Safety  
Brotherhood of Maintenance of Way Employes  
Division

<u>ITEM</u>	<u>I N D E X</u>	<u>PAGE</u>
Interview of Steve Frazier:		
By Mr. Hipskind		5
By Mr. Inclima		16
By Mr. Crowther		23
By Mr. Southworth		24
By Mr. Hipskind		28
By Mr. Daniels		33

I N T E R V I E W

1  
2 MR. SOUTHWORTH: Good afternoon, everyone. My name is  
3 James Southworth and I am the Investigator-In-Charge for NTSB for  
4 this accident. We're here today on October 4th, 2012 to conduct  
5 an interview with Mr. Steve Frazier, Training Instructor, who  
6 works for CSX Transportation. This interview is in conjunction  
7 with NTSB's investigation of a train derailment with non-railroad  
8 fatalities on CSX's Old Main Line Subdivision in Ellicott City,  
9 Maryland, on August 20th, 2012. The NTSB accident reference  
10 number is DCA-12-MR-009.

11 Before we begin our interview and questions, let's go  
12 ahead and go around the table and introduce ourselves. Please  
13 spell out your last name and please identify who you are  
14 representing and your title. I'll remind everybody to speak  
15 clearly so we get a good and accurate recording. And I'll lead  
16 off, and then I'll pass to my right. Again, my name is James  
17 Southworth. The spelling of my last name is S-O-U-T-H-W-O-R-T-H.  
18 I am the Investigator-In-Charge from the NTSB at this accident.

19 MR. HIPSKIND: My name is Richard Hipkind and I work  
20 for the National Transportation Safety Board and I am the Track  
21 Group Chairman on this accident. The spelling of my last name is  
22 H-I-P-S-K-I-N-D.

23 MR. CROWTHER: My name is Frank Crowther, spelled C-R-O-  
24 W-T-H-E-R. I work for the Federal Railroad Administration as a  
25 track safety inspector assigned to Region 2, headquartered

1 Baltimore, Maryland.

2 MR. DANIELS: Randy Daniels, D-A-N-I-E-L-S, Division  
3 Engineer, CSX Transportation, Baltimore Division.

4 MR. ROSE: My name is Bruce Rose. I'm the Director of  
5 Train Accident Prevention and Investigation for CSX  
6 Transportation. My last name is spelled R-O-S-E, and I am here as  
7 an observer.

8 MR. INCLIMA: My name is Rick Inclima, Director of  
9 Safety for the Brotherhood of Maintenance of Way Employees  
10 Division. Last name is spelled I-N-C-L-I-M-A.

11 MR. SOUTHWORTH: All right, thank you.

12 Mr. Frazier, do you we have your permission to record  
13 our discussions in our interview with you today?

14 MR. FRAZIER: Yes, you do.

15 MR. SOUTHWORTH: And do you wish to have a  
16 representative with you at this interview?

17 MR. FRAZIER: No, I don't.

18 MR. SOUTHWORTH: All righty. Mr. Hipskind, why don't  
19 you go ahead and start the questioning.

20 INTERVIEW OF STEVE FRAZIER

21 BY MR. HIPSKIND:

22 Q. Okay, Steve, first thing, can we complete your  
23 introduction for the record, name, title, and spelling of your  
24 last name, please?

25 A. My name is Steve Frazier. I'm the Director of

1 Engineering Training at the REDI Center for CSX in Atlanta, and  
2 the spelling of my last name is F-R-A-Z-I-E-R.

3 Q. And do you mind if we talk on a first name basis?

4 A. No, that's fine.

5 Q. Okay, Steve. Listen, why don't we start off with give  
6 us a little bit -- a brief history of how long you've been around  
7 in railroading and take us through the highlights of your career  
8 and get us into where you were involved in training and kind of  
9 put a time frame around that, and then take us into your current  
10 job.

11 A. Sure. Okay. Started with the Old C&O up in Michigan on  
12 the Grand Rapids back in the early '70s. Was in the craft for  
13 about 15 years, held, you know, various jobs in the craft:  
14 welder, foreman, assistant track inspector, which is the job I was  
15 in, in 1990, when I made the decision to go into management.  
16 That's what took me to the Atlanta Division as an assistant  
17 roadmaster from 1990 to about 1997. Got my -- became a roadmaster  
18 in '97 on the Atlanta Division. A place called Manchester had  
19 three subdivisions that kind of hubbed right there in Manchester:  
20 the Fishrail (ph.) Sub, the Lineville, and the Manchester Sub,  
21 that went up into Atlanta.

22 Then, in 2002, took a promotion. Went to the Nashville  
23 Division as assistant regional engineer. And then, in 2003, I was  
24 asked to come back to the Atlanta Division. It was a lateral move  
25 during an organizational change and I had basically the same

1 responsibility, just went back to the Atlanta Division. Then, in  
2 2007, which is actually a couple of years after the REDI Center,  
3 the training center had been established, had an opportunity to  
4 move out of the field of -- with engineering to the training  
5 center and I've been there pretty much ever since. So I've got  
6 just a little over 37 years total.

7 Q. Okay, that's a pretty good chunk of time and a lot of  
8 different jobs and progressively moving forward in each promotion.

9 Steve, tell us a little bit more about, in your current  
10 position title, what all you -- what all your duties and  
11 responsibilities are and specifically what that has to do with  
12 training and specifically training of engineering employees.

13 A. Okay. My present responsibility is to manage the  
14 engineering training at the REDI Center. The REDI Center, you  
15 know, it covers just about every discipline that the rail industry  
16 has and most every position comes to the training center to start  
17 in their career, with the exception of a couple of positions.

18 So on the engineering side -- I'll give you an example.  
19 When I first came there, they really only had new hire track  
20 worker training and FRA track safety standards training. And  
21 then, since then, it has grown to cover track welding; we have  
22 bridge training, different pieces of that that you can sign your  
23 people up to be trained on, whether it's steel structure, timber  
24 structure, concrete. We have communications training, started  
25 since I've been there, training the communications maintainers,



1 and that -- and then we have a pretty sizable ASW, assistant  
2 signal worker, training that take place there.

3           So it's really -- you know, each one of those areas has  
4 its subject matter expert whose career was along those lines and  
5 it's really just overseeing the instruction, the scheduling, the  
6 growth, and managing the constant improvement of what we deliver  
7 to the CSX employees, you know, in meeting the needs of the field.

8           Q.    Okay. Well, let's talk about that, but let's clear up a  
9 couple of acronyms. You just used an acronym. It was ASW?

10          A.    Assistant signal worker.

11          Q.    Assistant signal worker. And we've used the word REDI.  
12 Is that R-E-D-I?

13          A.    Right. That's the Railroad Educational Development  
14 Institute.

15          Q.    And the name of the facility is?

16          A.    The full name of the facility is the Tony L. Ingram  
17 Railroad Education and Development Institute.

18          Q.    Okay. And in the course of your career have you been a  
19 classroom instructor?

20          A.    I have.

21          Q.    Okay. And now you're just at a level above that where  
22 you're overseeing and managing people who are now doing what you  
23 used to do?

24          A.    That is correct.

25          Q.    So when we have this discussion today about the various

1 classroom topics and training, you are familiar with that?

2 A. I am.

3 Q. But that's just something that you did some time ago?

4 A. Right.

5 Q. Okay. And you mentioned something about fulfilling the  
6 needs of the division, so let's start off with how do people come  
7 your way? How do people out on the CSX system get from where  
8 they're at into your training? I'm not asking how they get there  
9 in terms of transportation, but how do they get there in terms of  
10 your process and selection?

11 A. Sure, I understand. Well, from a new hire standpoint,  
12 they -- when they hire out, their first -- as an example, the  
13 track worker, their first 3 weeks of employment is going to be in  
14 training at the training center before they ever show up at the  
15 location that they were hired for. Beyond that remedial training,  
16 we have a way to go into our computer system and sign individuals  
17 up for the different training that we offer. We put our entire  
18 schedule out there on a spreadsheet for every discipline that we  
19 have, and then the field, usually the supervisors, will go in and  
20 put all the information we need for a person they want to come to  
21 that specific training.

22 Q. Okay. And why do you elect to have that new hire in  
23 there for 3 weeks? What's just kind of the brief understanding of  
24 that? Why do you do that?

25 A. Well, I mean, I think, you know, everybody in here knows

1 that, you know, we've come to a time in the rail industry where a  
2 large portion of the population is reaching retirement age, so  
3 we're seeing a lot of attrition with a lot of hiring done that,  
4 you know, hadn't been done at all through the '80. And I think  
5 that, you know, the training center, what it offers and the size  
6 of it, has just been a byproduct of the recognition that we're --  
7 we've got that many inexperienced people coming to the rail  
8 industry and we've got to have a mechanism that helps prepare them  
9 as they go to the field.

10           And so, the beginning, it's all foundational for someone  
11 who's never done railroad work to give them a lot of the safety  
12 training. The biggest thing about the REDI Center is, is it works  
13 hard on the safety mindset, the attitude of the employee and the  
14 way that they approach their job, right along with the technical  
15 training that that person gets to prepare them then to go to the  
16 training -- to the field and, you know, not just be successful in  
17 what they do as an engineering employee, but that they can,  
18 hopefully, get out there and do it safely throughout their entire  
19 career.

20           Q.   And as part of that, I'm going to imagine that this 3  
21 weeks that they're down there is partly classroom training, but  
22 it's partly hands-on training, maybe to do with how to safely  
23 handle tools and things of that nature. Would you care to  
24 elaborate?

25           A.   Well, I mean, that's true. We, to best that we can, we

1 try to build about a 60/40% ratio, 40% classroom with 60%  
2 hands-on. And, you know, with that engineering new hire track  
3 worker, you know, we introduce them to the hydraulic tools that  
4 that person will use that, you know, they've never seen and never  
5 handled before, you know, how to use it safely, what it's used  
6 for, you know, the name of it. Same thing with the regular hand  
7 tools that they would use, as well as some of the other things  
8 around, you know, lifting and rigging and fall protection and the  
9 things that go right along with an engineering employee's job  
10 responsibilities.

11 Q. Okay. Well, let's move away from the example of the new  
12 hire or the freshly hired employee and let's move -- thinking  
13 about that employee, you've trained them, you've sent them out in  
14 the field and they've been out there for some time, and then they  
15 -- that person decides, you know what, I want to be a foreman, I  
16 want to be a track inspector. Do those kinds of decisions on  
17 their part, and if they're accepted into that position -- take it  
18 -- take me from that position, that decision point. Do I end up  
19 coming back and seeing the REDI Center?

20 A. Yeah. Yes, they do. Depending on the -- you know,  
21 there's a lot of positions that they might go to that may not  
22 bring them back to the training center, but some of the specific  
23 jobs that they would hold such as a foreman, such as a welder --  
24 and that bid that they would bid for has an FRA qualifications  
25 requirement with that bid. Then to be able to even bid on that,

1 they're going to have that training and that's usually then when  
2 we see that portion of the sign-up sheet in relation to FRA track  
3 safety standards qualification training, that sign-up sheet get  
4 filled in.

5 Q. So a prerequisite course before I take on more  
6 responsibility and accountability?

7 A. There's some responsibility that they'll -- that they  
8 want to get their rights started in that requires that, therefore,  
9 you know, they've got to have that. So you get a lot of -- they  
10 have, you know, a year's time, 6 months to a year, a year and a  
11 half. You'll get a lot of them in that class.

12 Q. Okay. And tell me about the next level. If we've  
13 talked about the beginning stages for an employee and we talk  
14 about coming back in and doing some FRA stuff as a prerequisite  
15 before I become a foreman, track inspector, those kinds of things,  
16 what about for that employee who's been out there for a while,  
17 they're into the track inspection, track foreman type positions,  
18 what happens at that stage? Is there a next level where you're  
19 bringing them back in for additional training?

20 A. Well, there wasn't at one time other than, you know,  
21 they had the FRA track safety standards training at the training  
22 center, which some tenured employees would come to because, you  
23 know, for whatever reason, their supervisor wanted them to get --  
24 because the training was provided, they wanted to improve the  
25 overall, you know, knowledge of, you know, FRA 213, so they

1 elected to send that person. So we would get some of those in  
2 that class -- but, you know, then also the field itself, as  
3 younger tenured employees go to those track inspection positions,  
4 you know, there's no doubt that they're mentored by more  
5 experienced track inspectors, as well as their supervisors and so  
6 forth, right on up to their engineer of track. What we have  
7 developed this year is a next level track inspection training that  
8 the prerequisite for that is that you have to be in a track  
9 inspector's position. That's what it was really developed for.

10 Q. And do you have to be in that position for a certain  
11 amount of time?

12 A. No.

13 Q. Okay. So --

14 A. No, because it only partners and enhances what they are  
15 already getting in the field from wherever it is that they are  
16 located at.

17 Q. And your mention of the term mentor, that's not really,  
18 I suspect, a function of the REDI institute, that's something that  
19 is occurring on a local level?

20 A. That's right.

21 Q. Okay. What do you expect to happen after a foreman or  
22 inspector has been down there, received the FRA training, and been  
23 back and received additional training once they're on that  
24 position? Is there an expectation that there's going to be  
25 follow-up on how well those employees are applying the instruction

1 received down at the REDI Center into the field? And do you have  
2 involvement in that or is there any communications between the  
3 division people and you on how well that is going, in other words,  
4 being applied in the real world?

5 A. There is -- we don't -- once they leave the training  
6 center -- let's say they come to the 213 track safety standards  
7 training, and then they go to the field, you know -- and I'll tell  
8 anybody that, you know, your ability to track inspect, you know,  
9 the more you do it, the better you get. And so, you know, even  
10 though you may not have that position now is to, you know, stay in  
11 those FRA standards. You know, you can still apply them as you're  
12 on the track, even if you're not holding the position, so that you  
13 become -- so that you become better at using, you know, those  
14 standards and recognizing it, you know, in the track. You don't  
15 have to be a track inspector to be a track inspector, so to speak.

16 But we don't follow them to the field. We don't have  
17 involvement in the field with any of the mentorship. We know that  
18 the field wants them to come to the field and we know the field  
19 wants them to be able to apply those and we know that the field,  
20 at the division level, is that they're going to work with anyone,  
21 you know, that bids on and then is awarded that position to make  
22 sure that that person at some point is competent to apply those  
23 standards. We produced or built and developed the next level of  
24 track inspection training really to help the field in that effort  
25 as another mechanism where you don't have to -- you're not

1 necessarily encumbered with -- you know, maybe you don't have  
2 track time, some of the things that you have to do under traffic.  
3 It's really just devoted for a whole week of focusing on those  
4 skills as it relates to track inspection. You know, you may have  
5 to have an FRA qualification for other positions that are not  
6 related to track inspection, but this is all about somebody that  
7 has got awarded that job, has accepted that responsibility, and  
8 it's additional training to help them in that effort.

9 Q. Okay, one last question here before I pass it off. When  
10 -- just in a general characterization, when you're bringing  
11 employees in and training them on track safety standards, should I  
12 think about the time that they're down there and the instructions  
13 that they're getting is a mixture of how you see and understand,  
14 not only the FRA track safety standards, the regulations in Part  
15 213, but also a CSX way of doing it, standards and procedures?

16 A. Yes. Yeah, that's true. And we do -- you know, the 213  
17 track safety standards training is built off of the FRA 213  
18 regulations.

19 Q. Okay.

20 A. But they get that book and that's the book they use in  
21 class, but what they have right alongside of that is the CSX field  
22 manual, which we do refer to when we have something corresponding  
23 that we're covering in the FRA 213 standards, but we want them to  
24 understand, you know, the CSX requirement that may be in addition  
25 to that, as well, you know, if there's something they need to look



1 at that -- in that from an inspection standpoint, you know,  
2 something that's a little more stringent, and for good reason.

3 Q. Okay. Thank you, Steve. Let me pass it off, if I can,  
4 to Rick.

5 MR. INCLIMA: Thank you, Dick.

6 BY MR. INCLIMA:

7 Q. Steve, can you give me a little bit of an overview of  
8 how you deal with -- how you train for non-cost-specific defects,  
9 in other words, things like fouled ballast? I mean, how do you  
10 train to that when there's really not a, you know, a bright red  
11 line to say, well, you know, here's the tolerance --

12 A. Sure.

13 Q. -- and you're over or you're under?

14 A. Sure.

15 Q. So how do you deal with that in the training program?

16 A. Well, you know, we talk about the standard as it's  
17 written and it relates to drainage and, you know, that drainage is  
18 key. And then when you're, you know, putting that in a, kind of a  
19 real world understanding, and if you get somebody in there that  
20 has done some track inspection and has covered territory, I mean,  
21 you're going to come up on mud and fouled ballast.

22 So, you know, from a non-class-specific standpoint, it  
23 is something that's got to be addressed and, you know, it's the  
24 realistic understanding that you've got to get out. If you have a  
25 mud hole and you have fouled ballast, you got to get out. You got

1 to get out of your truck. You got to know what's there because,  
2 first of all, it's not going to heal itself. And so what you have  
3 to determine is, is whether or not, under load, the track  
4 structure itself, based on what you're seeing as a drainage  
5 problem, if you've got a geometry problem that is starting to  
6 occur along with that. And then from there, you've got to address  
7 that, whether it's writing it up as fouled ballast, you know, what  
8 you measure. That's basically what we instruct anybody that's in  
9 that 213 track safety standards class as it related to drainage  
10 and then fouled ballast out on the railroad.

11 Q. Okay. So if I captured all that, you -- I mean,  
12 obviously, fouled ballast or, you know, saturated subdrain where  
13 you got standing water is a visual indication, but you train, more  
14 or less, to look at the geometry and where you have that --

15 A. Well --

16 Q. -- water condition and geometry, or --

17 A. Well, you could look at it as -- you could just go over  
18 every mud spot you have on the railroad and say I have a drainage  
19 problem, therefore, I have fouled ballast, and then you could just  
20 go ahead and write it up from one end of your railroad to the  
21 other. But, you know, we don't tell them that that's what they  
22 have to do, but we tell them that if you've got mud in the track,  
23 which is a real good indication you've got a drainage problem,  
24 you've got to get out and look at that because as an inspector you  
25 want to know what's happening under load.

1           So if you're going to determine to write it up as fouled  
2 ballast, I mean, you have that prerogative as a track inspector,  
3 but you want to know if there is a geometry problem beginning to  
4 occur because then as a -- you know, when you're -- when you only  
5 have so many resources and you want to make sure that you are  
6 working in the most critical areas, then you're going to assess  
7 every location you may have like that that's on your railroad  
8 based on, you know, where your worst geometry problem may begin to  
9 occur. Maybe it's not to a defect of that class of track, but  
10 it's developing a geometry problem and therefore you're going to  
11 write it up or -- and you're going to make somebody aware of it so  
12 they know what is occurring at that location and it can be  
13 addressed.

14           Q.    Sure.  Okay, great.  I just want to follow up, Steve.  
15 Do you or do any of your trainers -- when you get a question that  
16 might be specific to an FRA condition, FRA defect, you know,  
17 something in the CFR, do you use the FRA compliance manual at all  
18 as a resource or a reference to answer some of those questions,  
19 or --

20           A.    Yeah, we do.  We do use the compliance manual.  Yeah, we  
21 refer to it on many occasions.

22                    If there is a question asked that is somewhat difficult  
23 to understand, you know, the application, we have -- I mean, I've  
24 gotten an FRA officer on the phone, you know.  I mean, we know  
25 some of them, and just, you know, just like the fellow that just

1 left here.

2 Q. Sure.

3 A. I've called Carmen Patriarch (ph.) a couple different  
4 times and asked him questions that weren't really in his realm,  
5 but then he got me in touch with somebody. Because if you're  
6 teaching the FRA track safety standards, which is -- you know, as  
7 the minimum safe standard and, you know, we're telling a track  
8 inspector -- you know, we inspected that to make sure that we are  
9 at least within those parameters, but when we send the section out  
10 to make the repair, we want them -- the repair to be done to a CSX  
11 standard. So you need to understand there's, you know, there's  
12 the difference there. But we have gotten some questions where, in  
13 application of the FRA regulations, we really weren't sure of the  
14 answer we might give so we wanted to make sure that the answer we  
15 were giving scored right --

16 Q. Right.

17 A. -- with what the original intent of the regulation was.

18 Q. Okay. Yeah, then that makes sense.

19 Just as a matter of process, let's say a guy goes down  
20 -- he's been on the road for maybe about a year of service or  
21 whatever and he wants to be a track inspector, so he comes down or  
22 he gets sent down, whatever the case might be, for track inspector  
23 training and he does a 3-week, initial 3-week course; is that  
24 correct?

25 A. No.

1 Q. Oh, okay.

2 A. The 3-week I was referring to was the new hire training.

3 Q. Okay, that's new hire?

4 A. Yeah.

5 Q. What is the --

6 A. The FRA track safety standards is a week-long training.

7 Q. Okay. So, basically, 5 days --

8 A. Yes.

9 Q. -- 5 days training? Does the REDI Center or does your  
10 instructor then designate that person as 213.7 qualified or is  
11 that done somewhere else?

12 A. Well, what we do first with everybody that comes into  
13 training is we give them a pretest.

14 Q. Okay.

15 A. Because the audience varies.

16 Q. Right.

17 A. Their tenure varies. Therefore, you know, the knowledge  
18 that they may or may not have as it relates to the FRA track  
19 safety standards varies. So we give them a pretest and, based on  
20 those scores, it kind of gives us an idea of, you know, the  
21 knowledge base or skill set of the audience so we kind of know,  
22 you know, what we may be in for, so to speak, as we're going to go  
23 through the rest of the week. And it also tells you, if they do  
24 have some knowledge, where, you know, it's -- we need to focus  
25 more on. And then partway through the week, we have -- they get a

1 quiz on turnout components, then they have a post-test which is  
2 prior to the qualification test. So it tells us somewhat of how  
3 far they've come in their knowledge of the regulations through  
4 that week, and then on that last day, the qualification test or  
5 the final is administered to them.

6 Q. Okay. And that -- if a guy or gal passes the final test  
7 at that point, is it the REDI Center's responsibility or charge to  
8 say that's -- you know, you're 213.7 qualified or does that happen  
9 by --

10 A. If a person passes the final in the 213 regulations  
11 training, that means they have passed the final in the 213  
12 regulations training, so they meet -- from an understanding of the  
13 regulations, they meet that part of it. You know, application of  
14 213, you know, goes beyond that and at some point it's the --  
15 depending on what they're going to, you know, the field, then,  
16 will take it from there and spend the time with them, then, to  
17 determine whether they are proficient to be able to apply those  
18 regulations, that based on that final they understand, in that  
19 position.

20 Q. Okay. So -- just so I understand, so then, basically,  
21 the student passes the final exam, if you will --

22 A. Sure.

23 Q. -- for track inspector, but that's just one phase of  
24 becoming a track inspector?

25 A. Yeah, if he passes the --

1 Q. So you've got the book learning down and now someone  
2 back in the field is going to mentor and continue field training  
3 until they can demonstrate their knowledge and application.

4 A. That's right.

5 Q. And at that point they're designated, okay, you can --  
6 you know, we can award you that track inspector's job. Is  
7 that --

8 A. Well, he may be awarded the job by bid, but, you know,  
9 you know how the bid process works?

10 Q. Um-hum.

11 A. It's whether or not he's going to remain in that  
12 position because he has shown to his division that he's competent  
13 to apply those regulations in the field. So it's more not so much  
14 -- I mean, you could put him out there and ride with somebody  
15 from, you know, now on, but at some point you want that person to  
16 be able to be trusted to work alone as a track inspector and you  
17 know that they're -- they've shown you -- showed you that they are  
18 competent enough to apply those in the field, you know, identify  
19 the defects and take the required remedial action, and you're  
20 comfortable with that person's ability to do so.

21 Q. Okay. So it's basically a two-phase --

22 A. It's a progression.

23 Q. Yes. Okay, thank you.

24 MR. INCLIMA: That's all the questions I have for now.

25 MR. HIPSKIND: Thanks, Rick.

1 Frank?

2 MR. CROWTHER: Yeah, I got a follow-up actually to  
3 Rick's question because it was my question, and then he took it --

4 MR. INCLIMA: Stole it, right.

5 MR. CROWTHER: -- and that's fine.

6 BY MR. CROWTHER:

7 Q. But it's the field training that I want to make sure I  
8 clearly understand. An employee, regardless of how long he's been  
9 on the job -- in the field, can apply to attend FRA training down  
10 at the school in Atlanta and -- because he needs this training in  
11 order to be qualified to bid on a track inspector's job or a track  
12 foreman's job. Both of those jobs need an FRA certification?

13 A. Right.

14 Q. Right. So they go down and they get training, then they  
15 come out of the school, they've passed the test, but they don't  
16 have the working knowledge. They have book knowledge, no working  
17 knowledge.

18 A. Right.

19 Q. Or some of them might, but -- okay. From what I see in  
20 the field, most of the guys are young that are raising their hand  
21 to take these jobs. There's not too many old people. So they  
22 need more field experience to apply these rules. I want to make  
23 sure I understand this. There is -- you do not have -- the school  
24 or CSX does not have an on-the-job training program that follow  
25 these people that the division can use to report on them to the



1 school or to themselves to see how the guy is progressing and if  
2 he should be in the job or does he need remedial training or  
3 anything like that? There's no formal OJT program for these  
4 people?

5 A. No. At the present time, there is no formal OJT that is  
6 under the direction of the training center.

7 Q. Okay.

8 MR. CROWTHER: That's all I have, Dick.

9 MR. HIPSKIND: Okay, thanks, Frank.

10 Jim, any questions?

11 MR. SOUTHWORTH: Yeah, just to follow up on that.

12 BY MR. SOUTHWORTH:

13 Q. If an employee feels he has a certain need or a certain  
14 need has been identified after he's gone through the early basic  
15 training as a new employee, kind of backpacking on what you were  
16 talking about, who makes the determination of whether they need  
17 refresher training or some type of remedial training or additional  
18 assessments or help or -- and I don't care if they send them back  
19 to Atlanta or they do it in the field. Who makes the decision  
20 where and when this employee needs to have those needs met? Does  
21 it come from his immediate supervisor? Is there a discussion back  
22 in Atlanta on how well he did in his training, or when you get  
23 somebody that's out in the field -- I'm not saying they don't  
24 measure up, but there's a particular need either they've  
25 identified themselves to say they don't understand something or

1 know how to work something or a supervisor has seen that they  
2 don't know how to do something or need more knowledge, let's say,  
3 how does that happen? I mean, at some point you make assessments  
4 of all employees. Some probably stay and some pick different  
5 careers. But if there's someone out there that you've invested  
6 the time in, how do you go about making sure that the OJT now  
7 meshes with -- on-the-job training now meshes with the schooling  
8 that they got in Atlanta?

9 A. It would -- the field would make that --

10 Q. The field (indiscernible) --

11 A. -- make that assessment. His --

12 Q. The job that he's at, but --

13 A. Yeah, his roadmaster, his engineer of track would make  
14 that assessment and, you know, could refer him back to the  
15 training center for some additional training that the training  
16 center has.

17 Q. We went out hi-railing and did some discussions with  
18 Randy Daniels about different things and see how they -- we were  
19 able to see how they do some of their work and plan their work in  
20 those areas. Is there any training that they'll get as a new  
21 employee or later on that standardizes -- not necessarily sets  
22 policy, but shows them how CSX determines how they'll go out and  
23 do their work? What work -- I mean, I know the work ends up being  
24 different on different divisions, but are the priorities the same  
25 in one division as they are in another division as they are in

1 another division on what they'll be looking for when they do track  
2 inspections? Do they -- are they trained on what's higher  
3 priority, what's the things you can't miss? Like, a person --

4 A. You're asking if the field itself --

5 Q. Well, is any of it represented in the classroom? We  
6 talked earlier about they walk curves and, of course, the longer  
7 and the sharper the curve, the more they need to get on the ground  
8 and inspect those things on foot. Is that something that's taught  
9 in the classroom or is that something they pick up on the job?  
10 I'm just trying to get a feel in my mind of how much basic kind of  
11 information they get and how much is refined in the field.

12 A. Yeah. Well, you know, those things are covered in the  
13 classroom and, you know, to the extent that you may give some  
14 examples could depend on who the particular instructor is at the  
15 time that has that class and his or her level of experience when  
16 they were in the field, so they're going to draw off of their  
17 experience, so that's going to vary. You know, if I was in there  
18 versus somebody who was, you know -- has 15, you know, a total of  
19 15 years and was a track inspector, may not draw some of the same  
20 experience as I will, but they all do refer to the need to get out  
21 with certain things you may see.

22 You know, you see that spalling on the lower rail where  
23 it seems like it's a little bit cupped out? You know, you don't  
24 just want to -- when you see something like that, I would tell  
25 them that in my experience, what that tells me is, especially if I

1 -- if it's territory when I was engineer of track and it had never  
2 been there before, I'm going to see thing that tells me that I  
3 need to get out and take a closer look because from my experience  
4 in the -- you know, prior to that, those usually were signs that  
5 told me the gauge may be opening up, you know. There's things  
6 that can tell you that you need to take a closer look.

7           You know, if I go to a territory and I'm walking a  
8 curve, it may all look uniform, but I usually always throw a tape  
9 down because I'm not been there before, I want to get a point of  
10 reference how it's running, you know, all together, and then you  
11 start looking for the things that may be under load. We do share  
12 those things in the classroom with those potential track  
13 inspectors, but those -- whatever we give them to the best of our  
14 ability of our experiences in the field in our own application of  
15 those regulations, you know, when they get out in the field and  
16 you're doing that with someone day in and day out because that's  
17 the job you have, then, yeah, they're going to get much more,  
18 hopefully, from the field at the location that they're going to.

19           Q.    So if they make a repair after an inspection or they  
20 find something that needs attention, it's clear in their mind from  
21 both their classroom as well as OJT that there is -- the FRA  
22 regulations require a certain amount of work is done here to bring  
23 it up to the standard, to the regulations, and then they also  
24 clearly know then that there is additional work that CSX asks them  
25 to do beyond the regulations. That's just something I wanted to

1 get clear in my own mind, that that's actually something you kind  
2 of teach them in their training then.

3 A. We do. Absolutely, absolutely. We may be inspecting to  
4 an FRA standard, but we are doing our work and making our repairs  
5 to CSX standards because then we know we're going, you know, well  
6 beyond the requirement of the FRA.

7 Q. We've heard a lot about ITIS, and do they get formal  
8 training at your training center on the ITIS system itself?

9 A. Well, in the FRA track safety standards training, you  
10 know, ITIS is more mentioned because the majority of that class  
11 are not track inspectors.

12 Q. Okay.

13 A. And, you know, the ITIS system, I mean, it has a lot of  
14 parts and pieces to it. It is a part of the training that we  
15 started earlier this year that specifically is around the  
16 application of track inspection. So training in the ITIS is in  
17 that class because those are track inspectors.

18 Q. Okay.

19 BY MR. HIPSKIND:

20 Q. Steve, do we have your permission to keep going here? I  
21 think we can maybe wrap it up in another 10, 15 minutes.

22 A. Oh, absolutely.

23 Q. Okay. And the conversation and discussion has been  
24 great thus far. It's been very illuminating for me. When you go  
25 through -- I'm going to say that you go through each element of

1 the Part 213 track safety standards, beginning, middle, end,  
2 right?

3 A. Yeah.

4 Q. And you take a week to do that and when you need to --  
5 if you need to go to the FRA Compliance Manual, you do that? If  
6 you need -- you shook your head yes, so I --

7 A. Yes.

8 Q. -- I take it that's a yes?

9 A. Yes.

10 Q. Okay. And if you need even further clarification  
11 because somebody's bringing up a, not a hypothetical, but a real  
12 world condition, you will even reach out to FRA managers or safety  
13 inspectors and you'll get their input as well?

14 A. We have done that.

15 Q. Okay. What do you do when you talk about rail change-  
16 outs? Because there are, there's prescriptive measures in the  
17 safety standards about, oh, percentages that the rail had in  
18 different remedial actions. They're listed alphabetically, A, B,  
19 C, D, and sometimes they indicate where you put a pair of bars on  
20 them within a certain numbers of days. Sometimes they say put a  
21 certain slow order on them and check it. And I imagine that CSX  
22 has a shadow defective rail remedial action table as well. Is  
23 that true?

24 A. Shadow?

25 Q. Well, that mirrors that FRA?

1 A. Oh, yeah, right.

2 Q. The FRA has a prescriptive table about defective rails?

3 A. Right.

4 Q. They have --

5 A. Names the defect, measures it in inches or percentages  
6 and --

7 Q. And an option of what you can -- need to do based on --

8 A. Right.

9 Q. -- defect size, et cetera?

10 A. And then CSX has a column right alongside of that where  
11 it has some additional requirement, depending on the defect and  
12 the size of the defect.

13 Q. And that's what I went by the word shadow.

14 A. Right.

15 Q. You've got your way of doing things too, okay?

16 A. Right.

17 Q. Now, it's my understanding that, like, the FRA doesn't  
18 get as prescriptive down to the level of, well, when you're out  
19 measuring the location of the defect, you need to cut out, say,  
20 for example, for purposes of our discussion, you need to cut out  
21 the entire rail. I don't recall ever seeing that in the FRA  
22 remedial actions for defective rail conditions. Am I right about  
23 that? Do you want to think about that?

24 A. Yeah. I'm thinking that you're right and that it's --  
25 and that it may be the CSX column that shows the replacement of

1 the entire rail if it is a transfer (indiscernible).

2 Q. Well, that's what I wanted to bring into this  
3 discussion, that there is yet another example of where CSX -- back  
4 to Jim's point, you know, FRA might tell the people following the  
5 Sperry car do X, Y, and Z based on the speed of the operation out  
6 there and the size of the defect, et cetera, but there is this  
7 other CSX remedial action that may be more restrictive and more  
8 prescriptive about just how they're going to go about fixing that  
9 certain rail defect. Is that fair enough to say it that way?

10 A. Yeah. When you say descriptive or prescriptive, I'm not  
11 sure just how much more descriptive or prescriptive CSX is. It  
12 does have some additional requirement where maybe they lessen the  
13 amount of days or, like in this case, depending on the type of  
14 defect, you know, if it's something that historically was due to  
15 the rolling of the rail at the middle, then, yeah, the requirement  
16 is that if you've got that spot, then that whole rail from joint  
17 to joint or weld to weld --

18 Q. Okay. Well, I've got a suggestion. Because I don't  
19 want us to spend all day and all of your time talking about each  
20 and every example that we can think of to show a difference in the  
21 CSX way of doing things and the FRA interpretation of each and  
22 every defect, so why don't we agree on this. You kind of know  
23 what we're after and why don't you take a first cut at sending us  
24 some training materials. And I'll make that as a formal request  
25 and you can send it to me and I'll share it with the Track Group



1 and I will take responsibility to copy, Mr. Southworth. And we'll  
2 take a review of that and if we need additional information, we'll  
3 reach out to you.

4 A. Sure, we can do that. And you'll kind of zero in on the  
5 area that you're --

6 Q. Yeah.

7 A. -- most interested in?

8 Q. Yeah.

9 A. Sure.

10 Q. And you mentioned earlier that sometimes you bring in  
11 subject experts or whatever, so why don't we just agree that we'll  
12 have that kind of basic fundamental exchange of some of the stuff  
13 that you want to send us, and then we'll just kind of  
14 progressively go with their -- from there if we need to.

15 A. Sure. Okay.

16 Q. Okay. And one more thing. I want to kind of tie up a  
17 loose end. When Rick was talking about fouled ballast conditions,  
18 I heard you talk about geometry, I heard him talking about  
19 geometry, but, in your mind and in your instruction, the training  
20 center's instruction to employees, does there have to be a  
21 threshold breaking measurement of geometry at a fouled ballast  
22 condition before somebody takes action?

23 A. No, there doesn't have to be.

24 Q. Okay.

25 A. There doesn't have to be.

1 Q. Okay, that's all I've got.

2 MR. HIPSKIND: Randy, did you have something or -- maybe  
3 we skipped over you earlier.

4 MR. DANIELS: No. I just -- just some things that --

5 BY MR. DANIELS:

6 Q. You know, you said that no one -- that you don't --  
7 there's no formal method of you getting feedback on the  
8 performance of employees, but you get informal feedback  
9 occasionally, don't you?

10 A. We do. We do.

11 Q. And you give informal feedback to the field?

12 A. Oh, well --

13 Q. -- from the employees that are down there?

14 A. We do. And we, you know, we give an evaluation to the  
15 employees, you know, of the training itself.

16 MR. HIPSKIND: Okay, Randy, I'll just ask around again  
17 real quick.

18 Rick, anything else?

19 MR. INCLIMA: No, sir.

20 MR. HIPSKIND: And Frank?

21 MR. CROWTHER: No, sir. All set.

22 MR. HIPSKIND: Okay. And everybody's willing to wait on  
23 the receipt and distribution of some of the training materials in  
24 case we have additional questions? Okay.

25 And, Jim, I'm done and if I may pass it back to you for

1 closing, if you don't have anything else.

2 MR. SOUTHWORTH: No, I'm done.

3 Between now and when you put the training items  
4 together, I may come up with some ideas of my own that I want,  
5 kind of, Steve, and as well as what kind of evaluation that the  
6 employees would give you on your course that might provide some of  
7 that feedback back and forth as well. Other than that, we  
8 appreciate your time and effort to come up here and see us --

9 MR. FRAZIER: Sure.

10 MR. SOUTHWORTH: -- in the land of the American League  
11 almost champions. And thanks again for your answers in detail.  
12 Appreciate it. And we'll take a break now.

13 (Whereupon, the interview was concluded.)

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF: CSX TRAIN DERRAILMENT  
AUGUST 20, 2012  
ELLICOTT CITY, MARYLAND  
Interview of Steve Frazier

DOCKET NUMBER: DCA-12-MR-009

PLACE: Ellicott City, Maryland

DATE: October 18, 2012

was held according to the record, and that this is the original,  
complete, true and accurate transcript which has been transcribed  
to the best of my skill and ability.

---

Karen M. Galvez  
Transcriber