

NATIONAL TRANSPORTATION SAFETY BOARD

----- :  
 IN RE: :  
 :  
 THE HEAD ON COLLISION THAT :  
 OCCURRED ON BNSF RAILWAY : NTSB Accident No.  
 IN PANHANDLE, TEXAS ON : DCA16MR008  
 JUNE 28, 2016 :  
 :  
 ----- :

Interview of: AARON RATLEDGE

Wednesday,  
August 31, 2016

Panhandle, Texas

BEFORE:

TOMAS TORRES, NTSB  
 RYAN RINGELMAN, BNSF  
 AARON RATLEDGE, BNSF  
 STEVE FACKLAN, BLET  
 KAMRON SAUNDERS, SMART TD  
 CHRIS MARTINEZ, FRA  
 JIM SOUTHWORTH, NTSB  
 RICK NARVELL, NTSB

This transcript was produced from audio provided by the National Transportation Safety Board.

P-R-O-C-E-E-D-I-N-G-S

1  
2 JIM SOUTHWORTH: Okay, we'll start again.  
3 We're going to do a se  
4 cond interview. Again, my name is Jim  
5 Southworth, S-O-U-T-H-W-O-R-T-H. I am the  
6 investigation charge for the investigation of the  
7 head-on collision that occurred in Amarillo --  
8 sorry, Panhandle, Texas on June 28, 2016. The  
9 NTSB number is DCA16MR008. We are still at the  
10 Wingate Hotel in Amarillo and our interview for  
11 this session is with Aaron Ratledge.

12 Aaron, we spoke earlier and you consented to  
13 having this interview recorded, is that correct?

14 AARON RATLEDGE: Yes, sir.

15 JIM SOUTHWORTH: And you were told of your  
16 allowance to have a representative with you if you felt  
17 needed to be?

18 AARON RATLEDGE: Yes.

19 JIM SOUTHWORTH: And you do not have a  
20 representative, so I guess you're waving that and don't  
21 feel the need for one?

22 AARON RATLEDGE: Correct.

23 JIM SOUTHWORTH: Okay, thank you.

24 We'll handle this the same as we did in the  
25 earlier interview. We will quickly go around the room,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 again, identify who we are, spell your last name and  
2 your affiliation with your -- your corporate  
3 identification or affiliation and for the labor unions  
4 if you can mention the task force that you're a member  
5 of.

6 We'll start to my left and we'll go to my  
7 right after that. So, go ahead.

8 TOMAS TORRES: Tomas Torres, NTSB. T-O-M-A-  
9 S, T-O-R-R-E-S.

10 JIM SOUTHWORTH: And again, I'm Jim  
11 Southworth. Then we'll go to my right.

12 STEVE FACKLAN: Steve Facklan, F-A-C-K-L-A-  
13 N. The primary investigator, BLET Safety Task Force.

14 RYAN RINGELMAN: Ryan Ringelman, R-I-N-G-E-  
15 L-M-A-N. BNSF System Safety.

16 CHRIS MARTINEZ: Chris Martinez, M-A-R-T-I-  
17 N-E-Z. FRA.

18 KAMRON SAUNDERS: Kamron Saunders, K-A-M-R-  
19 O-N, S-A-U-N-D-E-R-S. Smart TD, National Safety Team.

20 RICK NARVELL: Rick Narvell, N like in  
21 Nancy, A-R-V like in Victor, E double L, with NTSB.

22 JIM SOUTHWORTH: And, Aaron, is it okay that  
23 we go on a first name basis?

24 AARON RATLEDGE: Yes, sir.

25 JIM SOUTHWORTH: Okay, and if you wouldn't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 mind start with a little bit about your history with  
2 the railroad leading up to your current position, and  
3 then give us a little bit more detail about what you  
4 currently do. Then also spell your first and last  
5 name, and then we'll begin our first round of  
6 questioning.

7           AARON RATLEDGE: Okay, double A, R-O-N,  
8 Ratledge, R-A-T-L-E-D-G-E. I first started for the  
9 railroad with one of BNSF's predecessor railroads, the  
10 Sante Fe Railway in Clovis, New Mexico. Hired out in  
11 November of 1994 as a brakeman/conductor/switchman, was  
12 on the ground so-to-speak for three years, and then in  
13 1997 acquired my Locomotive Engineer's certificate and  
14 then ran trains for approximately three years. Then  
15 began my entry-level management career at Clovis as an  
16 Assistant Trainmaster for ten months, and then was  
17 promoted to a Trainmaster in Saint Louis, Missouri. I  
18 was in that capacity for a little over two years, and  
19 then I was promoted to a Road Foreman of Engines in  
20 Birmingham, Alabama.

21           I was in that capacity for 18 months, and I  
22 had responsibilities of a line segment between Memphis  
23 and Birmingham with several locomotive engineers and  
24 also some division trainmaster responsibilities. At  
25 that point in time I was promoted to a Senior Manager

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of Train Handling in Forth Worth, Texas, a lot of  
2 operating practices, specific duties with that, a lot  
3 of event record analysis, train accidents, crossing  
4 accident investigation, a lot of derailment scenarios,  
5 accident analysis with event recorders. I was in that  
6 capacity for about three years and then I was promoted  
7 to a Superintendent of Operating Practices in Kansas  
8 City. I was in that capacity for about five months,  
9 and then promoted to a Superintendent of Operations in  
10 Kansas City.

11 I was in that capacity for about three  
12 years, and then I became the Director of Train Handling  
13 for BNSF in Fort Worth in 2010. I was on that position  
14 for about two years -- excuse me, three years. For the  
15 last three years I've been serving in the capacity of  
16 General Director of Operating Practices for BNSF.  
17 Essentially what my role is, is all things train  
18 handling, air brake and train handling rules. My  
19 responsibility includes making those rules, assuring  
20 that we comply with the federal regulations as their  
21 codified and translating those into applicable rules  
22 for our engineers and conductors to be able to carry  
23 those out accordingly. I do a lot of event recorder  
24 analysis, post derailment, and so on and so forth.

25 Does that adequately answer it?

1           JIM SOUTHWORTH: Yes, that was good. I  
2 appreciate the detail, and for the record he's not on a  
3 teleprompter, a good bit of information there. I  
4 appreciate it.

5           So, we'll start with Tomas. Go ahead.

6           TOMAS TORRES: Okay, Mr. Ratledge, or Aaron,  
7 can you explain the BNSF discipline policy?

8           AARON RATLEDGE: We have a, not in great  
9 detail, we have a policy that's called the PEPA Policy  
10 and I can't remember exactly what the acronym stands  
11 for. It's Personal -- I can't recall what the acronym  
12 stands for, but yes, in short we do have a discipline  
13 policy. And essentially it is tiered into serious  
14 rules violations and non-serious rule violation. And  
15 it's progressive. I mean, if there's a rules  
16 infraction, then we have what we call an investigation  
17 process that's established with a collective bargaining  
18 agreement with labor where we carry out those  
19 investigations.

20           TOMAS TORRES: Okay. In regards to the  
21 engineer on the striking train the police filed on June  
22 28, I guess task failures and disciplines from all the  
23 way from 2012 to 2016, June of this year, how had that  
24 policy been implemented? Because on the third  
25 paragraph under "Discipline Policies," the way it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reads, it says, "Rule compliance is essential to a safe  
2 operation and we expect everyone at BNSF to  
3 consistently comply with our safety and operating  
4 rules. For those rare cases where an employee shows a  
5 marked disregard for BNSF rules, procedure and safety,  
6 this policy provides a process to enforce BNSF and  
7 federal safety rules."

8 So, would this had addressed this type of  
9 work history?

10 AARON RATLEDGE: If I understand your  
11 question properly, the question is with Mr. Owens past  
12 history, which you described, would it have been  
13 handled through the type of policy, and my answer to  
14 that would be yes.

15 TOMAS TORRES: Yes. So, he would have been  
16 allowed to continue with his pattern of not being  
17 consistent in complying with rules and regulations year  
18 after year?

19 AARON RATLEDGE: I would have to get into  
20 the details of what each exception would be to be able  
21 to say this exception follows this part of the PEPA  
22 Policy and this exception pertains to this part of the  
23 PEPA Policy to be able to accurately answer that  
24 question, and I apologize.

25 TOMAS TORRES: Well, my question is, too, is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this like your normal work history? I mean, will this  
2 be your average? Would you consider it your average  
3 work history for an engineer or a conductor?

4 AARON RATLEDGE: With his -- to what regard,  
5 though?

6 TOMAS TORRES: You know, as far as testing  
7 failures, his decertifiable events that he had here  
8 from 2012 to 2016?

9 AARON RATLEDGE: I can speak more to the  
10 decertification piece because I'm closer to that, but  
11 as far as the rules and testing and procedures, that's  
12 really kind of out of my realm of responsibility. But  
13 what I can say is that from a decertification  
14 standpoint, we have -- I'm not going to quote a number,  
15 but we have several engineers across BNSF that have had  
16 decertifications and we handle them consistently  
17 through the PEPA Policy. Now, some of those  
18 decertifications can qualify for alternative handling  
19 and some can't. Which ones can and which ones can't, I  
20 can't explain. That is a lot of that's dependent upon  
21 the field, but I'll call the field the general manager  
22 and the upper levels of management from that point.

23 But what I can say is that we've had several  
24 decertifications across BNSF, and for me to sit here  
25 and say that Cody was an outstander or someone who

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 stood out part and above from everybody else, I can't  
2 say that.

3 TOMAS TORRES: Does BNSF have a program in  
4 place to identify employees that are a challenge with  
5 complying with the rules and regulations? Do they  
6 identify individuals like that? Do they have remedial  
7 actions for something like that? Other than, you know,  
8 like how do they keep track of somewhere?

9 AARON RATLEDGE: Well, we have databases.  
10 Again, I don't want to get caught up talking about  
11 those databases because I don't own and manage those,  
12 so what I say may not be current or up to date, just to  
13 preface it that way. But we do have tracking  
14 databases. For example, operations testing. Whenever  
15 we have operations testing passes or exceptions or  
16 failures, we track that and we document that. For  
17 another system that's tackled onto that, I cannot sit  
18 here and say specifically what that is and what is  
19 intact.

20 We do have an engineer scorecard, per se,  
21 where we actually look at an engineer and based upon  
22 several factors we actually rate our engineers. And  
23 that is for the field to go out and understand who may  
24 need a little more attention more than others. We  
25 also, when an individual does undergo a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 decertification, we have a remedial training class that  
2 we actually send him or her to in Kansas City. It's a  
3 two-day class, if they qualify for the class. If it's  
4 their first-time decertification, we actually send  
5 them, we pay them to go to this two-day class in Kansas  
6 City. It's not a rules class, we don't want to be a  
7 rules class, the employees should know the rules.

8           It is a class that we put together that  
9 talks more about proactive cab communications, how to  
10 talk to your fellow conductor, engineer in the cab to  
11 try to prevent a decertification from setting in.  
12 Again, we didn't want to go down the rules path, the  
13 rules class for this retraining class. The second half  
14 of the day is we put them in the locomotive simulators  
15 in Kansas City and we take them through unusual  
16 scenarios where they can actually practice what they've  
17 just learned over the previous day and a half to take  
18 what they've learned and practice it in semi-real life  
19 and some of the other. A lot of positive feedback we  
20 received from that class.

21           And we've taken pieces of that class and  
22 plugged it into several other parts of our enhanced  
23 safety training, locomotive engineer training classes,  
24 so a lot of the positive nugget's we've taken out of  
25 that we plugged it into other spots, so we don't have

1 to have an employee be decertified to actually go into  
2 this class to reap the benefits of it.

3 TOMAS TORRES: Could BNSF have done anything  
4 different with this employee to get him back on track?

5 AARON RATLEDGE: Not that I'm aware of.

6 TOMAS TORRES: So, once he's decertified, he  
7 goes through that program, then he comes back to the  
8 field, what happens when he's back in the workforce?

9 AARON RATLEDGE: So, when he's back into the  
10 field, and again, some others that will be interviewed  
11 today can probably explain a little bit better than  
12 what I can in the field. What I can say is that when  
13 they come back from this training class in Kansas City,  
14 they come back to the field with a fresh and new  
15 perspective on how cab communications are to be carried  
16 out and to practice those.

17 Typically when they go to this class it's  
18 only a 30-day suspension for revocation of their  
19 certification. A lot of the times it's reduced down to  
20 a 15-day revocation. Railroads have that right under  
21 the regulations to be able to shorten that to half the  
22 time actually served.

23 TOMAS TORRES: Now, do you know if this  
24 employee went through that program?

25 AARON RATLEDGE: I do not know.

1 TOMAS TORRES: Okay. Can you explain --

2 AARON RATLEDGE: We can find out. I just  
3 can't recall right off the top of my head.

4 TOMAS TORRES: Can you explain the  
5 alternative handling and how that works?

6 AARON RATLEDGE: Yes. Again, I'm going to  
7 go back to my previous experience as a superintendent  
8 six years ago in Kansas City. The Alternative Handling  
9 Plan is a collective bargaining agreement with the  
10 railroad and both sides of the labor with BLET and  
11 SMART TD and it is a proactive form of alternative  
12 handling just like it says in lieu of discipline. For  
13 employees who do qualify who are eligible for  
14 alternative handling and are candidate and it's a  
15 proactive process to where we develop Alternative  
16 Handling Plans with labor and management together to  
17 help benefit the employee, or as opposed to having a  
18 discipline assessed.

19 But once the rules infraction is incurred,  
20 an investigation is issued. If an investigation is  
21 issued due to the nature of the sensitivity of the  
22 violation, then it's the responsibility of the local  
23 chairman to request alternative handling, if wanted.  
24 Sometimes alternative handling is not requested and we  
25 proceed to an investigation format. Once it is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 requested and granted, then that's what executes or  
2 kicks off the alternative handling formation for that  
3 employee to follow and adhere to.

4           Once completed, it's documented, it's not  
5 made part of their personal record, it's maintained in  
6 another database for record-keeping.

7           TOMAS TORRES: And once the railroad makes a  
8 plan, an alternative plan for that specific individual,  
9 what's the duration for that plan?

10           AARON RATLEDGE: It's variable, Mr. Torres.  
11 It can last two days, two weeks. It just depends on  
12 what the plan has developed. I mean, some of the plans  
13 that we created back in 2010 were -- I mean, for minor  
14 violations that was -- we had certain computer-based  
15 modules that the employee had to take. There were some  
16 events where we included that employee and their peers  
17 in a peer-to-peer marathon where we had employees at  
18 the crew location talking to crews and explaining what  
19 the violation was and how they got into it, but others  
20 are essentially maybe even coming up with drawing of a  
21 safety briefing that can be brought up in explaining  
22 the event to be able to be communicated throughout the  
23 rest of their peers to try to avoid similar  
24 infractions, as that employee was given.

25           TOMAS TORRES: Here on Section C of the

1 alternative handling, in one part it reads that the  
2 Alternative Handling Plan role in general be less than  
3 ten days. For somebody that's struggling, will ten  
4 days be sufficient to have remedial training or  
5 corrective action? When you go back two, three years  
6 and you see that he's been struggling, is ten days  
7 sufficient?

8           AARON RATLEDGE: I think for the Alternative  
9 Handling Plan of course a ten-day period is sufficient,  
10 but it's the follow-up that we have. I mean, the  
11 follow-up (inaudible) 16:55, the follow-up contact  
12 rides that we have with that employee is just as much  
13 as important that we talk with the employee, check with  
14 him, how's it going, any issues, can you share some  
15 recent examples of where you polished your training and  
16 habits and noticed considerable differences in how you  
17 were handling (inaudible) 17:17.

18           TOMAS TORRES: I'll pass it onto Rick.

19           RICK NARVELL: I'm sorry, apologies. Good  
20 morning, Mr. Ratledge. I have a few questions here  
21 based on what Mr. Torres, if I may ask more  
22 clarification and additional information, and then I'm  
23 going to ask you about Trip Optimizer.

24           For the record, Mr. Ratledge was able to  
25 provide me, last evening the 23rd of August, some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 information on Trip Optimizer or TO which I found very  
2 useful. I had a chance to go to preliminary and look  
3 this morning, and I have that for us here on scene if  
4 anybody wants to look at that. So, thank you for that.

5 Can you talk a little bit more, if you can,  
6 about this engineer scorecard? What are the elements  
7 in this scorecard, if you know?

8 AARON RATLEDGE: We look at the train  
9 handling events that may have surfaced, we look at  
10 testing scores, we look at operations tests from the  
11 field that the employee may have had exceptions with,  
12 but we also look at the passes. It's a point reduction  
13 system, we don't continue to take points away to where  
14 an employee over time can't build them back. So,  
15 everybody starts out with 100 and they work from there  
16 as to how those points come off or go back on.

17 RICK NARVELL: Okay. Would we be able to  
18 get like an exemplary, a clean copy of the scorecard?

19 AARON RATLEDGE: Yes.

20 RICK NARVELL: Okay. So I can request to  
21 get that at some point from the BNSF.

22 How many engineers are employed throughout  
23 the system on the BNSF, roughly?

24 AARON RATLEDGE: We roughly have about 9,000  
25 certified locomotive engineers.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 RICK NARVELL: Okay. And if you know, could  
2 you give us a percentage or a number, or both, of how  
3 many of those have utilized the alternative handling  
4 program or policy, if you will?

5 AARON RATLEDGE: I sure can't.

6 RICK NARVELL: Okay.

7 AARON RATLEDGE: I apologize, but I can't.

8 RICK NARVELL: That's fine. So, that 9,400  
9 total, or no? Is that right?

10 AARON RATLEDGE: Approximately 9,000.

11 RICK NARVELL: About 9,000, okay. You  
12 mentioned this two-day class up in, I guess is that  
13 Overland Park over in the schoolhouse up there?

14 AARON RATLEDGE: Yes, sir.

15 RICK NARVELL: Which a number of us,  
16 including myself, have been to. And one of the things  
17 you talked about for the day and a half is the, I  
18 believe you used the words "enhanced communication" or  
19 "improved communication" between the, a standard  
20 scenario of a conductor and an engineer. Are you  
21 familiar with the term "crew resource management" or  
22 CRM?

23 AARON RATLEDGE: I've heard the name, but I  
24 couldn't give a lot of specifics or details behind it.

25 RICK NARVELL: Okay. The reason I'm asking

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 is that in a traditional sense that CRM, it sounded  
2 something like that because one component of the CRM is  
3 enhanced communication between all individuals in an  
4 environment. So, that's what I wanted to clarify, this  
5 is something akin to or a variation of resource  
6 management?

7 AARON RATLEDGE: I can tell you its  
8 development was not derived from a CRM or any type of a  
9 program that you may be aware of, this was an in-house  
10 development program.

11 RICK NARVELL: Okay, good. Thanks. And I  
12 guess the last area for now before we get into Trip  
13 Optimizer is alternative handling. When did this come  
14 into existence between the railroad and the labor? You  
15 got a year for us?

16 AARON RATLEDGE: Don't catch me guessing,  
17 but it's going to be early 2000's.

18 RICK NARVELL: So, it's been around for 16  
19 years and some change roughly?

20 AARON RATLEDGE: Yes, sir.

21 RICK NARVELL: Okay. Has alternative  
22 handling ever been I guess evaluated or assessed either  
23 internally with all the stakeholders and/or externally  
24 by an outside entity?

25 AARON RATLEDGE: Not to my knowledge.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 RICK NARVELL: For effectiveness and  
2 efficiency.

3 AARON RATLEDGE: I can't comment on that. I  
4 just don't know.

5 RICK NARVELL: Okay. All right. Trip  
6 Optimizer, yesterday, again, just for the record, I had  
7 an opportunity to ride in with a train crew on the  
8 outskirts of Amarillo with Mr. Ratledge and to observe  
9 a working, if you will, Trip Optimizer unit or system,  
10 and that in concert with the literature he provided was  
11 helpful.

12 I'm just going to start general and then  
13 we'll work down. Can you just tell us, for the record  
14 briefly, what the purpose of Trip Optimizer, TO, is and  
15 when it became first operational in the BNSF?

16 AARON RATLEDGE: Correct. So, back in early  
17 2010 time frame, don't quote me on the specific month,  
18 the genesis of a Trip Optimizer -- it was first called  
19 Trip Adviser. Whenever I came back to Fort Worth from  
20 Kansas City in 2010, a Trip Adviser program was being  
21 worked on between operating practices and General  
22 Electric Transportation Systems out of Melbourne,  
23 Florida. And what that was, was essentially a  
24 prompting system for enhanced train handling and also a  
25 fuel conservation-based play.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So, Trip Adviser, again, was a prompting  
2 system, very comparable to New York Air Brake's product  
3 called LEADER. But it was shortly thereafter we  
4 started to transition over to an automated fuel  
5 efficiency, train-handling based tool for locomotive  
6 engineers called Trip Optimizer, which was the  
7 automatic control of a train's throttle. Automatic  
8 control of the dynamic brake was not incorporated at  
9 that point in time yet, so in the genesis it was  
10 thought to be a fuel conservation tool for locomotive  
11 engineers and also to assist with train handling  
12 techniques over certain territories of the railroad.  
13 But, essentially, it has developed and matured into a  
14 product to where it's not only a fuel efficiency  
15 program, but it also has benefits inherent to Form A  
16 speed restrictions, Form B restrictions and a  
17 decertification or mitigation, a decertification or a  
18 rules violation mitigation component.

19           It has the ability to show engineers and  
20 actually automatically run through slow orders  
21 automatically without a potential violation or a crew  
22 overlooking a temporary slow order. Not just temporary  
23 slow orders, but we have all the permanent speed  
24 restrictions actually backed into the program to where  
25 if used in auto, the system cannot speed, or it will

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 not allow an engineer to get into a speeding scenario,  
2 hot or overspeed. It also has the Form B's across the  
3 route within the system and it will not allow the  
4 system to run in auto through Form B limits. It  
5 prompts the engineer to take back manual control of the  
6 train 2 miles in front of a Form B.

7           So, essentially, just before the red flag it  
8 will prompt the engineer to take it back into auto  
9 control -- I'm sorry, manual control. Again, the  
10 genesis was all about fuel, but an inherent safety  
11 benefit that's come out of it is decertification  
12 mitigation. We can't quantify the amount of  
13 decertifications that have been avoided by the use of  
14 auto control for engineers that may overlook a slow  
15 order or a permanent slow order where we see a lot of  
16 our decertifications occur.

17           RICK NARVELL: Okay, thank you. A couple  
18 specific questions based on that. Again, similar to  
19 the question for alternative handling, has this  
20 technology been evaluated for its efficiency or  
21 efficacy and by anyone either internally for the BNSF  
22 or an outside entity?

23           AARON RATLEDGE: So, in the very beginning  
24 once we started early on our implementing Trip  
25 Optimizer, we relied upon General Electric with their

1 HMI doing machine interface graphics, displays, just  
2 like they've done since the beginning of  
3 microprocessor-based locomotives when we introduced  
4 computer screens to locomotives back in the late 90's.  
5 So, once they started developing those graphical  
6 representations, we relied upon them to essentially  
7 design and develop those. And we would tweak based  
8 upon our experiences with locomotive engineers in the  
9 railroad of items that we liked and what we didn't  
10 like, and we also got the input from locomotive  
11 engineers in the field.

12           We wanted their input, because they're the  
13 ones that's going to be using the system. We want to  
14 know what they like, what they don't like, because like  
15 I said, I'm not going to use it all the time, they are.  
16 So, we want them to make sure that the prompts, the  
17 actual icons and the indications on the screen, the  
18 rolling map, the topography layout was something that  
19 they were going to be able to use from a practicality  
20 standpoint. So, at that point in time we relied upon  
21 GE. Since then and since PTC, it's been mandated for  
22 its integration. We also are going to integrate Trip  
23 Optimizer within PTC. We have had an outside HMI firm  
24 called (phonetic) Daedalus 27:25 that has done an  
25 independent study of the HMI factors with an integrated

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and a non-integrated state of Trip Optimizer. And also  
2 integrated in the PTC screen, and also integrated left  
3 on the OEM or the General Electric or the locomotive  
4 control screen, as opposed to combining the two systems  
5 into one.

6 We have had that study done and it came back  
7 very favorable.

8 RICK NARVELL: Oh, so the (phonetic)  
9 Daedalus 27:52 study has been completed?

10 AARON RATLEDGE: Yes, sir.

11 RICK NARVELL: Okay. And just to be clear,  
12 briefly, if you can share, what were the results of  
13 that, or can you share that?

14 AARON RATLEDGE: I mean, there were some  
15 very, very minor suggestions as to what they would put  
16 it. There was no show-stopping events that were found  
17 by their analysis, just minor tweaks, I think was the  
18 verbiage that they used. But overall, it was a clean  
19 concept where they didn't see any major issues.

20 RICK NARVELL: What kind of feedback are you  
21 getting from engineers in the field on TO?

22 AARON RATLEDGE: I'm in the field a lot.  
23 Part of my responsibilities, for the whole system at  
24 BNSF, is to get into the field, is to get on trains,  
25 actually run trains, talk with crews, interact with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 crews, not just about Trip Optimizer, but about  
2 operating practices across BNSF as a whole. As I'm out  
3 and riding trains and running trains with those  
4 engineers, those conversations include, "Tell me what  
5 you like. Tell me what you don't like about anything."  
6 And Trip Optimizer is included. And I'm not going to  
7 paint a rosy picture, not everybody likes Trip  
8 Optimizer, but the majority of people that I do talk to  
9 have liked it. They didn't like it in the beginning,  
10 because, again, when you first start out with something  
11 new, it has to be refined, it has to be perfected.

12           And in the beginning, I mean, Trip Optimizer  
13 had its gaps and since then we have filled numerous of  
14 those gaps from a train handling standpoint, from the  
15 algorithms in the back office, et cetera, et cetera.  
16 But it is clear to me in my journeys across the entire  
17 railroad that more and more have embraced it, than have  
18 not.

19           RICK NARVELL: Okay. Certainly a fully  
20 engaged, fully functional takes away some of the  
21 traditional aspects of an engineer's job. For example,  
22 throttle and braking, because it's all put into the  
23 computer, unless he or she wants to take into manual.  
24 Is that accurate?

25           AARON RATLEDGE: So, to clarify that a

1 little bit, all of the air braking is still done with  
2 the locomotive engineer. So, the automatic braking and  
3 the independent braking, or the engine braking, or the  
4 train braking, for transcript clarification, is done by  
5 the engineer. The only braking that is done by the  
6 system is dynamic braking.

7 RICK NARVELL: Okay.

8 AARON RATLEDGE: It can transition from  
9 power to dynamic braking automatically. But when an  
10 engineer needs air, he or she has the complete  
11 autonomy, the complete control of when they need that  
12 air and when they don't need air.

13 RICK NARVELL: Okay. And the throttle,  
14 just to be clear, is run by, for lack of a better term,  
15 the engaged TO?

16 AARON RATLEDGE: Yes, sir.

17 RICK NARVELL: Okay. So, what I'm getting  
18 at with this line of questioning is, is there -- when  
19 you take the certain, I guess, traditional elements of  
20 an engineer's position or skill away from them, the  
21 opportunity is there, and I'm not saying it does, the  
22 opportunity is certainly there for complacency and  
23 possible disengagement. Have you seen or heard  
24 anything about complacency, disengagement from the  
25 people that are on the front line using this stuff,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 this technology?

2           AARON RATLEDGE: We have heard that there  
3 are some cases where some engineers believe that it  
4 does cause complacency, but when followed up and  
5 drilling into deeper questioning and examples, please  
6 provide us with examples of that, we never got anything  
7 firm from it. It was more or less just a comment, a  
8 general comment that they were making.

9           But, again, I'll reiterate, we have heard  
10 numerous pro's about it than what we have heard con's,  
11 or the negativeness behind it. Each one of those have  
12 been followed up on to try to understand the employee  
13 more as to what they found that was causing complacency  
14 or something to that regard.

15           RICK NARVELL: Okay.

16           AARON RATLEDGE: But, again, the engineer  
17 has complete control of the train. You take it out of  
18 auto, you place it back into manual at any point in  
19 time he or she feels the need to. It's their  
20 discretion.

21           RICK NARVELL: Okay. I'll go one step  
22 further with the complacency and I'll use another word  
23 that we're all familiar with here is "fatigue." Has  
24 there been any indication or documentation or  
25 discussion from engineers that this thing could be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 something that could either promote or cause, if you  
2 will -- that's maybe not the right term -- or  
3 exacerbate a fatigued person?

4 AARON RATLEDGE: Not to my knowledge, no.

5 RICK NARVELL: Okay. So, just to summarize  
6 here, you've heard kind of anecdotal things about  
7 complacency, but when you dug a little further, it was  
8 nothing specific came back?

9 AARON RATLEDGE: Specific to fatigue.

10 RICK NARVELL: Okay, but and complacency?

11 AARON RATLEDGE: And complacency, correct.

12 RICK NARVELL: Okay. That's the two things,  
13 complacency and fatigue. Nothing specific has come  
14 back on either of those from the users?

15 AARON RATLEDGE: No. Yeah, just to  
16 reiterate, we try to dig a little deeper to try to find  
17 out and gain more understanding as to what the employee  
18 is inquiring about. We could not get down to the  
19 specifics that would actually firm up the employee's  
20 confidence.

21 RICK NARVELL: Okay. And, of course, you  
22 yourself have operated this and I saw it yesterday  
23 afternoon. From your perspective as a, you started off  
24 as a locomotive engineer and now your current position,  
25 just for the record, what's your take on TO?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           AARON RATLEDGE: I wish we had TO back in  
2 1997 when I was going through the program. I mean, the  
3 benefits of the tool that it provides locomotive  
4 engineer with the rolling map in front of them -- I  
5 mean, giving them their location to a tenth of a mile  
6 resolution, benefits them and helps them to understand  
7 where their train is at. I mean, when we get -- in the  
8 past when we get called, the dispatcher says, "What's  
9 your head-end location," we would have to wait until we  
10 pass that next mile post before we were able to get a  
11 head-end location. We can look at the Trip Optimizer  
12 screen and say, "We're at Mile Post 356.3."

13           RICK NARVELL: I don't want to put words in  
14 your mouth, what we're talking about here is  
15 establishment and enhanced situation awareness?

16           AARON RATLEDGE: Yes, sir.

17           RICK NARVELL: Is that accurate?

18           AARON RATLEDGE: That's accurate. So, we  
19 had essentially put the railroad, a digital track chart  
20 if you will, on board the locomotive for engineers to  
21 have their toolbox so that they can not only see the  
22 upcoming permanent speed restrictions, but also the  
23 Form A's and the Form B's that they're going to be  
24 encountering that we have typically have had a lot of  
25 issues with in the past. Speed violations and Form B

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 violations we believe have been reduced considerably  
2 with the technology of Trip Optimizer.

3 RICK NARVELL: Okay. The last area of  
4 questioning for now for TO is can you give us an  
5 overview of what an engineer's training would include  
6 when he or she goes down and activates the TO, the  
7 training aspect of this?

8 AARON RATLEDGE: You bet. So, engineers  
9 that have not been trained on TO cannot run Trip  
10 Optimizer until they've been properly trained. And  
11 that training entails, when coming on duty, we give a  
12 thorough briefing just like the demonstrative devices  
13 that we show in the training packet. We show all the  
14 training, we show all the features, we show how to  
15 initialize the system, what to expect, all the  
16 graphics, step by step setup, initialization, how to  
17 check their GTB's with the Form A's and the Form B's  
18 that show up in the computer system. We show how the  
19 system operates, how to put in manual, how to take it  
20 out of auto.

21 We also do, it's either a train ride  
22 evaluation with the employee or we have a NETSIM run  
23 that we have the employee go through. They cannot  
24 operate Trip Optimizer without going through a train  
25 ride or a NETSIM training session.

1           RICK NARVELL: Okay. For the record, can  
2 you just further elaborate on what the NETSIM is?

3           AARON RATLEDGE: Sure. NETSIM is another  
4 tool that's been allowed by the FRA for us to be able  
5 to train our locomotive engineers, not only from a TO  
6 standpoint or Trip Optimizer standpoint, but allows us  
7 also to re-certify our locomotive engineers on a  
8 network simulator basis to where an engineer can  
9 actually sit behind a computer with a simulator that is  
10 laid out very similar to the cab on the locomotive  
11 where the engineer actually manipulates the controls  
12 and handles the train just like he or she would out on  
13 the railroad. And it has all the computer screens, the  
14 throttles, the air brake handles, the bells, the  
15 whistles, if you will, for an engineer to accurately  
16 display his or her capability to run a locomotive and  
17 to be able to re-qualify or re-certify under the  
18 federal guidelines to maintain certification.

19           And we have taken that simulator to the next  
20 point and the next level and have incorporated the Trip  
21 Optimizer software within that. So, the enhancement  
22 with the NETSIM is we can actually go through several  
23 scenarios with a network simulator that we couldn't  
24 necessarily do on an over-the-road train ride. We can  
25 actually bake in scenarios to where the engineer will

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 be faced with that to be able to see all the effects  
2 and the -- excuse me, I'm at a loss of words here.

3 RICK NARVELL: That's all right.

4 AARON RATLEDGE: The features of Trip  
5 Optimizer we can actually have that pre-planned into  
6 that scenario from a simulator base for him or her to  
7 experience, so they may not be able to get it on over-  
8 the-road operations.

9 RICK NARVELL: Okay. Is there any component  
10 of this training that is taught at the schoolhouse in  
11 Overland Park or is this all in the field?

12 AARON RATLEDGE: I need to verify it for  
13 sure. I am under the assumption that this has been  
14 somewhat rolled out into our locomotive engineer  
15 training program. The first three weeks they spend up  
16 in Overland Park, but it is very much so a part of the  
17 locomotive engineer training program where they're  
18 actually in the field with on-the-job training where  
19 they're actually out there running the technology. We  
20 don't have them run Trip Optimizer every single time,  
21 we want them to learn how to run a train first, and  
22 then we have them learn the technology. The first  
23 priority is how to learn to run a train, second  
24 priority is to learn how to run the system.

25 RICK NARVELL: Are there qualified and

1 certified individuals within BNSF that may -- I'm kind  
2 of taken some liberties here -- have a title of TO  
3 Trainer or someone who is knowledgeable that they can  
4 impart that knowledge?

5           AARON RATLEDGE: We have under my umbrella  
6 within BNSF, we have Manager of Operating Practices,  
7 Fuel Conservation, and they are the TO Trip Optimizer  
8 owners across the field. So, they are spread out  
9 across the field, they are decentralized, so they have  
10 territories, large territories where they manage and  
11 carry out the technology of Trip Optimizer. So, they  
12 have the responsibility of training and they have the  
13 responsibility of overseeing the mentors, the daily  
14 team mentors that we have from that group to be able to  
15 help and train their peers while they're doing Trip  
16 Optimizer training. But they essentially are the  
17 owners of that, and they also have PTC responsibility,  
18 and they're rolling that out across our system.

19           RICK NARVELL: Very good. Great, thank you.  
20 That was very helpful. That's all I have for now.

21           JIM SOUTHWORTH: Okay, I got a few. Jim  
22 Southworth. Just for the record, the PEPA is a policy  
23 for employee performance accountability?

24           AARON RATLEDGE: Yes, sir.

25           JIM SOUTHWORTH: And that basically

1 describes it as encouraging all employees to have safe  
2 work behaviors, which is an area that we kind of  
3 touched upon with Cody Owens, and a safe work  
4 environment itself. The class you're talking about,  
5 again, just for the record, what was the class called?

6 AARON RATLEDGE: It's called the engineer  
7 decertification retraining class.

8 JIM SOUTHWORTH: Decert retraining class?

9 AARON RATLEDGE: Yes, sir.

10 JIM SOUTHWORTH: So, when they're in that  
11 class, they're already on a suspension of some sort  
12 (inaudible) 40:23, maybe up to 30 days?

13 AARON RATLEDGE: Yes, sir.

14 JIM SOUTHWORTH: On completion of the class,  
15 then the suspension gets possibly chopped down to 15  
16 days or less?

17 AARON RATLEDGE: Yes, sir.

18 JIM SOUTHWORTH: Okay. Are you familiar  
19 with the LEADER system?

20 AARON RATLEDGE: Yes.

21 JIM SOUTHWORTH: Okay. And at some time did  
22 BNSF consider the LEADER system with Trip Optimizer?

23 AARON RATLEDGE: Yes, sir. We did.

24 JIM SOUTHWORTH: And my next question is  
25 obvious. And you felt that the corporate feeling was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 that TO was better for the BNSF?

2 AARON RATLEDGE: Yes, sir.

3 JIM SOUTHWORTH: Okay. You talked a little  
4 bit about mentors.

5 AARON RATLEDGE: Yes, sir.

6 JIM SOUTHWORTH: Is Josh Roberson one of  
7 those mentors?

8 AARON RATLEDGE: No, a mentor is a BLET  
9 locomotive engineer.

10 JIM SOUTHWORTH: Okay, that's been trained  
11 and chosen?

12 AARON RATLEDGE: Yes, trained and chosen by  
13 agreement.

14 JIM SOUTHWORTH: So, person within the  
15 craft?

16 AARON RATLEDGE: Yes, sir.

17 JIM SOUTHWORTH: Good. I, too, got the  
18 opportunity to ride a train yesterday and one of the  
19 things that I picked up on, and I'll make a couple of  
20 comments about fatigue. We've used the word "fatigue"  
21 a few times here, and I just want to make it clear, we  
22 or BNSF or you let's say do not seem to believe that  
23 just the use of Trip Optimizer en route and the daily  
24 duties of the engineer is fatigue, causes fatigue?

25 AARON RATLEDGE: I definitely never

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 suggested that, and have no knowledge to make me  
2 believe that.

3           JIM SOUTHWORTH: All right. And then we  
4 talked about complacency and Rick had some very  
5 pertinent questions about the effects this might have  
6 on an engineer. If an engineer is fatigued because he  
7 hasn't had enough sleep or something like that, there's  
8 personal things in his life that kept him from getting  
9 enough rest or whatever, then is there a possibility  
10 that Trip Optimizer might contribute to the effects of  
11 fatigue en route, in place with an engineer in  
12 operation, when he's had those types of problems prior  
13 to getting on the train and taking control of the  
14 locomotive?

15           AARON RATLEDGE: I can't answer that.

16           JIM SOUTHWORTH: Okay, that's fair answer.  
17 I just wasn't sure if you had any feelings on that or  
18 not.

19           And I understand just from some of the  
20 literature I've read about Trip Optimizer, and it has  
21 some benefits from an operating standpoint and  
22 efficiencies as it relates to the components on a  
23 train, the locomotive power, and certainly the  
24 consumption of fuel. Is it safe to say or would you  
25 say that Trip Optimizer is more about the efficiency of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the operation of the train that might actually save  
2 money in fuel and isn't really designed or is it  
3 designed to make things safer?

4 AARON RATLEDGE: So in the beginning, like I  
5 said, the genesis of it was to save fuel.

6 JIM SOUTHWORTH: Right.

7 AARON RATLEDGE: But an inherent benefit  
8 that has evolved, it has been realized that with the  
9 incorporation, with the enhancements over time, when  
10 we're putting in Form A's and Form B's and permanent  
11 speed restrictions, it has been realized that it is a  
12 rules violation mitigation engine, if you will. You  
13 got to be able to understand that employees while in  
14 auto, they cannot get into a speeding event, because  
15 the system has got all that and it drives to those  
16 speed limits to where it cannot overspeed.

17 JIM SOUTHWORTH: Okay. And what I'm getting  
18 to, also, with that is it gives a little bit more  
19 enhanced knowledge in a situation whereas where they're  
20 trained is, and I recognize your comments on that about  
21 being able to pick out a mile post immediately versus  
22 searching for (inaudible) for a few minutes, that type  
23 thing.

24 AARON RATLEDGE: Yes, sir.

25 JIM SOUTHWORTH: One of the things I did

1 notice yesterday, and I was looking for this actually,  
2 not to come back to others opinions about complacency  
3 and what effects it might have on an engineer, negative  
4 effects that is, is I did notice and asked some  
5 questions while on the ride that anytime I come to a  
6 control point, am I required then to at least tell the  
7 system what track I'm on?

8 AARON RATLEDGE: Yes, sir.

9 JIM SOUTHWORTH: So, I look at that and I'm  
10 wondering if that's an additional task that's put into  
11 the cab for locomotive engineers to accomplish because  
12 there's TO?

13 AARON RATLEDGE: That's correct.

14 JIM SOUTHWORTH: Without TO there's no form  
15 and there's no radio announcement or anything like  
16 that, that I need to do about verifying what track I'm  
17 on?

18 AARON RATLEDGE: That's correct.

19 JIM SOUTHWORTH: As compared announcing the  
20 signal?

21 AARON RATLEDGE: That's correct.

22 JIM SOUTHWORTH: Particularly anything less  
23 than a clear?

24 AARON RATLEDGE: That's correct.

25 JIM SOUTHWORTH: And so this is like an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 added task?

2 AARON RATLEDGE: That's correct.

3 JIM SOUTHWORTH: Okay. If I choose, if I'm  
4 not mentored and I'm not trained to run Trip Optimizer  
5 and I initialize, have I violated a rule?

6 AARON RATLEDGE: No.

7 JIM SOUTHWORTH: Okay. If I have a  
8 conductor that's riding with me and I'm an engineer and  
9 he's qualified in the territory and has been through a  
10 mentor's program and he wants me to put it in place,  
11 can I do that as an engineer even though I'm not  
12 trained?

13 AARON RATLEDGE: You cannot run the system  
14 in auto if you have not had the proper training.

15 JIM SOUTHWORTH: Okay. But if I do, what  
16 happens to me?

17 AARON RATLEDGE: Then if it's discovered,  
18 then we have a discussion with that employee and find  
19 out why he elected, he or she elected to run it in auto  
20 when not trained.

21 JIM SOUTHWORTH: All right. Do we have a  
22 specific rule other than it says if you're not trained,  
23 don't do it?

24 AARON RATLEDGE: We have a rule in our air  
25 brake and train handling -- I'm not going to quote it,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Jim, but I need to go back and refresh it, I don't know  
2 if it says verbatim, "Do not use if you have not been  
3 trained." I know we've had multiple Form C's out there  
4 and we have general notices out there that do state  
5 that. And I would have to resurrect that just to be  
6 absolutely sure that we say it black and white.

7 JIM SOUTHWORTH: And when the mentor is in  
8 the (inaudible) 45:50, the mentor actually rides the  
9 train with that engineer?

10 AARON RATLEDGE: Yes, or oversees the NETSIM  
11 or the network simulator with that engineer.

12 JIM SOUTHWORTH: In a training environment  
13 possibly in Kansas, or Overland Park, or --

14 AARON RATLEDGE: Yes.

15 JIM SOUTHWORTH: Okay. And is it pretty  
16 well standard for all new engineers that they go  
17 through this training in Overland Park?

18 AARON RATLEDGE: Yes, sir.

19 JIM SOUTHWORTH: So, they wouldn't need a  
20 mentor when they get out of line on the road?

21 AARON RATLEDGE: That's the idea.

22 JIM SOUTHWORTH: Okay. The other question I  
23 have is on the other side of the dime. If I've been  
24 mentored or I've come through the training program and  
25 I've been exposed to and it's equipped on my train and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I'm supposed to initialize its origin and I choose not  
2 to do so, is that considered a breaking of a rule?

3           AARON RATLEDGE: Yes. Well, okay, so  
4 there's a lot of pieces that goes into this before --  
5 can we just talk about this, we call it "energy  
6 management accountability." So, for years, while TO  
7 was being matured, we did not absolutely just slap our  
8 hand down on the table and say, "Thou shalt use it or  
9 you're going to be disciplined." We understood that  
10 there was a development curve in process. Whenever we  
11 felt, my department felt it was up to the standards of  
12 what a locomotive engineer was expected to run his or  
13 her own train, then at that point in time we felt the  
14 system was robust enough to begin starting the  
15 mandatory use of it when possible, when only operating  
16 on clear signals, not through Form B's, et cetera, et  
17 cetera, et cetera.

18           Now, if we do find an employee that -- let  
19 me just take you through the process. If we find an  
20 employee that historically has a record of not  
21 utilizing the system to its fullest potential, and we  
22 have to see several occurrences before we even send a  
23 warning letter to him or her. If we had identified an  
24 employee that consistently does not use it, then we  
25 find that through event recorder analysis and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 investigation where the individual had multiple TO  
2 units on the point of their train and failed to  
3 initialize it, or if they initialize it, and they don't  
4 use it in auto and we know that there was clear signals  
5 between Point A and Point B and they weren't utilizing  
6 it, we have to see a pattern, a repetitious pattern  
7 before we even execute a letter to go out to this  
8 employee to say, "Hey, we're noticing this. We really  
9 need you to start using the system." And at that point  
10 in time we say, "This is a warning." We don't even  
11 enter it into the Operations Testing database.

12           It is a warning that we track. I mean,  
13 we're going to track to see if this employee shows up  
14 again for non-use of the system. Then it could result  
15 in an investigation. So, just because we identify them  
16 on the forefront, we don't even execute an  
17 investigation at that point. We give them the  
18 opportunity, to the employee to actually start  
19 utilizing the system.

20           JIM SOUTHWORTH: It's not like a Level 3  
21 safety violation?

22           AARON RATLEDGE: No, sir.

23           JIM SOUTHWORTH: It's more of an aid to  
24 performance.

25           AARON RATLEDGE: It's a coaching and



1 counseling event.

2 JIM SOUTHWORTH: Okay. Now, Mr. Owens, had  
3 he been mentored or did he come through a training  
4 program where he was exposed to Trip Optimizer?

5 AARON RATLEDGE: I need to research that. I  
6 don't have that.

7 JIM SOUTHWORTH: Okay. And I'm assuming  
8 that most of the time when there's a detection of non-  
9 use or misuse or not efficient use or not enough use  
10 that comes from that program data, then that's used in  
11 the basis for all those types of things?

12 AARON RATLEDGE: Yes, sir.

13 JIM SOUTHWORTH: All right, good to  
14 understand. I'm assuming, I picked up on one thing  
15 when I was out there, and that's the one I just  
16 mentioned, but I haven't entered into the system will  
17 track you on. It doesn't automatically do that, so you  
18 need to do that at every control point, just put a few  
19 out there along the road. You have to be attentive to  
20 that as well.

21 AARON RATLEDGE: That's correct.

22 JIM SOUTHWORTH: If there's any other items  
23 like that, are they included in the documentation that  
24 you give them in order to know about TO?

25 AARON RATLEDGE: Yes, sir.

1           JIM SOUTHWORTH: Okay. Are you or would you  
2 say you are, or do you feel that you are the point  
3 person for BNSF on Trip Optimizer?

4           AARON RATLEDGE: Yes, sir.

5           JIM SOUTHWORTH: Okay. And at a fairly high  
6 level? I mean, is there anybody above you that has  
7 more responsibility for knowing and understanding,  
8 monitoring, overseeing, if you will, the programs so  
9 that it rolls out properly, that no employees are  
10 destructive, probably that kind of thing?

11          AARON RATLEDGE: Yes, sir.

12          JIM SOUTHWORTH: And looking to the  
13 efficiency, that's pretty much under your realm?

14          AARON RATLEDGE: That is my responsibility.

15          JIM SOUTHWORTH: That's why I have the right  
16 guy in the chair.

17          AARON RATLEDGE: Yes, sir.

18          JIM SOUTHWORTH: Okay. All right, that's  
19 all I have for right now. The only other question that  
20 I might have is that can you tell me what data from  
21 Trip Optimizer, if any, is captured on an on-board  
22 event record?

23          AARON RATLEDGE: We capture -- it will be an  
24 exhaustive list.

25          JIM SOUTHWORTH: So, exhaustive list in with

1 the literature?

2           AARON RATLEDGE: Yes. Well, the literature  
3 will not have the event recorder elements, but we -- I  
4 can't remember if we supply that to Mr. Torres or not.  
5 But if not, we can get that information.

6           JIM SOUTHWORTH: Okay.

7           AARON RATLEDGE: We made sure whenever we  
8 were designing Trip Optimizer with GE, we wanted the  
9 necessary elements inside the event recorder that would  
10 show the state of Trip Optimizer, whether it's in auto,  
11 whether it's in manual, whatever state it was in. We  
12 also wanted to know the position of the master control,  
13 the throttle notch, the physical state of it. So, when  
14 in auto, the physical state of the master control or  
15 the throttle is in Notch 8. So, whenever the event  
16 recorder also shows what Trip Optimizer is commanding -  
17 - (inaudible) 51:33 and if distributed power equipped,  
18 it'll show what it's commanding the rear consists what  
19 throttle it has to be in. It could be throttle or it  
20 could be (inaudible) 51:42, but we have an exhaustive  
21 list of event recorder channels that we added to ensure  
22 we understood what the system was and what it wasn't  
23 doing.

24           JIM SOUTHWORTH: Good. Is there any direct  
25 tie-in -- I know there is to the event recorders -- any

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 direct tie-in and/or effect of Trip Optimizer on the  
2 use on alert?

3 AARON RATLEDGE: No, not at all.

4 JIM SOUTHWORTH: Okay.

5 AARON RATLEDGE: So, let me clarify that.  
6 So, the alerter on today's locomotive, the  
7 microprocessor-based locomotive, only is reset on a  
8 human touch. So, a human or an engineer has to change  
9 the throttle, has to push a soft button on a computer  
10 screen, blow the whistle manually, blow the bell, push  
11 the bell, any kind of a brake handle operation, any  
12 movement or any kind of response seen by the system, by  
13 a human, that will trigger the reset of an alert. Trip  
14 Optimizer, any throttle manipulations that the system  
15 is commanding has no effect on the alert. The only  
16 thing that can reset the alerter is the engineer  
17 pressing something in that cab.

18 JIM SOUTHWORTH: All right, so if I'm on  
19 Trip Optimizer and I'm on a totally clear block, the  
20 paperwork I have before I got my train and took into  
21 play, pretty much leaves out for me several clear  
22 blocks. I initialize it, it's running. And I'm an  
23 astute engineer and I think I see something ahead of  
24 me, could be another train, could be something in the  
25 crossing, could be what he thought may be a kinked

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 rail, something like that, things that are visual for  
2 locomotive engineers to see. And I decide to make a  
3 brake application while I'm looking, and I take a full  
4 20 pounds, or maybe I take 8 to 10 or something like  
5 that. I'm not going to emergency, but I really want to  
6 get control of the train and start retarding forces,  
7 because if it is something, I don't want to hit it.  
8 Does that disable Trip Optimizer at that point?

9 AARON RATLEDGE: Yes.

10 JIM SOUTHWORTH: So, once I verify then that  
11 it's not an obstruction or the truck got out of the way  
12 of the crossing, and I go back to Notch 8 and I start  
13 to accelerate, how long do I wait or should I  
14 immediately put it into Trip Optimizer?

15 AARON RATLEDGE: No.

16 JIM SOUTHWORTH: Do I need to go back up to  
17 8? Do I need to be back into acceleration mode or I  
18 need to be stabilized or something like that, or can I  
19 go right to Trip Optimizer once I made a determination  
20 I still have a clear block?

21 AARON RATLEDGE: So, if the engineer is  
22 committed and has set 20 pounds of a train, the  
23 engineer will be forced to a manual state. The  
24 engineer will then get his train under control, cannot  
25 re-engage Trip Optimizer until the brakes are released

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and until an engineer verifies you're back on the  
2 clear, you are on a clear signal. But an engineer will  
3 wait until the brake pipe has normalized, is going to  
4 wait until he has actually a clean release before they  
5 re-engage Trip Optimizer. So, there can be several  
6 minutes that lapse between the time that he or she set  
7 20 pounds and by the time they actually get it back  
8 into an auto control state.

9 JIM SOUTHWORTH: And if I was an engineer,  
10 I'd still have control?

11 AARON RATLEDGE: Absolutely. You can set  
12 air anytime you want.

13 JIM SOUTHWORTH: Can I do the same with  
14 dynamic?

15 AARON RATLEDGE: You have to take it out of  
16 manual and go right into dynamics, yes.

17 JIM SOUTHWORTH: And, again, once I get  
18 control of my train, come out of dynamics, start to  
19 accelerate and that sort of thing -- I understand that  
20 we have to brake back to 9 and just kind of applies to  
21 the future, so and so forth.

22 AARON RATLEDGE: Yes, sir.

23 JIM SOUTHWORTH: Okay. All right. I'm  
24 particularly interested in just gathering more data if  
25 it's available on any additional tasks. You talked a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 lot about some tasks that seem to be taken away,  
2 because I'm not manipulating the throttle, the system  
3 actually takes over and does that for me based on some  
4 studies and algorithms or whatever and the system more  
5 efficiently run this route with this train that would  
6 use certain things at certain times. I get it, but I'd  
7 like to know if there's more that's required of an  
8 engineer --

9           AARON RATLEDGE: You bet.

10           JIM SOUTHWORTH: -- because of the  
11 installation of TO? And if it's in the literature,  
12 we'll look for it. If not, you can expect more  
13 questions, but keep that in mind if you wake up in the  
14 middle of the night and think of something, we'd like  
15 to know.

16           AARON RATLEDGE: Absolutely. And I will  
17 just also make one other further add-on or  
18 clarification. We've heard more from engineers that  
19 the system when using in auto actually allows them to  
20 look out the window more, so they can actually not miss  
21 a whistle post or a signal indication by not having to  
22 constantly look back into throttles or look down at the  
23 screen several times. They're able to focus more on  
24 the outside. And also, able to have conversations more  
25 in the cab with their conductor. I mean, that's just

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what I've observed and witnessed on the hundreds of  
2 train rides that I've been on out there.

3 JIM SOUTHWORTH: All right. I'll go back to  
4 Tomas Torres for a follow-up.

5 Are you doing okay, do you need a break or  
6 anything?

7 AARON RATLEDGE: I'm good.

8 JIM SOUTHWORTH: Okay, so we're going to --

9 AARON RATLEDGE: Everybody else.

10 TOMAS TORRES: Tomas for the NTSB. And  
11 going back to the discipline and alternative policies,  
12 so it could be that the BNSF complied with all the  
13 guidelines and policies, would BNSF be reactive versus  
14 being proactive for this particular engineer?

15 AARON RATLEDGE: Again, Tomas, I'd have to  
16 get into each disciplined event and look and see what  
17 the discipline was assessed, because I have not -- in  
18 all fairness I have not done a deep dive analysis on  
19 Mr. Owens and his past record and history. I'm sure  
20 others have at BNSF, I just cannot comment on him at  
21 this point in time.

22 JIM SOUTHWORTH: This is Jim Southworth.  
23 Let me just interject that the witnesses we have later,  
24 would they have more input on that?

25 AARON RATLEDGE: I believe so.



1 JIM SOUTHWORTH: Specifically to what's  
2 required, what's part of the policy, what's part of the  
3 agreement, what they can't bypass, what they can --

4 AARON RATLEDGE: I believe that's fair.

5 JIM SOUTHWORTH: And explain a little bit  
6 more then what that will do is explain just a little  
7 bit more about how they use what's in place to make a  
8 determination as to whether to go that route, the  
9 alternate or not?

10 AARON RATLEDGE: Yes.

11 JIM SOUTHWORTH: Okay. And there are some  
12 violations that it's just not eligible? We'll get more  
13 detail from them?

14 AARON RATLEDGE: I think so, yes.

15 JIM SOUTHWORTH: Okay. All right, Tomas?

16 TOMAS TORRES: Okay. It's Tomas again with  
17 the NTSB. With your knowledge, with your understanding  
18 of the alternative handling, was that designed for the  
19 occasional violation or is it just kind of you  
20 dequalify regardless of what you've done the last four  
21 years, you're still going to fall into, be able to use  
22 that? Does it need to be revised, to be looked at  
23 again?

24 AARON RATLEDGE: I'm not the person  
25 qualified to say it needs to be revised or anything,

1 but what I can say is that when that document, when  
2 that agreement was made several years ago, it does not  
3 cover -- as you get the Safety Summit Agreement, as you  
4 read through it, you'll see that there's certain  
5 violations that are not covered under the Alternative  
6 Handling Agreement. Serious violations are not  
7 covered, and it gives examples of what those serious  
8 violations are. But I'm going to say 95%, 90% of  
9 violations were covered under that. Now, don't hold me  
10 to that percentage, but I'm going to say there is more  
11 alternative handling granted than what was denied.  
12 I'll just say that.

13           And, again, that's going back to my  
14 experience as a superintendent six years ago.

15           TOMAS TORRES: The reason I'm asking is  
16 because there's tendencies, right, even though they  
17 don't meet that serious violation stuff, but there's  
18 tendencies on his record that he was kind of gradually  
19 moving up to a more serious violation, and usually  
20 there's a progression of behavior that leads up.

21           AARON RATLEDGE: Right.

22           TOMAS TORRES: And that's what I'm getting  
23 at.

24           AARON RATLEDGE: Yes. And so, and as you  
25 read the Safety Summit, you'll see that there's a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 progressionary stipulations in there and that if the  
2 same offense is committed within a, I think it's 24-  
3 month period, then they don't qualify for it. They got  
4 to be outside of that two-year long period to where  
5 they would become eligible. So, I think that gets to  
6 the root of your question to address that type of  
7 behavior. If it's the same rules violation, this  
8 employee continues to have the same issue, the same  
9 area, we're not going to grant alt handling every  
10 single time that employee has the issue. We would  
11 further into the PEPA Policy with an investigation.

12 TOMAS TORRES: That's all I have.

13 STEVE FACKLAN: Steve Facklan, BLET Safety  
14 Task Force. We'll continue on with the PEPA and the  
15 Safety Summit Agreement. Kansas division, what  
16 operating groups are covered by the Safety Summit  
17 Agreement in the Kansas division?

18 AARON RATLEDGE: (Inaudible) 1:00:34

19 STEVE FACKLAN: Would it be safe to say that  
20 it's just the BLET because the UTU has pulled out?

21 AARON RATLEDGE: I don't know. I can't  
22 comment on that.

23 STEVE FACKLAN: Okay. Alternative handling,  
24 you mentioned I think earlier different classes of  
25 alternative handling, Class 1, Class 2, Class 3. Can

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you give us an example of each Class 1, Class 2, 3?

2           AARON RATLEDGE: Okay. Just for the record,  
3 this is six years ago I'm resurrecting these memories  
4 from. So, a Class 3 alternative handling event at that  
5 time would be like an attendance guidelines violation  
6 or a miscall, exception where an employee is not  
7 available for call. Class 2 violation would be an  
8 operations test exception. A Class 1 violation would  
9 be a violation of such that would result in a  
10 decertification, a decertifiable event.

11           STEVE FACKLAN: And I know with the  
12 alternative handling you develop an action plan with  
13 the employee to go over. The action plan can last, I  
14 think we covered from a few days to longer, whatever  
15 that action plan's developed, but the overall  
16 alternative handling is there a probationary period  
17 after, even after the approaching and counseling or the  
18 action plan's done?

19           AARON RATLEDGE: Within the Summit  
20 guidelines it clearly spells out what the thresholds  
21 are based upon each class. So, Class 3 has a certain  
22 amount of time you can't violate the same rule in.  
23 It's progression, it works up to where you're not  
24 eligible. But a Class 2 has stronger thresholds and  
25 the Class 1 obviously has even tighter thresholds,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 because those violations are of a serious nature, and  
2 if those continue to repeat themselves, then we  
3 certainly don't want to continue the alt handling path.

4           STEVE FACKLAN: Okay. I got up on my  
5 computer the Safety Summit Agreement and Class 1  
6 covered offenses subject to alternative handling, under  
7 Item 6 Section A for the different classes, Class 1  
8 offense would be rules violations that's subject to  
9 company or individual TFR fines, results in an accident  
10 or injury or a result of a decertification, violations  
11 of all rules designed to protect people and equipment  
12 other than PTE.

13           And then I was reading down here on employee  
14 eligibility for alternative handling. For Class 1  
15 offenses, an employee is ineligible for alternative  
16 handling if he or she has more than one prior  
17 alternative handling offense for Class 1 violations; 2,  
18 three violations of any kind in the previous 12 months;  
19 or 3, a Class 1 violation in the previous 12 months; or  
20 Class 4, a violation of the same Class 1 offense in the  
21 previous 24 months. Going back to Mr Owen, he was  
22 decertified from an incident I believe that happened  
23 September 21, it was a decertified event that Mr.  
24 Roberson had talked to us earlier, that they caught on  
25 the tapes, and he was decertified and then went back to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 work and had broken his status, I believe they said  
2 until March 16th, okay? And then after March 16th he  
3 was recertified, had his license reinstated and be able  
4 to work as an engineer.

5           Following that, June 1st, Mr. Roberson  
6 stated he had ops test failure, he self-reported going  
7 by too fast an approach signal and alternative handling  
8 was offered, and he was in the process of working out  
9 that plan when this Panhandle accident occurred. I  
10 guess my question would be he was decertified  
11 previously, which would be a Class 1 offense, how is he  
12 offered alternative handling, because it's within that  
13 12 months, because according to the Safety Summit  
14 Agreement he should have been ineligible to be offered  
15 alternative handling because he had a Class 1 offense  
16 within a 12-month period before?

17           AARON RATLEDGE: Yes. I don't know. Was it  
18 a Class 2 -- I'd have to find out how the division  
19 classed it up.

20           STEVE FACKLAN: Okay.

21           AARON RATLEDGE: Did they offer a Class 2 or  
22 Class 3?

23           STEVE FACKLAN: No, it was a decertified  
24 event, which according to the --

25           AARON RATLEDGE: Well, back in September,

1 right?

2 STEVE FACKLAN: Yes.

3 AARON RATLEDGE: Okay, but what about the  
4 event on June 1st, that was not a decertified one,  
5 correct?

6 STEVE FACKLAN: There was not a decertified  
7 event --

8 AARON RATLEDGE: So, what class --

9 STEVE FACKLAN: But according to the Safety  
10 Summit Agreement he would have been ineligible to be  
11 even offered alternative handling because he had, it  
12 states Class 1 offenses an employee is ineligible for  
13 alternative handling if he or she has, one, more than  
14 three prior alternative handling events for Class 1  
15 violations, which he hadn't had according to any of the  
16 information we have; 2, three violations of any kind in  
17 the previous 12 months, which I can't tell you if he  
18 got; but number 3, a Class 1 violation in the previous  
19 12 months. And up above that, it's a Class 1 offense  
20 would be including a rule violation that had resulted  
21 in a decertification.

22 AARON RATLEDGE: Yes. So, without looking  
23 at the plan or the agreement, all the specifics of Mr.  
24 Owens violations, I can't answer it at this point as to  
25 why he was or was not eligible for the alternative

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 handling event.

2 STEVE FACKLAN: Maybe next interview is they  
3 probably have more detail on that?

4 AARON RATLEDGE: I don't know. I'm  
5 assuming, I can't say for sure, Steve.

6 STEVE FACKLAN: Okay.

7 AARON RATLEDGE: I'd have to do some  
8 research to be able to give you an accurate answer.

9 STEVE FACKLAN: All right, let's see. Let's  
10 go back to Trip Optimizer and the training. Beyond,  
11 when an engineer is going through training class, when  
12 a student engineer is going through his training class  
13 at Overland Park, would you say that they, part of that  
14 is Trip Optimizer training in the simulators that they  
15 have there?

16 AARON RATLEDGE: I need to verify that. I  
17 mean, I think what I said was that their LETP program,  
18 when they're in the field running locomotives actually  
19 in the field, part of that is Trip Optimizer. The  
20 first half of it is learning how to run a train first.  
21 I need to verify what elements are part of that first  
22 three weeks and what elements are not.

23 STEVE FACKLAN: And if you can, can you get  
24 us follow-up on that, any kind of retraining that the  
25 college may do when they're recertifying on the



1 NETSIM's or they're going for the Year A on the  
2 NETSIM's, if they do any kind of follow-up retraining,  
3 anything beyond on the job?

4 AARON RATLEDGE: Yes, I would associate it  
5 to something similar to distributed power. So, we look  
6 at what retraining is needed for distributed power and  
7 we kind of base it off the same methodologies. I can  
8 find that out.

9 STEVE FACKLAN: All right. I just wanted to  
10 have you clear this up earlier, you talked about the  
11 Trip Optimizer and it could eliminate speed violations,  
12 and to clear up, if you have a verbal Form A crossing  
13 notification that your Optimizer couldn't prevent?

14 AARON RATLEDGE: Not yet, but it's coming.

15 STEVE FACKLAN: Okay.

16 AARON RATLEDGE: Once we integrate with PTC,  
17 it'll all gel together to where crossing warning  
18 notifications, verbal Form A's, Form B's when they  
19 expire will automatically jive with PTC. Come in, come  
20 out, it'll be dynamic.

21 STEVE FACKLAN: Okay. So, right now they  
22 would still if they get a verbal Form A, they would  
23 still have to put it in manual crossing warning  
24 notification?

25 AARON RATLEDGE: Yes, sir.

1           STEVE FACKLAN: Okay, I just wanted to clear  
2 that up. And I think you had touched on this, but if  
3 an employee did not initiate the training that was  
4 equipped with the Trip Optimizer -- I'm not talking  
5 about discipline or anything here, but does BNSF  
6 consider that a violation of an air brake train  
7 handling rule at this time?

8           AARON RATLEDGE: Here's my answer to that,  
9 is we want to see a pattern of an employee. So, if an  
10 employee has nine trains out of ten and that employee  
11 initiates Trip Optimizer on nine of the ten and for one  
12 trip he or she didn't, we're not going to waste our  
13 time with that. We want to see a pattern of non-usage,  
14 someone who's going to continuously bow on the top to  
15 have no usage whatsoever. Those are the individuals  
16 we'd like to understand what's preventing them from  
17 using the system.

18           STEVE FACKLAN: I understand that. What's  
19 getting communicated to the crews, are they told that  
20 it is a violation of air brake and train handling on  
21 the rules?

22           AARON RATLEDGE: If it's not used to the  
23 fullest extent, yes.

24           STEVE FACKLAN: Okay.

25           AARON RATLEDGE: Under 106.9, that outlines

1 pretty clearly in black and white what the expectations  
2 are, just like any other rule in the rule book, right?

3 STEVE FACKLAN: That's all I have for now,  
4 thanks.

5 RYAN RINGELMAN: Ryan Ringelman. So, you  
6 went through your history, your career. Where were  
7 you at in 2001, 2002? What job were you at? Do you  
8 recall?

9 AARON RATLEDGE: I was an Assistant  
10 Trainmaster in Clovis and transitioning over to  
11 Trainmaster in Saint Louis, Missouri.

12 RYAN RINGELMAN: So, were you involved in  
13 the negotiation of the Alternative Handling Agreement  
14 in 2001, 2002?

15 AARON RATLEDGE: No, I was not.

16 RYAN RINGELMAN: In your current role are  
17 you involved in alternative handling decision-making or  
18 considerations?

19 AARON RATLEDGE: No, I'm not.

20 RYAN RINGELMAN: Thank you.

21 CHRIS MARTINEZ: Chris Martinez, FRA. Just  
22 one question on the TO. If you're coming down on a  
23 green and you hit a yellow light, can you walk us  
24 through what happens, what you got to do?

25 AARON RATLEDGE: Absolutely. So, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 question was if the train is in auto control and the  
2 engineer is running on clear signals, what happens  
3 whenever he or she comes to an off-colored signal, is  
4 that correct?

5 CHRIS MARTINEZ: That's correct.

6 AARON RATLEDGE: So, the instructions are  
7 today pre PTC integration, an engineer is only allowed  
8 to run in auto control when operating on clear signals.  
9 When an engineer sees a flashing yellow, he or she is  
10 to be out of auto control by the time they reach that  
11 flashing yellow. So, simply put, you cannot run auto  
12 control on anything less than a clear. Now, if you  
13 have a diverging route, red over green or an advanced  
14 approach that allows you to go through a crossover at  
15 50 mile an hour, just to the point that Mr. Southworth  
16 was making earlier, the system will ask you what track  
17 you're going to be taken beyond each control point.  
18 And that's 1,000 feet before each approach to each  
19 control point where the system is prompting you for  
20 that answer.

21 And if you say that you're going to take the  
22 crossover, the system replans in about six seconds.  
23 Once it replans, it automatically starts taking the  
24 train into a state to where it's going to comply with  
25 the crossover speed. If it sees that it can't and it's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 going to need additional air braking and the engineer's  
2 going to need to intervene, that's when the system says  
3 in transitioning back to manual, I can't get you down  
4 here with just dynamic brake, so the engineer takes  
5 over at that point.

6 CHRIS MARTINEZ: So, then can you go through  
7 a yellow, like a little hot thing at all?

8 AARON RATLEDGE: No.

9 CHRIS MARTINEZ: It'll stop it?

10 AARON RATLEDGE: Well, I mean, Trip  
11 Optimizer today does not see signal indications.

12 CHRIS MARTINEZ: Right.

13 AARON RATLEDGE: So, if the train goes  
14 through a yellow block hot, it's because the engineer  
15 did not take control of the train.

16 JIM SOUTHWORTH: Or abide by signals?

17 AARON RATLEDGE: Correct.

18 JIM SOUTHWORTH: That was Jim Southworth to  
19 interject and clarify.

20 CHRIS MARTINEZ: That's all I have.

21 KAMRON SAUNDERS: Kamron Saunders, SMART TD.  
22 You mentioned scorecards and I think that comes with a  
23 numeric number.

24 AARON RATLEDGE: Yes, sir.

25 KAMRON SAUNDERS: So, you start out at 100

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and as you -- if you have things take away from that  
2 number and then I'm sure add back, do you know what --  
3 you may or may not -- do you know an average number for  
4 engineers? Or is there a threshold that they get below  
5 to where that becomes an issue or that engineer becomes  
6 an issue?

7           AARON RATLEDGE: So, we have different  
8 tiers, if you will, for lack of a better term, to where  
9 a certain amount of points do become deducted. They  
10 get into a state of where the SOP's in the field, the  
11 Superintendent of Operating Practices, actually --  
12 again, I'm not going to quote the goals and the  
13 guidelines that they have for (inaudible) 1:14:50, but  
14 they have a mechanism in place to where they do take a  
15 closer look and be able -- I mean, essentially alert  
16 them to say, "Hey, this guy is getting pretty low on  
17 the score. You need to get the employee to find out  
18 what additional help we may be able to provide him or  
19 her."

20           KAMRON SAUNDERS: Do you know what that  
21 number is?

22           AARON RATLEDGE: I don't, not off the top of  
23 my head. I can't remember.

24           KAMRON SAUNDERS: Do we have information on  
25 what the engineer on the Eastbound train score was?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           AARON RATLEDGE: I'm sure we do. I just, I  
2 don't know if we provided that here or not. We can get  
3 it, we can certainly get it.

4           KAMRON SAUNDERS: Okay, thank you.

5           All right, going to Trip Optimizer, so if  
6 I'm running along and it tells me I need to set air, or  
7 there's just a spot, not because there's something bad  
8 fixing to happen, but will Trip Optimizer say okay,  
9 because you're going down a hill, set minimum  
10 reduction? Does that take you out of automatic? So  
11 you set that air, then it tells you to kick it off?

12           AARON RATLEDGE: So, if you -- again, this  
13 is the very latest version or enhancement of Trip  
14 Optimizer -- if it calls for a minimum set, an engineer  
15 sets a min set, it will stay in auto and it will advise  
16 when to kick the air off. But you can stay in auto up  
17 to 10 pounds when the air is set, anything above 10  
18 pounds the system will take you back to a manual state.

19           KAMRON SAUNDERS: Okay. If I don't respond  
20 to setting air or kicking it off, will that put you in  
21 penalty?

22           AARON RATLEDGE: No, not a penalty. It will  
23 take you back to a graceful disengagement. If you're  
24 in dynamic brakes, it will maintain the dynamic brake  
25 state, it will not come out of dynamic brakes. The

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 idea is to keep the engineer at a brake state, to  
2 maintain that brake, but if you're in a throttle state  
3 and the engineer's not complying with the prompts or  
4 the indications, it will take you all the way down to  
5 idle. And again, then we rely on the alerter system,  
6 if the engineer's incapacitated, then the alerter  
7 system will set up a penalty to bring the train to a  
8 stop.

9 KAMRON SAUNDERS: Okay. And you also talked  
10 about running on multiple main track. You said it'll  
11 prompt you 1,000 feet prior to that control point?

12 AARON RATLEDGE: A 1,000 feet prior to the  
13 approach signal to that control point, so you can be  
14 two, three miles.

15 KAMRON SAUNDERS: Okay, good. That's good.  
16 What happens if you don't acknowledge that or you don't  
17 answer it?

18 AARON RATLEDGE: It will push you back to a  
19 manual state.

20 KAMRON SAUNDERS: Okay. Is there anything  
21 in a tie-up screen when they go off duty where you  
22 report whether or not you were in Trip Optimizer and  
23 any issues with it?

24 AARON RATLEDGE: Any issues we have with  
25 Trip Optimizer or the crew feels for maybe future

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 enhancements, we have a form essentially that gets  
2 filled out and sent to our manager of operating  
3 practices to be able to add future enhancements to the  
4 program. But we do not require that they say, "I used  
5 it X amount of miles." We can look and see where all  
6 that stuff is in the back office, we don't have to have  
7 it told. It's just we don't want to put the burden on  
8 the engineers to add that extra step on tying up.

9 KAMRON SAUNDERS: Sure. Okay, that's all I  
10 have.

11 RICK NARVELL: This is Rick Narvell with the  
12 NTSB. I just have a couple, again, follow-ups and a  
13 clarification on TO, and I think I'll be done.

14 Aaron, I did look up in the book you  
15 provided and you did reference ABTH 106.9, which says  
16 that if it's equipped, employees shall engage. But  
17 what you were indicating earlier is you're looking for  
18 patterns of non-use here. You're not going to hold  
19 that so stringent there, is that accurate?

20 AARON RATLEDGE: Yes. I mean, this is --  
21 like I said, we're taking a very, very proactive  
22 approach to the non-usage of it.

23 RICK NARVELL: Gotcha.

24 AARON RATLEDGE: We are not going to sit  
25 there and go after somebody for not initializing or not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 taking a trip whenever their history has been  
2 impeccable. We have to have a clear pattern of non-  
3 usage before we reach out to the employee to understand  
4 what would be preventing them from using the program?

5 RICK NARVELL: Okay, thank you. Because  
6 when I read that I heard this -- like I said, there's  
7 not a waiver per se, but it's more of an eyeball on  
8 that particular engineer if he or she rises to the  
9 level of non-use.

10 AARON RATLEDGE: We want our employees to  
11 use the technology.

12 RICK NARVELL: Right.

13 AARON RATLEDGE: Like I said, we've ran over  
14 50 million miles in auto and we have not had one  
15 decertification as a result of that when the employees  
16 were not, when using the system properly. I mean, it's  
17 just huge. Probably the most disheartening piece out  
18 of all of this is whenever they initialize the system  
19 and they're running it in manual, and they go through a  
20 slow order hot and have to be decertified. If they  
21 would have been in auto, they would have automatically  
22 complied with the speed restriction. They would not  
23 have gotten into that decertifications they're in.  
24 Those are the hardest ones to take.

25 RICK NARVELL: Yes. Just, again, for my

1 edification here, and what I'm looking for is can you  
2 kind of walk us through or speak to what an event  
3 recorder would capture from a TO that's engaged, and  
4 then what from that is looked at by a trainmaster or a  
5 supervision?

6           AARON RATLEDGE: So, the event recorder  
7 captures, it's got a channel in there that tells  
8 whether the system is in auto or in manual, and it also  
9 has a planned speed line as to what the system thought  
10 the train should have been achieving, and that's all  
11 determined upon how many engines are online, how many  
12 dynamic brakes are cut in or cut out, and it builds  
13 that plan. It's pretty close. So, it tracks the  
14 actual speed of the train and the plan that was  
15 actually running. We have automated scans in the  
16 background that actually shows high utilization or high  
17 non-utilization, and that allows us to be able to see  
18 who the non-users are at a pretty quick pace.

19           RICK NARVELL: How often, or is there a  
20 schedule to that being looked at? And if so, what is  
21 that schedule?

22           AARON RATLEDGE: I can't say that there's a  
23 specific schedule, each one of the managers of the  
24 operating practices have responsibilities and goals to  
25 obviously increase the utilization of Trip Optimizer

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 across the territories. So, that feature is used to  
2 look at regularly and find out who needs a little more  
3 help and who doesn't.

4 RICK NARVELL: But there's no set specific  
5 once a quarter, once a month or whatever?

6 AARON RATLEDGE: I'm going to say that it's  
7 -- I mean, it's annual goals that they have to ensure  
8 the utilization of Trip Optimizer is being effective  
9 across their territories.

10 RICK NARVELL: Okay. Last area here, and  
11 again, I don't know how much you know this. I know  
12 virtually none, but I want to go specific to the  
13 circumstances surrounding why we're here today. Was  
14 the Eastbound train in operational or active TO when  
15 they departed on their trip?

16 AARON RATLEDGE: We know that the crew  
17 initialized at Amarillo after going on duty.

18 RICK NARVELL: Okay. That is a fact,  
19 correct?

20 AARON RATLEDGE: That is a fact. We have  
21 that, and Mr. Torres has that information from General  
22 Electric.

23 RICK NARVELL: Okay.

24 AARON RATLEDGE: We secured that from them.  
25 What we do not know, because the lead engine's event

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 recorder was destroyed, and that is the only place,  
2 that and a communications management unit on the  
3 locomotive would have the information inherent to it to  
4 be able to say for sure 100% without a doubt whether  
5 Mr. Owens was or was not in auto at the time the  
6 incident occurred.

7 RICK NARVELL: So, we just simply don't know  
8 and likely we'll never know?

9 AARON RATLEDGE: That's correct.

10 RICK NARVELL: Okay. All right. Do you  
11 know -- well, that's okay, fine. I think that's all I  
12 have for now, thank you.

13 JIM SOUTHWORTH: And you all are okay?

14 AARON RATLEDGE: Yes, sir.

15 JIM SOUTHWORTH: You need a break or  
16 anything?

17 AARON RATLEDGE: I'm good. If everybody  
18 else is?

19 JIM SOUTHWORTH: Anything, Tomas?

20 TOMAS TORRES: I'm good.

21 JIM SOUTHWORTH: Tell me a little bit about  
22 the role with conductor with TO? Is there any role to  
23 play?

24 AARON RATLEDGE: We have --

25 JIM SOUTHWORTH: This is Jim Southworth, by

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the way. I keep forgetting. Go ahead, I'm sorry.

2 AARON RATLEDGE: So, the role of the  
3 conductor with the Trip Optimizer, obviously we still  
4 want communication to go on in the locomotive between  
5 the engineer and the conductor. Just like yesterday, I  
6 mean, you heard us all talking in the cab yesterday  
7 about Form A's coming up, about Form B's, the  
8 expiration times, signal indications, and the whole  
9 time I was in auto. We still want those communications  
10 to take place. We do not want Trip Optimizer to take  
11 the place of those valuable cab conversations that need  
12 to take place for train operations.

13 The conductor needs to be made aware of when  
14 the train is or it's not in auto, we encourage those  
15 communications to happen when an engineer is actually  
16 in an auto state, whenever he's not. But essentially  
17 the conductor's role is do not change when the Trip  
18 Optimizer is on a locomotive.

19 JIM SOUTHWORTH: Does he have direct  
20 responsibility to request to the engineer that Trip  
21 Optimizer be put into play? I understand the  
22 conductor's responsible for the safety between and a  
23 lot of times they work out there on the development or  
24 building in the train, (inaudible) 1:25:13, service to  
25 customers en route, but on a long-haul, line-haul train

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 or unit train type operation where he picks this train  
2 up from another crew or he picks it up in origin, and  
3 then steps out, and if he's lucky enough to get greens  
4 the whole way, clear blocks. But does he have a  
5 requirement under his position of responsibility for  
6 the safe operation of the train? Does he have a  
7 requirement to request to the engineer whether it's  
8 been set into Trip Optimizer or not?

9 AARON RATLEDGE: Not at this time.

10 JIM SOUTHWORTH: Okay.

11 AARON RATLEDGE: I can tell you from my  
12 experience, a lot of engineers want engineers in auto.  
13 They want them in auto.

14 JIM SOUTHWORTH: Well, that was my next  
15 question. I didn't know how to ask it without being  
16 analytical, so thank you for that comment.

17 PARTICIPANT: Excuse me, just to be clear,  
18 you say that engineers want engineers --

19 AARON RATLEDGE: I'm sorry, no conductors  
20 prefer their engineers to have the system in auto.

21 PARTICIPANT: That's what I thought you were  
22 going with.

23 AARON RATLEDGE: Yes, I made a mistake and I  
24 apologize.

25 PARTICIPANT: That's okay, I just want to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 clarify.

2           AARON RATLEDGE: Conductors, more times than  
3 not, have indicated to me that they want their  
4 engineers in auto.

5           JIM SOUTHWORTH: Okay, I have no further  
6 questions. Pretty much everything else I have is  
7 related to alternative handling, I think we'll be able  
8 to cover later in the other interviews with the  
9 operating management people.

10           Since you've self-identified while we're  
11 here as being the expert on TO and you've identified  
12 yourself as the best person to comment or ask questions  
13 to, can you guarantee us some follow-up information  
14 once we get into reviewing the documentation that  
15 you've given us?

16           AARON RATLEDGE: Absolutely.

17           JIM SOUTHWORTH: The ride was very  
18 informative and I can see where we might do something  
19 like that again, maybe not in your territory BNSF, but  
20 I think actually seeing it and then a chance to review  
21 it, your answers to the questions here gives us a  
22 little bit better of an understanding of the cab  
23 environment with Trip Optimizer and that was what our  
24 goal was here today.

25           Any other follow-up questions from anybody?



1           Okay. Do you have anything additional that  
2 you would like to know or add? Is there something we  
3 did not ask you that you'd like to comment on? The  
4 other thing is you will see this transcript, you will  
5 have an opportunity to correct any errors, not  
6 necessarily the testimony or the questions, but  
7 specific details that might not come through either in  
8 the transcription or the clarity. And we'll also at  
9 some time be put in the docket.

10           AARON RATLEDGE: Okay.

11           JIM SOUTHWORTH: (Inaudible) 1:27:56. But  
12 do you have anything additional that you'd like to  
13 present to us?

14           AARON RATLEDGE: No, sir.

15           JIM SOUTHWORTH: Nothing new?

16           AARON RATLEDGE: Nothing else, sir.

17           JIM SOUTHWORTH: Okay.

18           PARTICIPANT: Not at this time.

19           JIM SOUTHWORTH: Thank you very much for  
20 your participation. At this time I'll say we go off  
21 record.

22           (Whereupon, the above entitled-matter went  
23 off the record at 1:28 p.m.)

24


25

C E R T I F I C A T E

MATTER: Head On Collision, Panhandle, TX  
BNSF Railway, June 28, 2016  
Accident No. DCA16FR008  
Interview of Aaron Ratledge

DATE: 08-31-16

I hereby certify that the attached transcription of page 1 to 74 inclusive are to the best of my professional ability a true, accurate, and complete record of the above referenced proceedings as contained on the provided audio recording; further that I am neither counsel for, nor related to, nor employed by any of the parties to this action in which this proceeding has taken place; and further that I am not financially nor otherwise interested in the outcome of the action.



**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701