

NATIONAL TRANSPORTATION SAFETY BOARD

----- :  
 IN RE: :  
 :  
 THE HEAD-ON COLLISION : NTSB Accident No.  
 THAT OCCURRED NEAR : DCA16FR008  
 PANHANDLE, TEXAS ON :  
 JUNE 28, 2016 :  
 :  
 :  
 ----- :

Interview of: MARK SCHULZE AND OREST DACHNIWSKY

Friday,  
 July 1, 2016  
  
 Pampa, Texas

BEFORE:

TOMAS TORRES, NTSB  
 DAVID FREEMAN, BNSF  
 RYAN RINDELMAN, BNSF  
 AARON RATLEDGE, BNSF  
 STEVE DUPONT, FRA  
 ERICH JESKE, BLET  
 RAFAEL MARSHALL, NTSB  
 STEVE FACKLAN, BLET  
 KAMRON SAUNDERS, SMART TD

This transcript was produced from audio provided by the National Transportation Safety Board.

P-R-O-C-E-E-D-I-N-G-S

(Time not disclosed)

1  
2  
3 MR. SCHULZE: Mark Schulze. It's a  
4 pleasure.

5 MR. DUPONT: Steve Dupont.

6 MR. SCHULZE: Steve, it's a pleasure.

7 MR. DUPONT: I'm probably not aware of what  
8 (inaudible).

9 MR. SCHULZE: Yes. Yes. And we've, that we  
10 have.

11 MR. DUPONT: You and I ran across it, yes.

12 MR. SCHULZE: Steve, this is Orest.

13 MR. DUPONT: Okay. Thank you, Mark.

14 MR. SCHULZE: That's the other card.

15 Absolutely.

16 MR. TORRES: Okay, we'll get started here.

17 This is the NTSB informal interview. It's going to be  
18 a presentation of question and answer. My name is  
19 Tomas Torres, T-O-M-A-S, T-O-R-R-E-S. Today's date is  
20 July 1, 2016, and we are at Pampa, Texas in the Holiday  
21 Inn Express interviewing --

22 MR. SCHULZE: This is Mark Schulze, M-A-R-K,  
23 S-C-H-U-L-Z-E, of BNSF Railway here to speak on  
24 positive train control or PTC.

25 MR. DACHNIWSKY: Orest Dachniwsky, O-R-E-S-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 T, Dachniwsky, D-A-C-H-N-I-W-S-K-Y, also of BNSF to  
2 speak on PTC, positive train control.

3 MR. TORRES: And --

4 MR. SCHULZE: Dave?

5 MR. FREEMAN: So I'm not going to testify or  
6 do you want me to still introduce myself?

7 MR. TORRES: Yes, just introduce yourself.

8 MR. FREEMAN: My name is David Freeman. I'm  
9 the executive vice president of operations for BNSF  
10 Headquarter in Fort Worth, Texas.

11 MR. RINDELMAN: Ryan Rindelman, system  
12 safety. Ryan and Rindelman, R-I-N-D-E-L-M-A-N.

13 MR. RATLEDGE: Aaron Ratledge, BNSF,  
14 operating practices, Fort Worth. A-A-R-O-N, R-A-T-L-E-  
15 D-G-E.

16 MR. DUPONT: Steve Dupont, Federal Railroad  
17 Administration. S-T-E-V-E, D-U-P-O-N-T.

18 MR. JESKE: Erich Jeske. E-R-I-C-H, J-E-S-  
19 K-E, BLET safety task force, primary investigator.

20 MR. MARSHALL: Rafael Marshall with the  
21 NTSB. R-A-F-A-E-L, M-A-R-S-H-A-L-L.

22 MR. FACKLAM: Steve Facklam, F-A-C-K-L-A-M,  
23 BLET, party spokesman.

24 MR. SAUNDERS: Kamron Saunders, Smart TD,  
25 party spokesman. K-A-M-R-O-N, S-A-U-N-D-E-R-S.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. TORRES: Okay. This is Tomas Torres.  
2 This is connection with the accident that occurred near  
3 Panhandle, Texas on June 28, 2016. NTSB accident  
4 number is DCA16FR008.

5 The purpose of investigation is to increase  
6 safety, not assign fault, blame, or liability. Do you  
7 understand that this is being recorded?

8 MR. SCHULZE: I do. Yes.

9 MR. TORRES: Okay. So if you can go ahead  
10 and state your name I guess. Start in and, you know,  
11 explain to us why you're here.

12 MR. SCHULZE: Sure. This is Mark Schulze,  
13 and, of BNSF, and I was asked to attend here to speak  
14 on the positive train control implementation on the  
15 BNSF railway system.

16 I've been involved with positive train  
17 control for at least a decade. BNSF has been very  
18 involved in the development of positive train control  
19 dating back to even the 1980's, with a system called  
20 ARES or the advance railway electronic system.

21 The system we currently use, the electronic  
22 train management system, or ETMS, is our positive train  
23 control system. It was developed out of the ARES  
24 system.

25 We're currently in development of PTC across

1 a large part of our network. We will implement it on  
2 86 of our subdivisions of about 117 subdivisions. It  
3 will cover about 55 percent of our network, or about 70  
4 to 80 percent of our train traffic.

5 We have been, worked on this very hard over  
6 the past many years. We are the leaders in the  
7 industry.

8 We've had well over 100,000 trains that have  
9 been operated with PTC engaged successfully, and we  
10 continue to march towards the mandate to have it  
11 implemented across those mandated subdivisions by the  
12 end of 2018.

13 MR. TORRES: Yes, how many subdivisions you  
14 said PTC's active in?

15 MR. SCHULZE: We will implement on 86  
16 mandated subdivisions as part of the Rail Safety  
17 Improvement Act of 2008, and currently we are active on  
18 20 of those 86 subdivisions.

19 MR. TORRES: How do you, how do you make the  
20 decision as to where PTC is going to be installed or  
21 activated?

22 MR. SCHULZE: A lot of it, this is Mark  
23 again. This, a lot of it follows our signal plan  
24 because PTC is really a large signal project, and so  
25 there's a lot of greenfielding that we had to do on our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 signal system and so a lot of work had to be done.

2           It's a very, very complex project, going  
3 across, you know, our vast system of, you know, 28  
4 states, 30,000 plus miles. And so we've got to marshal  
5 the resources based on where they're, they can best be  
6 used.

7           We did focus on California originally. As  
8 you know, the 2008 RSIA stemmed from an incident in  
9 Chatsworth, California, and we've actually focused it  
10 on what's known as our San Bernardino subdivision there  
11 in Los Angeles, perhaps one of our most complex  
12 operating territories, and got it implemented there.  
13 Got it implemented throughout California and are now  
14 implementing it across the rest of our system.

15           MR. TORRES: So you, do you have priorities,  
16 you know, of which territories are going to be PTC? Or  
17 is it just, how can I say it, a better choice of words,  
18 railroad convenience, like traffic volumes, you know,  
19 where it's, where you can do it?

20           MR. SCHULZE: It's a mixture of a lot of  
21 complex factors. Again, the, based on our signal  
22 construction plan, and also our expansion plan.

23           As you know, rail traffic has grown  
24 tremendously over the last 5, 10 years, and part of  
25 what's known as the Rail Renaissance. And so we are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 doing a lot of expansion work on our railroad, where  
2 we've gone from single track to double track, gone from  
3 double track to triple track.

4 Any time you have major expansion projects  
5 like that, you've got to go back in, install the PTC  
6 system, and then re-map everything. It's a very  
7 difficult and challenging environment.

8 And so there are some of those locations  
9 that were sequenced based on where we were doing  
10 expansion work, some based on the signal system type  
11 that was, that needed to be changed out. Some based on  
12 the risk profile.

13 The commuter territories are areas that  
14 we've tried to focus on first in order to make sure  
15 that we're covered in those areas.

16 MR. TORRES: And who makes those decisions,  
17 you know, as to where the priorities are? I mean,  
18 like, I mean, I know you look at a lot of data, but you  
19 know, who eventually makes that final decision?

20 MR. SCHULZE: Well, we file a positive train  
21 control implementation plan with the FRA and there's  
22 risk categories or risk weighings that are part of that  
23 implementation plan that are assigned to each of the  
24 subdivisions and are passed to the FRA for their review  
25 and approval.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. TORRES: Okay. At this time I'll pass  
2 it on to Steve.

3 MR. DUPONT: Okay. Steve Dupont. In this  
4 division down on this end, how many subdivisions would  
5 you have PTC active on that you currently run? I know  
6 you run them on one and two that I'm aware of. I'm not  
7 aware of all of them.

8 MR. SCHULZE: Yes. We run it on 20  
9 subdivisions currently.

10 MR. DUPONT: Right.

11 MR. SCHULZE: Three of those are in the  
12 pacific northwest. There are, four of those in the  
13 mid-west southeast, so there's seven.

14 So the other 13, I believe, are along or  
15 near the, what we call the transcon, which runs from  
16 Chicago to southern California. So I believe 13.

17 MR. DUPONT: Thirteen.

18 MR. SCHULZE: I'd have to verify that, if  
19 that's okay, at a later time.

20 MR. DUPONT: That's fine, yes. Okay. And  
21 you do run it on the Hereford south down on this end,  
22 don't you?

23 MR. SCHULZE: We run it on the Hereford and  
24 the Emporia on the other side. Correct.

25 MR. DUPONT: Has the Panhandle sub ever been

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 active, or it's still in progress?

2 MR. SCHULZE: It is still a work in  
3 progress. We have all the assets in place. As of now  
4 we are waiting for three programmatic or system  
5 programs to, that we needed.

6 The last one, we received on June 20th, and  
7 so we're beginning, we began on June 20th the, what's  
8 known as verification and validation of the system.  
9 And then we would go to end to end runs or end to end  
10 testing, and then we would do implementations in  
11 thereafter.

12 MR. DUPONT: Okay. That's all I have.

13 MR. SCHULZE: Thanks.

14 MR. JESKE: Erich Jeske, BLET safety task  
15 force. Currently in previous discussions, we've heard  
16 that PTC backroom data is being collected. Does that  
17 mean the system is somewhat operational at this time,  
18 or how does that play in that possible data could be  
19 being retrieved via PTC?

20 MR. SCHULZE: I'm not sure of the context of  
21 the understanding or the question. I apologize. Are  
22 you, yes, I'm just not sure of what --

23 MR. JESKE: Through other interviews that  
24 we've done, and meetings, what we've determined or what  
25 has been mentioned is that documents that are being

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 gathered are from dispatching as well as PTC, and when  
2 I say backroom, I don't mean anything hidden.

3 MR. SCHULZE: No, no, no.

4 MR. JESKE: But rather the --

5 MR. SCHULZE: The back office.

6 MR. JESKE: The back office operations that  
7 crews and field managers probably would not see  
8 immediately. That data, what would be being collected  
9 right now from the system, or what is it monitoring at  
10 this point, if anything?

11 MR. SCHULZE: There is nothing I'm aware of  
12 that, on the Panhandle subdivision that's being  
13 collected from a PTC perspective. Obviously PTC is a  
14 very complex system of a myriad of subsystems, so  
15 there's 40 plus subsystems that make up PTC.

16 So there might be some of those that have  
17 data that could be utilized in different ways.

18 MR. JESKE: Okay.

19 MR. SCHULZE: But PTC as a system, no.  
20 There's --

21 MR. JESKE: As a whole, it's not  
22 operational, but --

23 MR. SCHULZE: No.

24 MR. JESKE: The piece, certain pieces may be  
25 online retrieving --

1 MR. SCHULZE: They could be. Like as a, the  
2 signal system was upgraded through the greenfield  
3 process. I'm not aware of exactly what was done on  
4 specifically the plain view.

5 There might be some information that's  
6 garnered from the signal system. There might've been  
7 some upgrades to the locomotive that we can utilize in  
8 different ways.

9 But as a system, the PTC system as a whole,  
10 there's nothing that we're utilizing or collecting at  
11 this time.

12 MR. JESKE: Okay. You did say that you were  
13 waiting on three software updates or changes to be  
14 implemented on the system for, testing could begin.

15 How is that delivered to the system? Does  
16 it have to be manually installed at each location, or  
17 is it a Wi-Fi transmission that can go and remotely  
18 update the operating controls at those locations that  
19 would require that system?

20 MR. SCHULZE: Yes. There, of those three  
21 systems, one is a database tool.

22 MR. JESKE: Okay.

23 MR. SCHULZE: A collection tool that is a  
24 systemwide used tool. The other one is a validation  
25 and verification tool, which is, again, a systemwide

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 tool. And then the last one is part of the onboard  
2 software.

3 So the actual eTMF software that would be  
4 onboard a locomotive. We could, most of those are done  
5 as a manual download to the individual locomotives.

6 MR. JESKE: Okay. So when those go in for  
7 184 inspections or 92 day inspections, depending on if  
8 they have the waiver or not, that's when that would be  
9 addressed?

10 MR. SCHULZE: It could be then, it could be  
11 during initialization attempt of PTC, it could, it  
12 could be a lot of different ways --

13 MR. JESKE: Okay.

14 MR. SCHULZE: -- where that software would  
15 be engaged.

16 MR. JESKE: Okay. And the last bit that you  
17 received on 6/20, that was, which piece was that for  
18 the --

19 MR. SCHULZE: The verification tool.

20 MR. JESKE: That was the verification tool?

21 MR. SCHULZE: That's correct.

22 MR. JESKE: Now, is that the only tool that  
23 will need to be utilized across the systems, so as more  
24 subdivisions become PTC-equipped with all of the  
25 hardware out in the field, that would mean that more

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 subdivisions could be turned on sooner?

2 MR. SCHULZE: Oh, it's a tool that we had  
3 utilized in the past. As you know, this is a brand new  
4 system, positive train control. And they're, we're  
5 constantly going through changes, improvements.

6 And so those three tools needed some changes  
7 or improvements to be utilized for various territories.  
8 And so it's a system tool that's been utilized on the  
9 20 subdivisions, and will be used for the next 66.

10 MR. JESKE: Okay.

11 MR. SCHULZE: And then on.

12 MR. JESKE: Okay.

13 MR. SCHULZE: I hope that helps.

14 MR. JESKE: That does, that does clear up  
15 some information there. I believe I'll pass it off to  
16 Rafael now.

17 MR. SCHULZE: Thanks.

18 MR. MARSHALL: Rafael Marshall with the  
19 NTSB. Can you tell me how you're preparing crew  
20 members for the implementation of PTC?

21 MR. SCHULZE: Crew members go through a  
22 training program. Each conductor and each engineer, or  
23 any crew member on a PTC locomotive has to be trained,  
24 and that's verified when they initialize the system in  
25 order to run across a given territory.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Before they're able to do that the first  
2 time, the conductor would go through a two hour  
3 training program, and then the engineer, I believe, is  
4 a four hour, which would also include two hours of  
5 simulation-type time.

6           And then there's numerous briefings  
7 thereafter. There's specific training for each  
8 employee in the cab.

9           MR. MARSHALL: Okay. When you implement  
10 PTC, is it, is it pretty much equal or consistent  
11 across all of your subdivisions, the way it's  
12 implemented?

13           MR. SCHULZE: Could you clarify that just a  
14 bit more? I apologize. I mean, there's --

15           MR. MARSHALL: I didn't know if there was  
16 differences between each subdivision when --

17           MR. FACKLAM: Rafael, you may want to speak  
18 up just a little bit more.

19           MR. MARSHALL: Okay. I just didn't know if  
20 there was any differences in how PTC is implemented in  
21 each subdivision, and whether that could --

22           MR. SCHULZE: Yes. Yes.

23           MR. MARSHALL: -- affect how the training is  
24 done, or how it, how crew members experience certain  
25 areas?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. SCHULZE: That, okay. So PTC is a  
2 system to be utilized on our system, and so there is  
3 the base PTC system. There's an onboard system,  
4 there's the signal system, the waysides that it  
5 utilizes. There's the back office system.

6 But obviously there are operating  
7 characteristics across each of our territories that  
8 would require the PTC system to operate somewhat  
9 differently based on those characteristics. You know,  
10 multiple main track, track warrant ABS, CTC. I mean,  
11 it's got to take in all of those type of inputs, train  
12 characteristics, braking algorithms.

13 So there's got to be variation based on  
14 those unique characteristics that could be found on a  
15 given subdivision.

16 That said, the training for a conductor or  
17 engineer is fairly basic, except for there might be  
18 some specific things on an operating subdivision that  
19 would be very unique to that subdivision that PTC, you  
20 know, getting used, the engineer getting, and  
21 conductor, getting used to the system might be a little  
22 bit different in a, in a specific area. I'm sorry.

23 MR. FACKLAM: Steve Facklam, BLET safety  
24 task force. Has the PTC ever been turned on for  
25 testing for train use on the Panhandle sub? I work on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the Emporia sub.

2 MR. SCHULZE: Yes. Yes.

3 MR. FACKLAM: And we've had it on for a  
4 while, for a few months, then they shut it off to make  
5 some updates, then they've turned it back on and we're  
6 in full use again now. I was wondering, has that ever  
7 been done on the Panhandle sub, any kind of usage by  
8 the crews?

9 MR. SCHULZE: I'm not aware of any testing  
10 that's taken place on the Panhandle sub. What you do  
11 refer to on like the Emporia and other territories,  
12 again, this is a brand new system. It's had its  
13 reliability issues.

14 MR. FACKLAM: Right.

15 MR. SCHULZE: There's been a couple of times  
16 in the evolution of PTC and the use of ETMS that we've  
17 had to basically pull back the whole system in order to  
18 improve some of these reliability characteristics.

19 Any time you've got 42 subsystems trying to  
20 work together, you're going to learn new things as you  
21 implement it and as you utilize it.

22 And so Emporia is one of those that we had  
23 it out there, had everybody trained, we were utilizing  
24 it, but there were enough reliability issues that we  
25 weren't pleased with the performance, that we brought

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 it back down.

2 But again, on the Panhandle specific, I'm  
3 not aware of any time that we've had it engaged or even  
4 tested.

5 MR. FACKLAM: Okay. And would you have any  
6 idea if they've done any, that crews had been trained  
7 on it on the Panhandle sub for any preparation for it  
8 yet at this time?

9 MR. SCHULZE: I would have to verify that.

10 MR. FACKLAM: Okay.

11 MR. SCHULZE: There are crews that are PTC  
12 trained that operate on the, on the Panhandle.

13 MR. FACKLAM: Yes. But if, I was just --

14 MR. SCHULZE: If you're working off the  
15 Hereford, if you, yes.

16 MR. FACKLAM: If you were targeting the  
17 Panhandle for training yet.

18 MR. SCHULZE: I don't know if I can find out  
19 and get back to you on that.

20 MR. FACKLAM: Okay.

21 MR. SCHULZE: I don't believe we've started  
22 training on this subdivision yet.

23 MR. FACKLAM: Okay. And this just, the  
24 Hereford sub and the Emporia sub Panhandle and Hereford  
25 sub all in the transcon, like, this just, for my mind,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 was there, the Emporia sub and the Hereford sub have it  
2 active, but then the Panhandle in the middle doesn't.

3 Was there some challenges specific to the  
4 Panhandle sub where it couldn't be implemented at the  
5 other two, as, at the same time as Panhandle and  
6 Emporia? Or, I'm sorry.

7 MR. SCHULZE: Yes.

8 MR. FACKLAM: Hereford or Emporia.

9 MR. SCHULZE: Yes. There were really two  
10 large or primary challenges that the Panhandle  
11 introduced. One of it was those, the expansion  
12 project. The double tracking that we've done.

13 Extensive double tracking on the Panhandle,  
14 which has been great for the subdivision and the  
15 transcon. We didn't finish the last major double  
16 tracking projects until late last year, September or  
17 October of 2015.

18 So we needed and wanted to get that into  
19 place so that we could update all the assets at the  
20 same time and make sure that the system was working as  
21 a unit appropriately.

22 The other one was those three system  
23 programs that I was talking about. The database, the  
24 validation verification, and the onboard system.

25 The Panhandle is one of those unique

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 operating subdivisions. It's a large subdivision, as  
2 you all know. It has a large number of assets, wayside  
3 devices that it needs to talk to.

4           So when a crew initializes their locomotive  
5 at the start of a PTC operation going from point A to  
6 point B, it's got to download an immense amount of  
7 information from the back office in Fort Worth in this  
8 case.

9           It's got to make sure, if the right crew is  
10 onboard, it's got to make sure that it understands, you  
11 know, any of the, any of the form As, form Bs, anything  
12 that, restrictions that might be ahead.

13           It's got to know that all the wayside assets  
14 are working correctly. The Panhandle has a great  
15 number of wayside assets, as you can imagine the length  
16 of it and the complexity of the operating territory.

17           And that number of wayside assets exceeded  
18 what was programmed in the initial, those three initial  
19 programs.

20           And so we had to have rewrites of those  
21 programs to be able to accept the vast number of assets  
22 that are here on the Panhandle system.

23           MR. FACKLAM: So it was mainly the  
24 rebuilding of the sub, the, and then the number of  
25 assets, greatly higher than the rest of some of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 other subdivisions.

2 MR. SCHULZE: Exactly.

3 MR. FACKLAM: Okay. Thank you. That's all  
4 I have for you now.

5 MR. SCHULZE: Thanks, Steve.

6 MR. SAUNDERS: All right. Kamron Saunders.  
7 I guess, I was going to ask about implementation. I  
8 know there's been at least a couple extensions on a, on  
9 the congress-mandated deadlines, and so not just with  
10 the Panhandle, what do you say are the biggest hurdles  
11 in needing those extensions and, then I'll follow up  
12 after that.

13 MR. SCHULZE: No. Thanks, thank you,  
14 Kamron. The, as I had mentioned earlier, BNSF has been  
15 involved in train control related to positive train  
16 control for decades, and we're very proud that we are  
17 the industry leaders in this.

18 We feel like we know quite a bit about the  
19 technology, how to operate it, and even at that, I  
20 mean, it's a very, as I mentioned before, it's a very,  
21 very complex system.

22 You know, it's a system of multiple  
23 subsystems and how they all work together is very  
24 difficult.

25 As you can imagine, it's a system that's

1 mandated by congress, and so all of the railroads, the  
2 UP, the KCS, the CSX, C&S, all those railroads have to  
3 operate with a common system.

4           And so the need for all of those major  
5 railroads to come together and come up with  
6 interoperable operations, you know, to make sure that  
7 we could use a CSX or a UP locomotive on our territory,  
8 that our train could traverse, you know, in a foreign  
9 territory.

10           Immense amount of complexity in and around  
11 that. And so while we marched hard towards the  
12 original implementation deadline, there was still  
13 enough reliability issues, even as late as middle of  
14 last year, that there was just, it was just an  
15 impossibility to meet that December 31, 2015 extent,  
16 deadline.

17           And so, as part of the latest legislation,  
18 it extended it to 2018 or 2020 under certain  
19 conditions.

20           We filed a positive train control  
21 implementation plan known as a PTCIP, a revised one, in  
22 January of this year, stating that we would meet the  
23 2018 deadline.

24           MR. FACKLAM: Okay. So without asking you  
25 to give me dates, do you all have a plan that says,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we're going to have this subdivision by this date,  
2 this, or, is there anything in place like that that  
3 you're, or that you're working towards?

4 MR. SCHULZE: Yes. The revised PTCIP that  
5 was filed in January has a rollout plan, an  
6 implementation plan of which, right now, the Panhandle  
7 subdivision is listed on that in, for 2017.

8 And we have been doing, and we had intended  
9 to get that in service prior to that time.

10 MR. FACKLAM: Okay. That's all I have.

11 MR. TORRES: Okay. Any questions?

12 MR. RATLEDGE: Aaron Ratledge, no questions.

13 MR. TORRES: Yes, I was just going to ask  
14 again, can you explain for those that don't understand  
15 PTC, what its intent is? You know, how it, you know,  
16 as a, as a train's traversing the territory?

17 MR. SCHULZE: Absolutely. PTC, as currently  
18 designed, is designed to meet the federal mandate that  
19 came out of the 2008 RSIA, the Rail Safety Improvement  
20 Act.

21 As mandated, there's four characteristics  
22 that PTC is designed to prevent. Train to train  
23 collisions, over speed derailments, switches,  
24 encouraging into an area where a switch was left in the  
25 wrong position, and areas where maintenance way

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 employees might be working.

2 And so the system, ETMS, is designed to work  
3 with those four operating characteristics.

4 MR. TORRES: Steve?

5 MR. DUPONT: No.

6 MR. JESKE: Erich Jeske, BLET safety task  
7 force. As you mentioned earlier, the PTC system will  
8 look at the crew that's supposed to be on the train.

9 When a situation occurs where a crew is  
10 going to go dead online, how will the system respond,  
11 or how will crews be trained to handle that when they  
12 get on the train and it has already been initialized  
13 and it's under a different crew's name? Is that going  
14 to impact them or what will be the outcome of that  
15 situation?

16 MR. SCHULZE: As currently utilized today,  
17 the new crew would have to reinitialize in order to  
18 verify that they are able to operate that train.

19 MR. JESKE: Okay.

20 MR. SCHULZE: And that's the way our safety  
21 plan is currently formulated. Is that a hard  
22 requirement as part of the regulation? No it's not.  
23 That, today you would have to get on, reinitialize and  
24 --

25 MR. JESKE: Okay.

1 MR. SCHULZE: -- verify you as a crew.

2 MR. JESKE: And to get to this, I guess in  
3 this area would be a fine way of describing it, very  
4 rural and possibly, I'm assuming that these work with  
5 cell phone towers to relay that information, or how is  
6 that actually relayed to the locomotive so that if a  
7 crew did have to get on and there was no coverage of  
8 cellular transmission, is it a railroad radio system  
9 that will relay all that information? How does that  
10 work?

11 MR. SCHULZE: Great question. Again,  
12 getting to the complexity --

13 MR. JESKE: Okay.

14 MR. SCHULZE: -- of the system, so PTC  
15 relies on a vast communication network. As you know,  
16 railroads have very strong and good communication  
17 networks.

18 But because of the rural areas, we've  
19 basically had to recreate a new communications network  
20 utilizing 220 megahertz, a low bandwidth communication  
21 network.

22 And so all of our PTC operations should,  
23 could operate under 220. It does utilize cellular as a  
24 backup if needed.

25 MR. JESKE: Okay.



1 MR. SCHULZE: So you have communicated, for  
2 some reason 220 doesn't go through, it would pick a  
3 cellular.

4 All of the radios that we utilize to  
5 communicate between locomotives, waysides locomotives,  
6 back office, whatever it might be, there's software to  
7 find radios.

8 And they're designed to find the best  
9 communication path. So it could be, at a terminal it  
10 could be 802.11 or Wi-Fi.

11 MR. JESKE: Right.

12 MR. SCHULZE: Is how you'd initialize  
13 because that is a lot of, a lot of data that that  
14 locomotive has to have in order to begin, or it could  
15 be over that 220 megahertz network, or it could be over  
16 cellular.

17 MR. JESKE: Okay. Another question, will  
18 this improve crew lineup accuracy?

19 Will PTC be a more stable platform for  
20 informing the crews when they'll be going to work or  
21 possibly be going to work since it will have realtime  
22 knowledge of where every train is, because I know  
23 currently, going by control points, or AEI readers,  
24 that's when the system will update only if that reader  
25 or control point is designated as a system update,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 unless done manually? Will this improve those  
2 accuracies and get those on a much narrower window?

3 MR. SCHULZE: Erich, as you can imagine, I'm  
4 not an expert on crew management, so I really can't  
5 address that, but I can talk about location precision.

6 If you're on a CTC network, I mean, you  
7 generally have pretty good accuracy and you know where  
8 the train is within a close enough period to have  
9 specific GPS accuracy for, you know, whether it's  
10 shipment information that a, that a customer might want  
11 to have.

12 MR. JESKE: Okay.

13 MR. SCHULZE: Or crew information. It's not  
14 going to, it's not going to get that much more accurate  
15 if you're in a block versus if you're to a --

16 MR. JESKE: Okay.

17 MR. SCHULZE: -- to a centimeter.

18 MR. JESKE: Okay.

19 MR. SCHULZE: Hope that helps.

20 MR. JESKE: That does help some, yes. I  
21 believe that's all. Rafael?

22 MR. MARSHALL: Okay, this is Rafael Marshall  
23 with the NTSB. Even after PTC is fully implemented,  
24 there's still going to be areas of dark territory.

25 How do you, how is BNSF planning on sharing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 crew vigilance and attention, especially in those  
2 areas?

3 MR. SCHULZE: Yes. Let me first say, PTC is  
4 designed to also operate in dark territories. So I  
5 believe you might've meant that there will be areas  
6 that won't be PTC-equipped.

7 MR. MARSHALL: Okay.

8 MR. SCHULZE: Okay. So in those areas that  
9 aren't PTC-equipped, or if they are PTC-equipped, PTC  
10 is designed as a safety overlay.

11 You know, it's, the crews are still, the  
12 intent is that they will operate their trains as they,  
13 as they've been trained, and our crews are very well  
14 trained through extensive training programs.

15 As you know, both at the beginning of  
16 employment, and all throughout their employment. And  
17 so railroading's a very safe industry, and our  
18 employees, our crews are some of the best in any  
19 industry out there.

20 And so we will continue to rely on the  
21 experience and professionalism of the crews to operate  
22 their train and we will continue to train, educate, and  
23 have them, have them ready to operate in any situation.

24 MR. MARSHALL: Okay, thank you.

25 MR. FACKLAM: Steve Facklam, BLET safety

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 task force. Just, I think one more question. I know  
2 in the southwest have been reports that you're having,  
3 BNSF was having trouble installing towers with maybe  
4 tribal lands or access to put in the towers.

5 Was there any such delays like that on the  
6 Panhandle sub? Any maybe regulation that you ran up  
7 against, lands that you couldn't get your towers on  
8 that delayed this.

9 MR. SCHULZE: Yes. As background, again,  
10 part of the challenge of the whole PTC implementation  
11 program, we did run into issues with the Federal  
12 Communications Commission, the FCC, in getting some of  
13 our towers installed, the towers that we talked between  
14 the locomotives and the waysides. The waysides, the  
15 locomotives and the back office.

16 And that, we incurred almost a two year  
17 delay in some areas of implementation because of the  
18 construction of those towers.

19 That said, I'm not aware of any issues  
20 specific to the Panhandle subdivision that's related to  
21 any of those FCC delays.

22 MR. FACKLAM: Last, just a comment, having  
23 used PTC, it's already helped me, saved me out there.  
24 And I know BNSF is the leader in it.

25 I've seen it firsthand that this railroad is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the quickest, develop it and get it out there. And  
2 from workers' perspective, thank you and keep it up  
3 because we need it.

4 MR. SCHULZE: We appreciate hearing that.  
5 We really do. That means a, means a lot.

6 MR. FACKLAM: I don't have anything else.

7 MR. RINDELMAN: Steve, Ryan Rindelman, Steve  
8 made me think of something, and you talked about the  
9 ARES program and the history, and then the Chatsworth.  
10 How, if at all, did that mandate change approach to PTC  
11 on the inside?

12 MR. SCHULZE: It's Mark Schulze again, BNSF.  
13 The biggest change was the 2008 RSIA, the Rail Safety  
14 Improvement Act, mandated interoperability.

15 So our previous developments, the ARES, the  
16 advanced railroad electronic system through earlier  
17 versions of electronic train management system or ETMS,  
18 were basically being designed to just operate on the  
19 BNSF system.

20 When there was the congressional mandate to  
21 ensure interoperability of these systems, that  
22 increased the complexity many, many times.

23 Just to be able to ensure that this system,  
24 this positive train control system could talk to the  
25 different back offices that each of the railroads had,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the different signal systems that each of the railroads  
2 had, the different operating characteristics, the  
3 different operating rules, we had to have one system  
4 that was able to, you know, seamlessly traverse,  
5 whether it's through Chicago, Atlanta, Kansas City,  
6 wherever it might be, or utilize locomotives on  
7 different territories.

8           That was definitely the biggest challenge.  
9 We came together as an industry immediately after the  
10 RSIA was enacted, created an interoperable train  
11 control committee, the ITC, came up with groups to come  
12 up with interoperable standards, created those  
13 standards, as you can imagine the difficulty in  
14 creating very technical standards.

15           Those were created, those were published,  
16 and that gave the vendors the opportunity to start  
17 producing equipment that would meet those interoperable  
18 standards.

19           So you can just imagine the complexity and  
20 the time frame that was required for all of that, and  
21 then to ensure that all those different vendors'  
22 systems would work together seamlessly as a train was  
23 going across a territory, from territory to territory,  
24 from crew to crew, from railroad to railroad, is  
25 extremely complex.

1           We, at BNSF, we've got 20 of our 86  
2 subdivision implemented. We're not running every train  
3 on those 20 divisions with PTC.

4           There might be a locomotive that's not yet  
5 equipped with PTC. There might be a crew member that's  
6 not yet trained for PTC because we have a lot of crews  
7 moving around the different territories. There might  
8 be other issues. There might be a reliability issue.

9           And so while BNSF, we're getting a grasp on  
10 our system on how that works, we still have to, you  
11 know, work with the other railroads and make sure that  
12 this is going to work from an interoperability  
13 perspective.

14           MR. RINDELMAN: Okay. That's all I had.

15           MR. TORRES: Tomas Torres with the NTSB.  
16 Have you identified any potential drawbacks or  
17 negatives of the PTC?

18           MR. SCHULZE: I would say, I wouldn't say a  
19 negative or a drawback because it is a safety system  
20 that works, and we're very proud of that. We  
21 appreciate the comments that, you know, the employees  
22 like it, they want to use it.

23           That said, like any human technology, you  
24 know, program that interact, in our area we have red  
25 light cameras, you know? And where I know there's a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 red light camera, I'm a little more cautious on hitting  
2 the brakes a little sooner. You know, I'm operating a  
3 little bit differently.

4 On our system we have drive cams. They're  
5 cameras, you know, that focus on the, on driver  
6 behavior and they take video if there's G-forces that  
7 are exceeded, and our employees are, I believe, better  
8 drivers because of those, because they operate  
9 differently knowing that the technology is there.

10 With positive train control, the braking  
11 algorithms are more conservative than what a very,  
12 very, very qualified engineer would operate his or her  
13 train, and so there's some getting use, there's some of  
14 that engineer system interaction that is being learned,  
15 both by the engineers and by the PTC system and  
16 improvement in the braking algorithms that, you know,  
17 we're trying to continue to perfect that.

18 Like any human system project, you know,  
19 there is, there is some learnings in that, and so I  
20 think that's one of our biggest challenges.

21 MR. TORRES: Can this system, say a crew's  
22 onboard and, this is kind of off the wall maybe, can it  
23 tampered with, you know, like can they override it?

24 You know, say, you know what, maybe I don't  
25 want to, I mean, somebody makes a bad decision, can

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 they override the PTC even though it's on the recording  
2 for, or nullify it in some form?

3 MR. SCHULZE: Yes. You're not able to,  
4 you're not able to override it. You, before the full  
5 implementation date, you can, you could disengage it.

6 But beginning in 2020, when the mandate is  
7 fully in effect, we would have to run at restricted  
8 speed or medium speed. There would be certain changes  
9 to operations that we'd be required to make if PTC were  
10 not engaged.

11 MR. TORRES: So if a locomotive has a  
12 failure, electronic failure or something, you know, and  
13 it's not working, they'll just knock it down, I mean,  
14 like manually on the computer screen and then can run  
15 it conventional, or you know --

16 MR. SCHULZE: If there was a PTC-related  
17 problem on the locomotive, it would disengage the PTC  
18 operation today, and the train crew, because it is a  
19 safety overlay system, the train crew would continue to  
20 operate with the operating rules that are in place.

21 But again, when the mandate's fully in  
22 effect, that train would be, would have operating  
23 restrictions imposed upon it if PTC were not, were not  
24 engaged.

25 MR. TORRES: Okay. With Trip Optimizer, are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you familiar with it?

2 MR. SCHULZE: Slightly. I know what it is,  
3 but I'm not familiar with the, I'm not real familiar  
4 with the technology.

5 MR. TORRES: Even with the PTC and Trip,  
6 they use a Trip Optimizer. How's that going to be  
7 equated together, because this, Trip Optimizer's kind  
8 of like a cruise control.

9 So how are they going to combine those, or  
10 how's it going to affect it, you know? Do you have --

11 MR. SCHULZE: There are development projects  
12 in order to make sure that they are integrated, but I'm  
13 not really up to speed on exactly what those  
14 integration projects are.

15 MR. TORRES: Okay. Steve?

16 MR. JESKE: Erich Jeske, BLET safety task  
17 force. So you did mention that there will be operation  
18 restrictions if a PTC failure occurs en route.

19 If a failure occurs en route, what does that  
20 do for the opposing trains that still have fully  
21 functioning PTC?

22 Do they also receive a restrictions so that,  
23 since the system is designed to prevent a head-on  
24 collision, if one hard target cannot talk to another  
25 hard target, such as locomotive to wayside signal, how

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 does that affect the opposing train that can still talk  
2 to a wayside signal?

3 MR. SCHULZE: That train would still be  
4 operating with PTC fully in effect. If the other  
5 train, say the other train disengaged, reduce their  
6 operating speed or whatever operating restriction was  
7 put in place on that train, if it exceeded a hard  
8 target or a red signal, you know, that would  
9 immediately signal to the other train.

10 MR. JESKE: Okay.

11 MR. SCHULZE: And cause it to stop.

12 MR. JESKE: Okay.

13 MR. SCHULZE: So there would be that.

14 MR. JESKE: Now, it will know that there,  
15 the functioning train is going to know that there is a  
16 hard target ahead of it, or I guess, maybe let's say a  
17 second hard target ahead of the control point. So it's  
18 going to know that it's out there coming at it?

19 MR. SCHULZE: The other train would not be  
20 affected from a technology perspective.

21 MR. JESKE: Okay.

22 MR. SCHULZE: There are probably nuances to  
23 the regulation that I can't think of right now, that  
24 might change some of the operating paradigm, but as of  
25 right now, those other trains would be operating with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 fully functional PTC.

2 MR. JESKE: Okay. All right. Rafael?

3 MR. FACKLAM: I've just, I've got one thing,  
4 I don't even think we've gotten this on the tape or on  
5 the record because I know that it's probably going to  
6 come up because we kind of, a lot of us understand how  
7 it works.

8 Real briefly, and as basic as you can for  
9 people that will maybe read the transcript, can you  
10 explain how the PTC works, the conductors and engineers  
11 interaction with PTC, in the use of a trip, and how  
12 it's, they're, you know, they're still running the  
13 train, but it's there to throw up safe, or stop them if  
14 something. Run, just I guess a brief overview of --

15 MR. SCHULZE: Sure. Sure. Yes. PTC is a  
16 technology system that only acts as a safety overlay to  
17 the crew. The crew is still in control of the train.

18 If a human factor or a system issue might  
19 take place, the train could stop or brake the train  
20 prior to exceeding a restriction, for instance.

21 PTC has four major components to it, as  
22 designed. It's a locomotive centric system. So PTC  
23 has to have that onboard system that takes in all of  
24 the wayside information, is a second system, so it  
25 knows all of the switch positions, all of the signals

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 on a given territory that that train would be  
2 operating.

3 That information goes over a communication  
4 network. That's the third part of the system. The  
5 communications system is that 220 megahertz cellular or  
6 Wi-Fi, the 802.11, that talks between those various  
7 assets, and also the fourth part is the back office.

8 The back office knows the restrictions on a  
9 given operating territory, knows the crews that have  
10 been trained, knows, has all that PTC-specific  
11 information that's required for that train to operate  
12 from point A to point B. So those four major systems  
13 are designed to work together.

14 So what happens is, a crew comes on duty.  
15 They have all of their existing paperwork, all of their  
16 existing information that they're required to know and  
17 acknowledge. They go onboard of a locomotive.

18 There is a positive train control or ETMS  
19 screen on, interactive on the engineer's side that  
20 could show all of the restrictions, can acknowledge  
21 that they are the right crew.

22 It's employee identified, PIN identified to  
23 make sure that that is the right crew. There's also a  
24 screen on the conductor's side that is not interactive.  
25 It's informational, has all of the same information

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that the engineer would or might see.

2           They initialize the train, getting all of  
3 their operating restrictions for that given trip, every  
4 aspect of that given trip and they're able to start.

5           The screen that's in place of each of the  
6 employees will show the operating characteristics that  
7 are up to five miles ahead of them, what type of track  
8 operations, what type of terrain, grade, what type of  
9 restrictions might be out ahead.

10           And so that will be a good indicator, then  
11 it will show them the speed as they're increase or  
12 decreasing, and also what speed they should be at and  
13 what their next speed target would be.

14           And so it's a screen that provides a lot of  
15 information but the crew is still expected operate that  
16 train as they normally would.

17           MR. FACKLAM: And the way it's worked for  
18 me, if the crew does not react to an upcoming  
19 restriction, does not slow down, does not prepare to  
20 stop, would it be correct to say the system gives an  
21 audible warning at first, and then --

22           MR. SCHULZE: That's correct.

23           MR. FACKLAM: And then will set penalty  
24 brake, amount of air to slow or stop that train, or is  
25 it --

1 MR. SCHULZE: Yes. It, PTC would give  
2 information and know that based on the braking  
3 algorithms, whether or not that train was going to  
4 exceed a restriction, whether it's a stop signal or end  
5 of a track warrant territory. Whatever it might be.

6 And based on those braking algorithms, it  
7 would first warn the crew that, hey, based on what I,  
8 the computer, or ETMS knows, it looks you're going to  
9 exceed that target unless you slow down.

10 And so it's audibly warning, slow down, slow  
11 down, slow down. If it gets past a point where it can  
12 tell that the crew hasn't slowed down enough to meet  
13 that restriction, whether it's end of a territory, a  
14 signal, or even a speed restriction, it'll do a full  
15 service brake application in order to stop that train.

16 It doesn't have any slowing characteristics,  
17 like if you're going a little too fast or something,  
18 it's not going to automatically slow the train down.

19 If your speed target for a given territory  
20 is, say 30 miles per hour, it would give you an audible  
21 warning at 33 miles per hour, and then it would enforce  
22 that penalty brake application at 35 miles per hour  
23 when you exceed any of the speed targets by five miles  
24 per hour.

25 MR. FACKLAM: Okay. Thank you. That is

1 important to get the basic, on the record, how it  
2 works.

3 MR. SAUNDERS: This is Kamron Saunders. Are  
4 you aware, either during implementation or after  
5 implementation, on the 20 subdivisions, of any issues  
6 with, you know, on those four things you talked about,  
7 the train to train over speed switches or maintenance,  
8 as far as it not working properly?

9 MR. SCHULZE: No.

10 MR. SAUNDERS: Or has it worked?

11 MR. SCHULZE: No, I'm not, I'm not aware of  
12 any that would be considered by the FRA to be a  
13 critical defect or something reported, and it would be  
14 significant, there would be significant addressing of  
15 that type of issue. It has worked.

16 There's, we've had a, again, we're talking  
17 about the reliability of this system. There's been a  
18 significant amount of time, you know, three percent or  
19 so say that PTC has enforced a braking application.  
20 Fifteen percent of those three percent have been good  
21 applications.

22 You know, something with a signal, something  
23 where the crew was going to pass, something that, but  
24 the other 85 are reliability issues that we're working  
25 through.



1           But we've never had one that I'm aware of  
2 that, where the train, PTC did not operate as intended.

3           MR. SAUNDERS: Okay. Thank you.

4           MR. JESKE: Erich Jeske, BLET safety task  
5 force. Just one other question. You did mention that  
6 the 802.11 Wi-Fi, cellular, or the 220 megahertz  
7 bandwidth for communication.

8           Will there be two of those systems active at  
9 any given time, and how will the system know, let's say  
10 leaving Amarillo, Texas, which we're closest to, when  
11 you leave there and you depart on the Wi-Fi, will  
12 another one of those radio systems kick in?

13           Because I know as currently set up with the  
14 distributive power on locomotives, there are two  
15 radios. Both get tested during initialization, and  
16 it's a back office type thing that happens, you know,  
17 in the computer system, and only if a failure occurs,  
18 do you know this.

19           But the two radios are there functioning  
20 side by side so that if one does fail en route, you  
21 have a failsafe for communication to the rear of your  
22 train.

23           Is there a failsafe among the communication  
24 networks for PTC where at least two of those networks  
25 will be operable at any time?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. SCHULZE: Great question. That's  
2 another area that we should be proud of as a company  
3 and as of an industry.

4 What we utilize is something called a  
5 software-defined radio, SDR. It's a company that we've  
6 had, and it's called Mediacom or MCC, that developed  
7 this software-defined radio for the industry and for  
8 other industries.

9 And so what a software-defined radio does is  
10 it finds the best communication path based on a given  
11 territory or given location or given time of day,  
12 whatever it might be.

13 As you know, operating in this area or  
14 wherever you might be, you lose your cell coverage  
15 every now and then. You lose, 220 is the primary  
16 communications network.

17 MR. JESKE: Okay.

18 MR. SCHULZE: And we've, that's why we're  
19 creating all these towers that we've had some  
20 challenges with, but we've got a 220 megahertz system  
21 out there and that should be the primary way that it's  
22 communicating.

23 But if it did go out, the software-defined  
24 radio is looking for that best path of communication.  
25 It will utilize, you know, cellular 4G network or the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 220 or if Wi-Fi is the best method in a given terminal  
2 or area, it will utilize that.

3 MR. JESKE: Okay.

4 MR. SCHULZE: It looks for the best path.

5 MR. JESKE: I guess one other question,  
6 moving just along these lines. If 220 fails and it  
7 finds Wi-Fi, is it able, is this system able, if there  
8 were a Wi-Fi hotspot, is it going to identify an open  
9 network and acquire signal on that, or is it going, is  
10 it an encrypted network that it's only going to be  
11 looking for, such as at a railroad terminal? How does  
12 that play into things?

13 MR. SCHULZE: I don't know the specifics on  
14 that, but I can only imagine it's only a BNSF encrypted  
15 network. Yes.

16 MR. JESKE: Okay.

17 MR. SCHULZE: That's the only, these are,  
18 these are encrypted messages that are going across.

19 MR. JESKE: Okay.

20 MR. SCHULZE: I would say absolutely. It's  
21 not going to go find a McDonald's. It's --

22 MR. JESKE: Right. Yes. Well, that was  
23 kind of the --

24 MR. SCHULZE: Yes.

25 MR. JESKE: -- concern was that it would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 find that and, you know --

2 MR. SCHULZE: No.

3 MR. JESKE: -- would there be a  
4 vulnerability to the system by that?

5 MR. SCHULZE: No. Yes, the security of the  
6 system is taking, is taken very --

7 MR. JESKE: Only Starbucks, right?

8 MR. SCHULZE: Yes, only Starbucks. It's  
9 taken very seriously, and so that's --

10 MR. JESKE: Okay.

11 MR. SCHULZE: That's been a big part of this  
12 program is the security of those messages.

13 MR. JESKE: And while the software-defined  
14 radio is searching for the best path to communicate,  
15 how does it store information?

16 Does it, does it hold transmissions so that  
17 if it loses the 220 and it's searching for cellular and  
18 it finds that, how does the communications continue, or  
19 do they pause?

20 MR. SCHULZE: Yes.

21 MR. JESKE: I can only imagine --

22 MR. SCHULZE: The communications wouldn't  
23 hold or store anything. It's only looking for that  
24 best path to transmit data from one source to another.

25 So onboard, you'd have a, either a GPS, you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 know, sensor, or something on the train management  
2 computer or a back office computer in Fort Worth.  
3 That's where the data's actually being stored.

4           The communication is only to pass data  
5 between those two sources, source and receiver. So  
6 there's no need for storage on a communication network.

7           MR. JESKE: Okay. And that, while it would  
8 be searching for a new communications path, that would  
9 not affect the system as far as --

10          MR. SCHULZE: Oh, no. Yes.

11          MR. JESKE: -- as a hard target, it's still  
12 going to be able to communicate hard target to hard  
13 target, and each other will know so that if, while it  
14 were communicating or trying to find a communications  
15 path --

16          MR. SCHULZE: Yes, yes.

17          MR. JESKE: -- and a red signal was passed,  
18 it would still be able to notify?

19          MR. SCHULZE: It's keeping that  
20 communication.

21          MR. JESKE: Okay.

22          MR. SCHULZE: That is correct. I see what  
23 you're thinking. Yes. Steve?

24          MR. DUPONT: If you said, and I didn't write  
25 it down, the T&E individuals on this subdivisions, you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 got a feel for how much of those, how many are trained?  
2 Where you all are standing with the training side of  
3 the field training side?

4 MR. SCHULZE: I --

5 MR. JESKE: What was your question? I  
6 didn't hear it.

7 MR. DUPONT: The T&E employees.

8 MR. JESKE: Oh, okay.

9 MR. DUPONT: On the Panhandle sub.

10 MR. JESKE: That's what I'm asking. The T&E  
11 piece.

12 MR. DUPONT: Did he have a feel of the, yes.

13 MR. JESKE: Okay.

14 MR. DUPONT: For the PTC.

15 MR. SCHULZE: That's one I'm going to have  
16 to go back and look. I'm not aware of any active  
17 training program.

18 MR. DUPONT: I'd like to get that.

19 MR. SCHULZE: Absolutely.

20 MR. DUPONT: If you could.

21 MR. SCHULZE: If, I'm not aware of any  
22 active training program on the Panhandle sub. That  
23 said, there are crews that operate on this subdivision  
24 that have been trained that might operate on the, on  
25 the Hereford sub or the Emporia sub. I know that could

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 definitely take place.

2           So there would be crews that operate on this  
3 sub that have familiarity with the system.

4           MR. DUPONT: Right. And I'm assuming, just  
5 like engineer certification with territorial  
6 qualifications, that BNSF has a system that identifies  
7 who is PTC trained and who's not?

8           MR. SCHULZE: Absolutely. Absolutely.  
9 We're required to --

10           MR. DUPONT: So crew management would know  
11 that?

12           MR. SCHULZE: That's correct. And the PTC  
13 system knows who's been trained and who hasn't.

14           MR. DUPONT: Okay.

15           MR. SCHULZE: Yes.

16           MR. DUPONT: What happens if you and I are  
17 called for a job. You're PTC trained as the engineer,  
18 I am not. What can we do?

19           MR. SCHULZE: Today, we would operate that  
20 train in conventional mode. We would not operate it in  
21 PTC mode. You need a fully trained crew to operate  
22 that train.

23           Post-mandate, say it's 2020, we would not be  
24 able to operate that train. We would have to wait  
25 until there was a qualified train, a trained crew.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. DUPONT: Full crew. Full crew that's  
2 going out.

3 MR. SCHULZE: That's correct. That's  
4 correct.

5 MR. DUPONT: Okay.

6 MR. SCHULZE: Yes.

7 MR. DUPONT: Okay. Thanks.

8 MR. SCHULZE: Yes.

9 MR. TORRES: Tomas Torres with the NTSB.  
10 I've just got a question. So if you're trains on a  
11 PTC-equipped subdivision and you have a conventional  
12 train and a PTC train, so how is the train that's  
13 equipped with PTC being protected from a train that's  
14 not PTC? I mean, I mean, where's that gap filled? How  
15 is it filled or --

16 MR. SCHULZE: Yes.

17 MR. TORRES: How is other train protected?

18 MR. SCHULZE: Yes. And today, in that  
19 instance, there isn't peer to peer communication.  
20 That, the trains don't talk to each other.

21 So today that, those trains don't know, the  
22 PTC-equipped train doesn't know exactly where that  
23 other train is.

24 If you were on a signalized territory, CTC,  
25 and the conventional train exceeded an authority and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 went through a red signal, it would, you know, it would  
2 change the signal system so that the train that was  
3 equipped would know it right away and would enforce  
4 braking at that time. So it's, I would say partially  
5 protected at this time.

6 MR. TORRES: Okay. On the subdivision  
7 Panhandle, do you say it's, you pretty much installed  
8 all the equipment that's required for PTC, but you  
9 haven't completed it because you're still working,  
10 extending track or you're adding track to it? Is that  
11 it?

12 MR. SCHULZE: No. I believe all the  
13 expansion work has been done on the Panhandle that we  
14 intend to do at this time.

15 We have everything in place. We've received  
16 that last of the three software system upgrades that we  
17 need. Did that on June 20th, and now we're going  
18 through what's known as the verification and validation  
19 process, V&V is how the FRA knows it.

20 We'll get through that to ensure that the  
21 system is working, that everything is communication as  
22 it's intended over the subdivision.

23 And then we go to true end to end testing  
24 where we would test locomotives on the subdivision, and  
25 then once that's done, concurrently we're training the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 employees, and then once that's done, what we would,  
2 cut it over and implement PTC.

3           So right now we're in this verification and  
4 validation process.

5           MR. TORRES: So when was all that hard, you  
6 know, all the stuff that's supposed to be on the field  
7 installed?

8           MR. SCHULZE: I believe it was when the  
9 double track expansion project was done, fall of 2015.

10          MR. TORRES: So last year?

11          MR. SCHULZE: Yes. Yes.

12          MR. TORRES: So while the extension was  
13 going on, there's no way you could've, you know,  
14 initialized or put PTC in effect?

15                I mean, I guess I don't understand, you  
16 know, because you're expanding or you're adding track,  
17 you know, another track, you know, why couldn't that,  
18 the segment of track that, assuming you're operating  
19 on, why couldn't PTC be put into effect?

20          MR. SCHULZE: Yes. I hope you can imagine  
21 the challenge. The amount of capital expansion work  
22 that we've been doing across the system.

23                If, and with a limited number of resources  
24 to implement PTC, people that are knowledgeable of the  
25 system in the, in the whole nation, in the whole world,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there's not a, there's not a lot.

2 And so if we would have to go back and redo  
3 everything. Every time we build these significant  
4 track infrastructure projects, we have to go back and  
5 redo the whole, the whole subdivision.

6 And so we would've expended an immense  
7 amount of resources, get it in place, and then have to  
8 come back, which would take away resources from  
9 implementing it potentially somewhere else.

10 And so to the original questions on the  
11 sequencing of the subdivisions, I mean, we have to take  
12 into account, you know, what is the logical  
13 implementation path based on some of those expansion  
14 characteristics or territory characteristics like that?

15 And so the immense complexity of the  
16 project, the massive scale of it, the scope, and the  
17 time line that we're committed to, we just couldn't  
18 hopscotch like that. It just wouldn't be a good use of  
19 our resources in order to get this done.

20 MR. TORRES: Okay. Can you explain the,  
21 those software updates? You mentioned three software  
22 updates. What is it, or is it, why would they need it,  
23 or --

24 MR. SCHULZE: Yes. They're, as I had  
25 mentioned before, just the immense number of assets

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that are on the Panhandle sub, the way those three  
2 systems were initially designed, they weren't able to  
3 take in that many.

4           When the crew initializes the PTC system on  
5 a given territory to go from point A to point B, the  
6 Panhandle is a very big and complex subdivision. And  
7 so it wasn't initially designed to acquire as many  
8 assets as what is on this territory.

9           And so these system changes need to just  
10 take place so that it, the system, the PTC system would  
11 be able to acquire all of that asset information.

12           MR. DUPONT: Going back and just looking  
13 out, and those, and I'm 40 something years on the  
14 railroad, the fluctuation in business.

15           You got some territories that won't have  
16 PTC, you have some territories will. And the labor  
17 forces is all generated on seniority.

18           So we get people off of, because of the  
19 fluctuation in business, be it from one territory to  
20 another, and I'm looking out in the future, which you  
21 had said, if it's not a full qualified crew, is BNSF  
22 outlook long-term, is to get everybody qualified?

23           Because you really don't control where these  
24 guys move around. So you have people bidding off of  
25 territories that doesn't have PTC. So maybe they're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the last group to be trained because you want to, which  
2 is the first group too.

3 But now you start having a flood across, on  
4 another territory in the US. And when you get to the  
5 mandate and because I don't have all of the answers to  
6 PTC as anybody else does, it seems it's going to create  
7 a mass problem.

8 So what, and I guess what I'm asking is,  
9 what is your vision, BNSF vision going forward, how are  
10 you going to address the people that currently today  
11 that are on non-PTC territories, what are you going to  
12 do with them?

13 MR. SCHULZE: In regards to train, being  
14 trained on PTC?

15 MR. DUPONT: Yes.

16 MR. SCHULZE: Yes. That is, when we started  
17 out, I had mentioned that 55, about 55 percent of our  
18 operating territory will have PTC.

19 MR. DUPONT: Okay.

20 MR. SCHULZE: But that covers 70 to 80  
21 percent of our train traffic. So you can also probably  
22 extrapolate that would be about the number, percentage  
23 of crews that would need to be trained at a given time  
24 on PTC, leaving a fairly small percentage that might  
25 never see PTC, might see it very infrequently.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And so before they would be able to operate  
2 on a PTC territory, if they bid into a different  
3 territory, they would have to be, you know, trained.

4           MR. DUPONT: Right.

5           MR. SCHULZE: To that --

6           MR. DUPONT: And you get insane situations  
7 through detours, you have push-outs. We just saw it in  
8 Houston, but the UP, when the bridge went out.

9           MR. SCHULZE: Yes.

10          MR. DUPONT: So I mean, that's going to be a  
11 pretty good task for you guys now.

12          MR. SCHULZE: We would have to prioritize  
13 the resources, including training resources for those  
14 type of contingencies. So there will be some people  
15 that will probably never be trained on PTC.

16          MR. DUPONT: Right. So if that situation  
17 was to arise looking forward, and we had a crew onboard  
18 and they're not qualified, but you had a manager that  
19 was qualified, say a road foreman, a DSLE, they still  
20 would not be able to function?

21          MR. SCHULZE: If you didn't have a fully  
22 qualified crew to operate that train under --

23          MR. DUPONT: Can't do it.

24          MR. SCHULZE: -- under regulation or  
25 collective bargain or whatever it might be, I'm not a,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I'm not an expert on --

2 MR. DUPONT: I'm not either.

3 MR. SCHULZE: -- in that territory.

4 MR. DUPONT: That's what makes it a  
5 question.

6 MR. SCHULZE: In that area, you need a  
7 qualified crew to operate PTC post-mandate.

8 MR. DUPONT: Okay. That's going to be a  
9 task.

10 MR. FACKLAM: Let me follow up with a  
11 question. Steve Facklam, BLET safety task force. What  
12 does the training for the engineer and conductor  
13 consist of, and roughly how long of a training is it  
14 for PTC qualified?

15 Just, the conductors are only qualified  
16 conventionally and the engineer is qualified  
17 conventionally. They just need the PTC bit to be  
18 qualified on a, to operate PTC.

19 MR. SCHULZE: Yes.

20 MR. FACKLAM: What is that training and how  
21 long does it consist of, just to maybe help you out?

22 MR. SCHULZE: Yes. The conductor training  
23 for PTC is a two hour classroom interactive training  
24 program.

25 The engineer would have that same two hours,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and then an additional two hours of simulator-type  
2 training so that the engineer would be familiar with  
3 the operation of the system through simulation, which  
4 is a very effective type of training that we utilize  
5 extensively on the BNSF.

6 MR. JESKE: Erich Jeske, BLET safety task  
7 force. I just have a question about the  
8 implementation. So we've heard that June 20th you  
9 received that last update. Has that changed the  
10 implementation date or advanced the validation and  
11 verification of the system in light of the events that  
12 have brought us all here to Texas today?

13 Will the system, now that that software is  
14 in hand, is there a plan in place to speed up  
15 implementation to fill this gap between the two  
16 subdivisions that do have it, or what's the outlook on  
17 that?

18 MR. SCHULZE: Our plan right now is to  
19 implement as we, as we had planned. To utilize our  
20 resources where they are currently deployed and keep  
21 with our existing schedule.

22 MR. JESKE: Okay.

23 MR. MARSHALL: Rafael Marshall with the  
24 NTSB. Do you keep data on how PTC has affected the  
25 number of adverse events that you've had, before and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 after the implementation of PTC in certain  
2 subdivisions? And also, in adjoining subdivision that  
3 may not have PTC?

4 MR. SCHULZE: We keep, we keep any data that  
5 we are mandated to through regulation or any other FRA  
6 purposes.

7 I'm not aware of any studies that have been  
8 done as of late, if we were looking at engineer de-  
9 certifications or any of that type of information, PTC  
10 versus non-PTC.

11 The system is relatively new, having only  
12 been in place for the last, less than a year really  
13 from any extensive implementation. And so we're still  
14 working through a lot of that.

15 MR. SAUNDERS: Kamron Saunders. We've  
16 talked a lot about the initial, or the implementation  
17 of PTC on different subdivisions, and then we started  
18 talking about, I guess when we have locomotives that  
19 aren't retrofitted or whatever need, whatever they need  
20 to handle it, what's the outlook on, you know, having  
21 every locomotive prepared, or every consist, but making  
22 sure that that leader is good to go.

23 MR. SCHULZE: We're still working towards  
24 the mandate to ensure that we have every train that's  
25 mandated to be PTC-equipped, PTC-equipped by the firm

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 implementation date.

2 As of today, we have about 4,300 locomotives  
3 PTC-equipped, PTC commissioned, out of a fleet of 6,500  
4 or so. It's, the active fleet is less than that due to  
5 business climate, business volumes.

6 Of those 4,300, there, some of them could be  
7 offline, used foreign, the UP might be still, I mean,  
8 using them.

9 Just, some of them might have a defect that  
10 doesn't allow it to be, you know, lead enabled. Some  
11 of them might have PTC defect because of all of the  
12 complexities.

13 Some of them might not have, you know,  
14 everything that's needed to be run with PTC and so  
15 we're looking to close that gap as we, those gaps as we  
16 can, as we move forward.

17 But, and then to your point, there might be  
18 a PTC-equipped locomotive that's not in the lead that  
19 we could maybe move up, and so we've got active, active  
20 management practices in place that, you know, tries to  
21 move that power to the lead where we can.

22 And so there's a big program to make sure  
23 that where we have PTC-equipped locomotives, that we  
24 are utilizing them.

25 MR. SAUNDERS: Okay. So I guess, so is

1 there actually any kind of policy or anything to that,  
2 you know, I look at, just say, and I'm very unfamiliar.

3 I'm assuming they, a train, like one of  
4 these two in this accident, would've run, the westbound  
5 would've run the Emporia to the Panhandle to the  
6 Hereford.

7 So, you know, where you were PTC, and I  
8 think, I think one of the trains wasn't equipped with  
9 Trip Optimizer, not that this is a thing, but there was  
10 another unit that was.

11 So I, you know, is that a, I look at it as,  
12 a crew brings a train. They get on it at 6:00 p.m.  
13 The air conditioner doesn't work, they didn't worry  
14 about it because it was going to be night, but they  
15 didn't think about, you know, the next day, or you  
16 know, who they were going to hand it off to.

17 So things in that, where you know, a crew,  
18 and you know, I guess the train would've been made up  
19 or whatever on the Panhandle sub, didn't need PTC, so  
20 they didn't worry about making sure we had a PTC-  
21 equipped locomotive on the head end. But now it gets  
22 to Amarillo to go beyond, and now we are PTC-equipped.

23 So are there, is there anything out there  
24 that, you know, makes sure that they're trying to get a  
25 PTC-equipped locomotive on the head end?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MR. SCHULZE: We definitely make efforts to  
2 ensure when a train is operated on PTC-equipped  
3 territory that we would have a PTC functional  
4 locomotive in the, in the lead. And we watch that, we  
5 track it.

6           These two locomotives were operating in PTC  
7 mode on other territories prior to entering the  
8 Panhandle sub. They had PTC-equipped locomotives.

9           MR. SAUNDERS: Okay. All right. Thank you.

10          MR. DUPONT: One last question. So you got  
11 PTC on both sides of the Panhandle, right? Can you  
12 give us a, and you may not have it with you, but I'd  
13 like that at a later time, give us how many  
14 interactions and PTC that those two subdivisions  
15 would've took over the train.

16          Because I'm assuming, and I went through  
17 somewhat training on the UP, and the way the UP was  
18 doing it is any time that the PTC overrode the train,  
19 putting it in emergency, that aspect, that report was  
20 generated to someone like Aaron's group where they  
21 would get with the road foreman or the MoP, and they  
22 would have a consultation with engineer and try to  
23 figure out what happened.

24          So I'm assuming, and I would think for sure  
25 that you're tracking that because you want to know how

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 many interactions you're having between the system  
2 overriding the crew.

3 MR. SCHULZE: We are aware of every braking  
4 enforcement on a PTC-equipped train.

5 MR. DUPONT: Okay. Can I get a copy, not a  
6 copy but a number on each subdivision on the side of  
7 the Panhandle?

8 MR. SCHULZE: Okay. I'm, what's your, on,  
9 for these specific trains, or for --

10 MR. DUPONT: No, no, no. Just any train.  
11 Any train on the two subdivision on the side of the  
12 Panhandle where PTC did an override.

13 MR. SCHULZE: At any time, any day?

14 MR. DUPONT: Any time, any day. What's the  
15 number.

16 MR. SCHULZE: Okay. And what, how would we  
17 use that? I'm just curious more than anything.

18 MR. DUPONT: I'm just trying to get an  
19 understanding in this division.

20 MR. SCHULZE: Yes.

21 MR. DUPONT: You know? What is the override  
22 percentage. What, you know, what does it look like?

23 MR. SCHULZE: How many braking events?

24 MR. DUPONT: Yes.

25 MR. DACHNIWSKY: In a certain time period,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 or --

2 MR. DUPONT: They can go back the last six  
3 months.

4 MR. SCHULZE: Last six months. Okay.

5 MR. DUPONT: Yes. Just a, just a ballpark  
6 analysis for me.

7 MR. SCHULZE: Okay. Okay. We have, we have  
8 --

9 MR. DACHNIWSKY: I'm trying to think when we  
10 turned the Emporia and Hereford on, I don't that we'll  
11 have six months, but --

12 MR. SCHULZE: We'll have six on the  
13 Hereford.

14 MR. DUPONT: Well give me --

15 MR. SCHULZE: We'll have six --

16 MR. DUPONT: Just give me what you've got.

17 MR. SCHULZE: Yes. Yes.

18 MR. DUPONT: It's just a, analyze  
19 everything.

20 MR. SCHULZE: Yes.

21 MR. DUPONT: Just to look.

22 MR. SCHULZE: Yes. Yes.

23 MR. DUPONT: For no particular reason.

24 MR. SCHULZE: We'll just have to be careful  
25 how we use that. I'm not sure how, again --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. DUPONT: Right. Right.

2 MR. SCHULZE: -- how we would use the number  
3 of braking events.

4 MR. DUPONT: It not going to be used. It's  
5 to just be looked at.

6 MR. SCHULZE: Yes. Yes.

7 MR. DUPONT: In this area.

8 MR. SCHULZE: Okay.

9 MR. DUPONT: It doesn't apply to Panhandle.  
10 So, I mean --

11 MR. SCHULZE: No, yes. Yes.

12 MR. DUPONT: It's not going to amount to  
13 anything.

14 MR. SCHULZE: Yes.

15 MR. DUPONT: But it just gives an idea.

16 MR. TORRES: I guess, Tomas Torres with the  
17 NTSB. I guess what Steve's asking is trying to see how  
18 effective it is. How many times did it stop a train,  
19 you know?

20 MR. SCHULZE: I don't know if you would, I  
21 don't know if you would consider that to be effective  
22 though. I think the question, the better question was,  
23 has it ever not done what it's supposed to.

24 MR. TORRES: And that's what he's saying.

25 Did it, did it ever stop a train where the --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. SCHULZE: Oh.

2 MR. DUPONT: You're saying the opposite of  
3 what I'm saying. Yes. You're saying, had it not ever  
4 stopped? I would want to know --

5 MR. SCHULZE: Yes. Yes.

6 MR. DUPONT: -- how many did it stop?

7 MR. SCHULZE: Okay.

8 MR. DUPONT: How many did it do an override  
9 on?

10 MR. SCHULZE: Okay.

11 MR. TORRES: And that's what he's asking.

12 MR. SCHULZE: Yes. And my question though  
13 is, I just don't know how or why. It's, yes. It's --

14 MR. TORRES: Yes, he wants to know why  
15 you're asking that.

16 MR. SCHULZE: Oh, no, no, no. We, no, no,  
17 no.

18 MR. DUPONT: Yes, we already, we discussed  
19 that. I was just, it was just an overview of PTC on  
20 this division to see how much interaction's taking  
21 place.

22 MR. SCHULZE: Yes. And when I get that to  
23 you, I'd like to have a conversation with you and just  
24 --

25 MR. DUPONT: Absolutely.



1 MR. SCHULZE: -- to really talk through it.

2 I mean, it --

3 MR. DUPONT: Right.

4 MR. SCHULZE: The details are --

5 MR. DUPONT: Right.

6 MR. SCHULZE: Yes. I don't know what it's  
7 going to show or what it's --

8 MR. DUPONT: Right.

9 MR. SCHULZE: But we can talk about how  
10 we've remediated any defects that might be, or whatever  
11 it might be. So --

12 MR. DUPONT: Okay.

13 MR. FACKLAM: Steve, that's the Panhandle  
14 and Hereford?

15 MR. SCHULZE: No. Emporia. Emporia.

16 MR. DUPONT: Well, not Panhandle. The two  
17 Emporia sides.

18 MR. FACKLAM: I'm sorry. Sorry. The  
19 Emporia. My bad. Emporia, Hereford.

20 MR. TORRES: Anybody have any questions?

21 MR. SAUNDERS: No.

22 MR. TORRES: I don't have any. Thank you  
23 for the information --

24 MR. SCHULZE: Thank you.

25 MR. TORRES: -- and answering our questions.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Appreciate it.

2 MR. SCHULZE: Appreciate the opportunity.

3 MR. TORRES: Thank you.

4 MR. SCHULZE: Thanks.

5 MR. TORRES: (Inaudible), nobody asked me  
6 any questions. Oh, oh, what are you?

7 MR. SCHULZE: Wait a minute.

8 MR. TORRES: Are you crew management?

9 MR. SCHULZE: He's next.

10 MR. TORRES: Okay.

11 MR. FACKLAM: Good for you.

12 MR. TORRES: You all know that.

13 MR. FACKLAM: Thank you.

14 MR. SCHULZE: Great questions too. Thanks,  
15 I appreciate it. Yes, I appreciate that.

16 MR. FACKLAM: It was, I appreciate the --

17 (Whereupon, the above-entitled matter went  
18 off the record at an undisclosed time.)

19

20

21

22

23

24


25

C E R T I F I C A T E

MATTER: Head-on Collision that Occurred  
Near Panhandle, TX on June 28, 2016  
Accident No. DCA16FR008  
Interview: Mark Schulze and Orest Dachniwsky

DATE: July 1, 2016

I hereby certify that the attached transcription of page 1 to 67 inclusive are to the best of my professional ability a true, accurate, and complete record of the above referenced proceedings as contained on the provided audio recording; further that I am neither counsel for, nor related to, nor employed by any of the parties to this action in which this proceeding has taken place; and further that I am not financially nor otherwise interested in the outcome of the action.



**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701