

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

\* \* \* \* \*

Investigation of:

\*  
\*  
\*  
\*  
\*  
\*

CONRAIL DERAILMENT/HAZARDOUS  
MATERIAL RELEASE  
PAULSBORO, NEW JERSEY  
NOVEMBER 30, 2012

Docket No.: DCA-13-MR-002

\* \* \* \* \*

Interview of: DAVID OHR

Paulsboro, New Jersey

Tuesday,  
December 4, 2012

The above-captioned matter convened, pursuant to notice.

BEFORE: TIMOTHY DEPAEPE  
Accident Investigator

## APPEARANCES:

TIMOTHY DEPAEPE, Accident Investigator  
Signal Group Chairman  
National Transportation Safety Board  
Office of Railroad, Pipeline and Hazardous Materials  
DuPage Airport  
31 West 775 North Avenue  
[REDACTED], Illinois 60185

CYRIL GURA, Accident Investigator  
Safety Engineer  
National Transportation Safety Board  
Office of Railroad, Pipeline and Hazardous Materials  
DuPage Airport  
31 West 775 North Avenue  
West Chicago, Illinois 60185

THOMAS NOON, Signal and Train Control Inspector  
Federal Railroad Administration

DAVID KILLINGBECK, Chief Engineer Structures  
Federal Railroad Administration

THOMAS BILSON, Assistant Chief Engineer  
Maintenance of Way and Structures  
Conrail

DOUG TRACY, Assistant Chief Engineer  
Communications and Signals  
Conrail

<u>ITEM</u>	<u>I N D E X</u>	<u>PAGE</u>
Interview of David Ohr:		
By Mr. DePaepe		5
By Mr. Gura		13
By Mr. Bilson		16
By Mr. Noon		17
By Mr. Killingbeck		23
By Mr. DePaepe		28
By Mr. Gura		29
By Mr. Bilson		32
By Mr. Noon		33
By Mr. Killingbeck		35
By Mr. Gura		38
By Mr. Noon		39

I N T E R V I E W

(11:15 a.m.)

1  
2  
3 MR. DEPAEPE: Good morning. It is 11:15 a.m. on  
4 December 4th, 2012. My name is Tim DePaepe; last name  
5 D-e-P-a-e-p-e. I'm with the National Transportation Safety Board.

6 We're going to go around the table real quickly.  
7 Everyone's going to introduce themselves, spell their last name,  
8 and say what organization they're with.

9 MR. GURA: Cy, C-y, Gura, G-u-r-a, Safety Engineer,  
10 NTSB.

11 MR. BILSON: Thomas Bilson, T-h-o-m-a-s, B-i-l-s-o-n,  
12 Conrail, Assistant Chief Engineer, Maintenance-of-Way and  
13 Structures.

14 MR. NOON: Thomas Noon, T-h-o-m-a-s, N-o-o-n, FRA,  
15 Signal and Train Control Inspector.

16 MR. TRACY: Doug Tracy, D-o-u-g, T-r-a-c-y, Assistant  
17 Chief Engineer, C&S, Conrail.

18 MR. OHR: David Ohr, D-a-v-i-d, O-h-r, C&S Supervisor,  
19 Conrail.

20 MR. KILLINGBECK: David Killingbeck, D-a-v-i-d,  
21 K-i-l-l-i-n-g-b-e-c-k, Chief Engineer of Structures, Federal  
22 Railroad Administration.

23 MR. DEPAEPE: Again, this is Tim DePaepe. We're here  
24 today to discuss the Paulson [sic] movable bridge derailment and  
25 hazardous material release that occurred on November 30th, 2012,

1 designated as DCA-13-MR-002, and we're going to be talking  
2 specifically about signal -- or bridge trouble tickets and any  
3 knowledge that Mr. Ohr may have about any of those trouble tickets  
4 that happened on the days that we're going to talk about.

5 INTERVIEW OF DAVID OHR

6 BY MR. DEPAEPE:

7 Q. Mr. Ohr, on page 2 of 362528, incident number, the  
8 problem says the bridge will not lock. There is a repair, removed  
9 debris from the seat and gears. Under the notes it says, "Per  
10 Supervisor Ohr, the maintainers removed the debris from the seat  
11 and also removed debris from the gears which control the seat."

12 Can you tell me what your knowledge is of that  
13 particular event, you know, when you got called, who you may have  
14 dispatched out, or if you just took the follow-up information?  
15 Can you describe in your own words basically what happened in  
16 relation to that particular event?

17 A. That event would be from debris getting pushed into the  
18 bridge seats and the lift gear for the span. It was myself and  
19 Mr. Gary Golden were on site. On this particular event, there was  
20 debris lodged into the lift's gear, which was blowing a cutout,  
21 and we lost our power to the gear and it had to be removed, and  
22 reset the cutout to operate the bridge, caused by a high tide.

23 Q. I was going to ask what type of debris are we talking  
24 about? I mean, is --

25 A. Tree branches, river debris.

1 Q. I'm going to step back one second because I wanted to  
2 ask you something prior to the questioning and that's basically  
3 how long have you worked for Conrail and can you just describe  
4 your -- the positions you've held up to the current date?

5 A. I started Conrail 2002 as a maintainer in the C&S  
6 department. 2008, applied for a management position in the Bridge  
7 and Building Department. I worked that position until September  
8 of this year, 2012, moved over to the C&S Department as Supervisor  
9 of Construction, C&S.

10 Q. Thank you, sir. Going back to that, in the first  
11 incident we were talking about, is this type of problem -- is this  
12 a common problem with this particular bridge that there's debris  
13 and sometimes holding up operation?

14 A. It can be common. We had this situation with Hurricane  
15 Irene a lot. All the debris was coming downriver into the bridge  
16 and there has been quite a few times where there has been debris  
17 either in the seats, but not so much in the gear.

18 Q. Okay. I'd like to move to another event designated as  
19 62619. The problem was bridge will not open. It says, "Adjust  
20 prox detector, cause under investigation." In the notes, it says,  
21 "Informed by Supervisor Ohr, Inspector Greiner found the north  
22 side rail pumping under train moves causing the prox detector to  
23 break contact. Inspect adjusted prox switch on the north side of  
24 the bridge and test it."

25 Can you tell me what transpired with this particular

1 event?

2 A. We were -- we got a call from the trouble desk about the  
3 bridge not opening.

4 Q. Dave, could you speak up louder just a little bit?

5 A. I got informed by the trouble desk they had a issue with  
6 the bridge where I spent -- or I sent Inspector Greiner down, and  
7 this is what he observed and adjusted the prox switch. Other than  
8 that, I have no other information on that.

9 Q. When it says, "north side rail pumping under train,"  
10 would that be a rail on the bridge that was pumping?

11 A. It would -- in this case he'd probably be talking about  
12 the miter shoe, or miter rail.

13 Q. Can you explain to me what a miter rail is?

14 A. A miter rail would be coming from the fixed span of the  
15 bridge to the movable span of the bridge where the two spans are  
16 connected by the rail.

17 Q. How would he know that it was pumping under the train if  
18 he wasn't there when the train move took place?

19 A. He would have to be there for a train move to --

20 Q. Okay. It's not something that after a train goes by  
21 that you'd be able to --

22 A. No.

23 Q. -- determine?

24 A. No, it would be definitely under a load.

25 Q. Under a load. Under the movement of a train. Since you

1 weren't there, I'm not going to go into more detail for that, but  
2 I want you to explain, you know, it says "prox detector." What  
3 does -- what is a prox detector? Is that the proper name for it?

4 A. A proximity detector is a sensor that will indicate  
5 position of metal as per like a rider rail. And when the rider  
6 rail rides into the shoe on the miter rail, miter shoe, it will  
7 indicate the position of the rail.

8 Q. Okay. I've heard it also called a slide rail, is that  
9 the correct term for it, that slides in?

10 A. Yeah, I've heard that term also. I always refer to it  
11 as a rider rail.

12 (Off the record.)

13 (On the record.)

14 MR. DEPAEPE: All right, we're back on the record. This  
15 is Tim DePaepe talking to Mr. David Ohr.

16 Getting back to the 62644 event, it says that "Found the  
17 north side rail pumping under train moves causing the proximity  
18 detector to break contact. Inspect and adjusted proximity switch  
19 on the north side of the bridge and tested."

20 UNIDENTIFIED SPEAKER: Are you on 44?

21 UNIDENTIFIED SPEAKER: You said a different number.

22 MR. DEPAEPE: Did I?

23 UNIDENTIFIED SPEAKER: Yes. We were talking 62619.

24 BY MR. DEPAEPE:

25 Q. I want to be on 62619, my apologies. That's the one we

1 were talking about before we took a break. It said he adjusted  
2 the prox switch on the north side of the bridge and tested. Do  
3 you know if anybody from the track department determined why the  
4 rail was pumping? I know adjustments can be made to devices, but  
5 wouldn't you have to first repair the rail from pumping, then  
6 adjust the prox switch?

7 A. Correct. I'm not sure if the track department went out  
8 for an issue with the rail pumping.

9 Q. Okay. To your knowledge, a maintainer wouldn't just  
10 adjust the prox switch to clear the problem without getting  
11 someone to repair the cause?

12 A. Correct.

13 Q. Okay. As you said, you were not actually there at the  
14 time. I believe that answers all the questions I have on that  
15 particular incident.

16 Now I'd like to move to 62644. This was a bridge will  
17 not open problem. The repair was, clear error code in control  
18 panel; cause is under investigation. Under the notes, it states  
19 that the crew reported to dispatcher bridge announced failure to  
20 operate, informed Supervisor Ohr. Per -- Specialist Fitting will  
21 handle.

22 Can you explain what this means to me and what happened  
23 with this particular event?

24 A. Received the call from the trouble desk stating that the  
25 train crew reported after a move that the bridge failed to operate

1 or open after the move. I had a specialist in the area. I sent  
2 him down to investigate and he cleared the code, tested the  
3 bridge, and it was working as intended afterwards.

4 Q. If that error code that he cleared -- what is that error  
5 code for? Is that part of the signal circuits or is that part of  
6 the bridge circuits?

7 A. It would be part of the bridge circuit.

8 Q. And with that error code in place or displayed, do you  
9 have to clear that code in order to get the bridge to operate  
10 again?

11 A. On most codes, yes, you do. It's a failure to operate  
12 code. You do need to reset the code and take control on the B&B  
13 control panel to operate the bridge.

14 Q. While that cleared the problem -- or cleared the reason  
15 why the bridge wasn't opening at that time because of the  
16 existence of the error code, would the specialist do any  
17 investigation as to why that code was present?

18 A. Yeah, he would look at things on our side, prox  
19 switches, anything that he can see physically.

20 Q. Okay. So it's not just a matter of clearing the code  
21 and walking away, you'd want to try and discover why that code  
22 manifested itself?

23 A. Correct.

24 Q. Okay. Can you explain proximity switches to me a little  
25 bit, what your knowledge of their design and function is?

1 A. On this particular bridge or are you --

2 Q. On this particular bridge.

3 A. On this particular bridge, you have a north and south  
4 side of the bridge. Each slide bar lock will drive into the miter  
5 seat and -- it'll be prox switch 1 and 2, say, on the north side  
6 and 3 and 4 on the south end. And when the lock is driven, those  
7 proximity switches will indicate the lock is driven there. And 1  
8 and 2 has to come in and 3 and 4 has to come in in order to pick  
9 the relay and indicate that the bridge is locked, and then  
10 displays a good signal.

11 Q. Okay. I'm going to shift to the day of the accident  
12 now, November 30, 2012. Have you had an opportunity to look at  
13 any of the downloaded signal information for that day?

14 A. No, I have not.

15 Q. Okay, thank you. Can you tell me how that signal  
16 circuit is designed to clear a signal? In basic terms, what needs  
17 to happen for that signal to clear?

18 A. In order to initiate the signal or --

19 Q. The way the circuit is designed, what has to happen for  
20 that signal to clear?

21 A. For that signal to clear, obviously, the train will  
22 approach, drop the track circuit down, key in the bridge. The  
23 bridge will then swing. The bridge will then, once it's in the  
24 line position, will seat. Once it's seated, then the locks will  
25 drive, the prox switch on the north and south end of the bridge

1 will indicate, come back, pick a relay, give you a green signal --

2 Q. All right --

3 A. -- if all prox switches come in. The train crew will  
4 then proceed across the bridge with a good signal. The track  
5 service will pick up. Once he clears the last circuit, then the  
6 bridge will initiate opening, the rails will retract, the bridge  
7 will lift back up and open.

8 Q. Thank you very much. That was a very good description  
9 of the operation. If -- you said the proximity detectors, there's  
10 1 and 2 on the south end and 3 and 4 on the north end and each  
11 rail has its own proximity detector. If one fails on one end, the  
12 corresponding relay will drop; is that correct?

13 A. No, actually the relay -- yes, it won't even pick. So  
14 you won't -- you will not get a green signal.

15 Q. Okay. If either the north or south end proximity  
16 detector relay is down, the way the circuit is designed, would the  
17 signal clear?

18 A. No, you will not get a signal.

19 Q. One or -- it doesn't matter if they're both down or just  
20 one is down, in that case the signal will not clear; is that  
21 correct?

22 A. Correct.

23 Q. Okay. Those are the only questions I have for you at  
24 this time. I'm going to allow everyone at the table here to ask  
25 you any questions. Then we may do another round for rebuttal and

1 that's how we're going to proceed.

2 MR. DEPAEPE: Mr. Gura, any questions for Mr. Ohr?

3 BY MR. GURA:

4 Q. I have a couple. First name Cy, C-y, last name Gura,  
5 G-u-r-a. I got an e-mail that you sent that talked about codes  
6 and failure codes. It basically says, "I arrived on the  
7 derailment site at Paulsboro movable bridge. I was instructed by  
8 Jerry Kaminski to shut off commercial power that was being  
9 supplied to the bridge and to all C&S locations. I recorded the  
10 DTC from the main B&B controller point."

11 What's DTC mean? And then I'll read off the codes and  
12 you can tell me if those are like recent codes or what kind of  
13 codes are they?

14 A. DTC is a diagnostic trouble code.

15 Q. Okay. And the DTC diagnostic trouble code then refers  
16 to these codes?

17 A. Yes.

18 Q. And this is located on the programmable logic  
19 controller?

20 A. This is a main control point located at the bridge,  
21 which is the PLCs.

22 Q. Okay, the PLCs. Okay. And you said it's the B&B, so  
23 normal -- this is B&B information not C&S information?

24 A. Yes.

25 Q. Okay. Now it says code 45, you know. I'll read them

1 off. "Code 45, hydraulic tank low-low level, level trip." And  
2 then it says, "Code 78, bridge failed to open." "Code 79, bridge  
3 failed to close." And then it says, "Code 5, local lockout  
4 hydraulic pump motor." And then it says, "Cade" instead of Code.

5 A. Oh.

6 Q. This is C-a-d-e, unless it was just a spelling error on  
7 your part. Then it says, "Code 10, limit switch fault creep  
8 101S3A," and then "Code 11, limit switch fault creep 101S3B." And  
9 then "Code 19, position switch fault ST link/7LS1A/B," and then  
10 "Code 44, hydraulic tank low oil level." Now, I read them all  
11 off, but is this just for one day or is this an accumulation of  
12 codes since the last time they were erased?

13 A. This would be from the one day that was there because --  
14 like I have no knowledge of anybody erasing the codes prior to  
15 that. This is what I observed when I was -- came on site. So I  
16 would say it would just be from that day.

17 Q. It would be just from that day. Now I'm going to go  
18 through each code and maybe you could just explain them to me and  
19 I'll go across them individually. Code 45, hydraulic tank low-low  
20 oil level trip. What does that mean?

21 A. Basically what there is in that hydraulic unit, there's  
22 a float switch. Why that code is on there, I am not sure, but I  
23 do know it's reading off of a float switch inside the tank.

24 Q. Inside the tank that drives the hydraulic ram that opens  
25 and closes the bridge?

1 A. Correct.

2 Q. Okay. And then Code 78, fail to open, is that self-  
3 explanatory; that just means the bridge did not open after the  
4 previous train?

5 A. Yes.

6 Q. And then Code 79, bridge failed to close?

7 A. I would -- my opinion, I would say that happened when  
8 the train crew keyed the bridge up.

9 Q. The accident train crew?

10 A. Yes.

11 Q. Okay. And then Code 5, local lockout hydraulic pump  
12 motor?

13 A. I'm not sure about that code, to be honest with you.

14 Q. Okay. Could any of these codes occurred after the  
15 derailment when --

16 A. Yes.

17 Q. They could have occurred after the derailment. So when  
18 we're talking about the limit switch fault creep, is that a limit  
19 switch in the bridge where it's swinging?

20 A. Yes, it is.

21 Q. Okay. And the same thing with the other limit switch?

22 A. Yes.

23 Q. It says, "Limit switch fault creep." It has a different  
24 number, 101S3B?

25 A. And the other one is 101S3A?

1 Q. Yes.

2 A. Yeah, it's a redundant system.

3 Q. They're redundant systems?

4 A. (No audible response.)

5 Q. Okay. And then the 19, Code 19, position switch fault  
6 ST link, 7LS1A/B?

7 A. That would be the south track link or slide lock. It  
8 would be that circuit.

9 Q. It would be the slide lock circuit?

10 A. (No audible response.)

11 Q. Okay. And then again we have Code 44, hydraulic tank  
12 low oil level.

13 MR. GURA: Okay. I'm going to pass it over. I had  
14 another question, but it escaped my mind.

15 MR. DEPAEPE: All right, Mr. Bilson?

16 MR. BILSON: Tom Bilson, Thomas Bilson, T-h-o-m-a-s,  
17 B-i-l-s-o-n.

18 BY MR. BILSON:

19 Q. Dave, those error codes, do they appear in order or  
20 they just kind of mix in and flash up? I'm not aware.

21 A. To my knowledge, they appear in order.

22 Q. Okay. And they could have been caused, like the loss of  
23 oil in the tank would say --

24 A. Correct.

25 Q. Going back to the incidents we spoke about earlier,

1 62644, when they say, "under investigation," is that still under  
2 investigation or has that been closed out; do you know?

3 A. I'm not -- I don't believe that ticket is still open.

4 Q. Yeah. So when Mr. Fitting goes out, he checks all the  
5 rail links to make sure all the locks are working and puts it back  
6 in -- how does he do that? Does he put that in -- does -- he just  
7 puts that -- does he work that from the remote, goes to local  
8 control?

9 A. He would go to local control to check the links, to  
10 drive them, and then I have my guys test it also in remote before  
11 they leave to ensure that's working also.

12 Q. Okay. I think that's all I have.

13 MR. DEPAEPE: Thank you. Mr. Noon?

14 BY MR. NOON:

15 Q. My name is Thomas Noon, T-h-o-m-a-s, Noon, N-o-o-n.  
16 Yeah, I have a few questions. Failure to open, does that mean  
17 that it didn't move at all or did it -- could it be halfway?  
18 Could it be open, but not locked? Does failure to open mean there  
19 was no --

20 MR. DEPAEPE: We're going to go off the --

21 (Off the record.)

22 (On the record.)

23 MR. DEPAEPE: It's 11:42 a.m., we're back on the record.

24 Mr. Thomas Noon of the FRA is questioning Mr. David Ohr.

25 Go ahead, Tom.

1 BY MR. NOON:

2 Q. The question was failure to operate. When you go out  
3 there, do you -- can the bridge be in any position other than not  
4 locked? Could it be half opened, half closed?

5 A. I've -- I don't mean --

6 Q. So --

7 A. I'm sorry.

8 Q. Go ahead, go ahead, answer.

9 A. I had never seen -- besides debris being in the bridge  
10 for the full move, I mean, I have seen that where -- so, like the  
11 best answer to your question is yes.

12 Q. It could be --

13 A. If it doesn't complete the whole move, it will time out  
14 and you'll get the code.

15 Q. Okay. So, theoretically, the bridge can attempt to open  
16 and move a few inches and then it would fail --

17 A. Yes.

18 Q. -- and the message would come out? Okay. So it could  
19 be in any position --

20 A. On the --

21 Q. Okay. That's one of the questions I wanted to ask.

22 So the announcement just says bridge failure; the code  
23 says open or closed?

24 A. Correct.

25 Q. Okay. When you go to the site and the bridge has got a

1 problem and you read the code, do you clear the code and then fix  
2 the problem or do you fix the problem and then clear the code?

3 A. You need to clear the code, then fix the problem.

4 Q. Okay.

5 A. Because you will not have control of the bridge with the  
6 error codes in place.

7 Q. Okay, that's what I wanted to know. But once you  
8 correct the problem, you don't have to do anything else --

9 A. No.

10 Q. -- with the code as far as -- because once you eliminate  
11 the code, you're on your own?

12 A. Yes.

13 Q. You have control of the bridge and you can do what you  
14 want?

15 A. Correct.

16 Q. Okay. Standard operating procedure is you correct the  
17 problem and --

18 A. Test the bridge.

19 Q. Okay.

20 A. Back in service.

21 Q. Okay. And then you report it back in service?

22 A. Yes.

23 Q. To the trouble desk or --

24 A. Trouble desk.

25 Q. And then what --

1 A. And the dispatcher.

2 Q. And the dispatcher. Does trouble desk gives it to the  
3 dispatcher or do you give it to the dispatcher?

4 A. I call both.

5 Q. Okay. All right. The debris that usually hangs up the  
6 bridge, is that usually on the pivot end, which would be in the  
7 south end, or the north end where --

8 A. It's possible to get debris in both. There has been  
9 times where the debris was on the ring gear in the pony wheels.  
10 You get logs floating in there. There's also been times where you  
11 have debris on the bridge seat side.

12 Q. Has debris ever -- has the bridge ever climbed on top of  
13 the debris to make the bridge uneven?

14 A. Well, yeah. That -- I mean, you -- there's possible  
15 that you have bridge -- debris on the bridge seats --

16 Q. Um-hum.

17 A. -- the bridge span, right up on it.

18 Q. Um-hum.

19 A. At that point the bridge won't lower and it will blow  
20 the kickout -- the cutout for it, the bridge seat circuit. So,  
21 yes, I mean, that is possible.

22 Q. And the limit switch would catch that first?

23 A. Correct.

24 Q. Okay. Have you ever come across a situation where the  
25 slide rails were not driven because the bridge wasn't aligned?

1 A. Not aligned?

2 Q. Not aligned. I mean, it went to drive, but it hit the  
3 abutment. Have you ever come across that situation?

4 A. The abutment or the --

5 Q. Or anything?

6 A. Or the shoe? No, it --

7 Q. Or the shoe, yes. Did not fit into the shoe?

8 A. No.

9 Q. All right, okay. There was one other question I wanted  
10 to -- can the slide rails -- they work in tandem on each side so  
11 that they both go like this, or both operate. Have you ever come  
12 across a situation where only one drove and the other one did not?  
13 Is that physically possible?

14 A. Unless there's physical damage to a common rod that --  
15 or a, you know, a linkage coming off the motor, that would be the  
16 only way I could see that happening.

17 Q. Okay.

18 A. If something's actually physically broken.

19 Q. Okay. Right, that's -- but something that could happen,  
20 but you've never seen it?

21 A. I've had one incident where on the north end, one rod  
22 did break years ago and was repaired, but did not -- I mean, it  
23 did drove to a point. It was an issue, but it wasn't --

24 Q. But the proximity detector detected that it was fouling?

25 A. I'm unsure of that. I do know that the arm was broken,

1 but --

2 Q. Okay. All right.

3 A. -- I don't recall if it was indicated on the prox  
4 switch.

5 Q. When they say you make an adjustment to the prox switch,  
6 you're talking about the prox switch having threads on both sides  
7 and locknuts on both sides? Your adjustment is you untighten that  
8 and you adjust it to the spacing, the air gap or whatever the  
9 thing is, because it had become loose? Is that the general --

10 A. On the south end, the bracket is a piece of angle iron,  
11 which is mounted to the rail and sits in a hole in the rail. On  
12 the other end, there is adjustable brackets in and horizontal and  
13 vertically adjustments.

14 Q. All right. Okay. Now, have you been out -- I wanted to  
15 ask a question --

16 (Off the record.)

17 (On the record.)

18 MR. DEPAEPE: All right, it's 11:51. This is Tim  
19 DePaepe. We're back on the record. Mr. Noon is questioning  
20 Mr. Ohr. Go ahead, sir.

21 BY MR. NOON:

22 Q. One of the log events that -- we have mentioned pumping  
23 and that was a visual call by the maintainer. He saw the -- so  
24 the bridge was -- what I'm asking you is did the whole mechanism  
25 jump up and down or just the slide rail or just one part? And

1 that caused the adjustment to be made on the proximity detector?  
2 Do you remember that? I mean, I don't remember if you were there  
3 or not at the time.

4 A. I wasn't there on site for that.

5 Q. Um-hum.

6 A. But I think that was just a general observation of the  
7 move over the miter.

8 Q. Does -- on the calls that you were on or present or to  
9 your acknowledge, which side of the bridge gets more defects --

10 A. North.

11 Q. -- failures?

12 A. North side.

13 Q. The north side, okay. I think that's all I have.

14 MR. DEPAEPE: Mr. Tracy, do you have any questions for  
15 Mr. Ohr?

16 MR. TRACY: Not at this time.

17 MR. DEPAEPE: Mr. Killingbeck? Killingbeck.

18 MR. KILLINGBECK: Killingbeck. Yes, I do. This is  
19 David Killingbeck again, K-i-l-l-i-n-g-b-e-c-k.

20 BY MR. KILLINGBECK:

21 Q. I've got a list of questions here for you, Mr. Ohr.  
22 These DTC codes that Mr. Gura was reading off and you indicate  
23 have to be cleared from the screen on the PLC, is it procedure,  
24 policy, or habit to write those down in any kind of logbook?

25 A. We have a -- it's more habit. We have no recorder

1 module on that unit so it's hard to go back and troubleshoot. So  
2 what we've -- since we have the problems with the bridge, we've  
3 been making a list. But as far as a standard log, no.

4 Q. Okay, you've just said something about you have no  
5 recorder module in the PLC, correct?

6 A. Yes, correct.

7 Q. And this recorder module, if it was present, would that  
8 maintain an electronic log of events that had occurred and been  
9 cleared?

10 A. Yes.

11 Q. So your understanding is that there is no electronic  
12 record of former error codes buried deep down somewhere in this  
13 PLC?

14 A. To my knowledge, there is not.

15 Q. Okay, thank you. This list of DTC error codes that  
16 Mr. Gura listed off from an e-mail that he had received from you,  
17 are there any timestamps on those?

18 A. To my knowledge, no.

19 Q. Okay. You've indicated that if the bridge is trying to  
20 open or close and it fails to complete its operation, that it will  
21 time out. Do you have any knowledge as to how long that timeout  
22 period is?

23 A. Yes, I know it's only a few minutes, but I'm not sure of  
24 the exact time. This is to, one, to preserve the hydraulic unit  
25 on the bridge and in the case that there is a obstruction or

1 something, they don't do any further damage.

2 Q. Okay, thank you. The limit switches that are available  
3 for the operation of the swing span itself, there is -- from  
4 photographs I've seen, it appears that there are a pair of roller-  
5 type limits that detect when the bridge is swinging into its  
6 closed position; is that correct?

7 A. There's -- yes, there's -- first -- they don't indicate  
8 -- they may indicate creep speed, which slows the bridge down so  
9 it comes in at a slower speed.

10 Q. Okay.

11 A. And there's also, for the bridge close circuit, there's  
12 two proximity switches.

13 Q. That are separate from the creep switches?

14 A. Yes.

15 Q. And they indicate that the bridge has swung to its fully  
16 closed position for rail traffic?

17 A. Well, it's closed to the position before the bridge can  
18 actually seat on the seats, lower to the seats.

19 Q. Thank you. Is there, in addition to that, is there a  
20 seating limit switch?

21 A. There is a seating limit switch that runs off of the  
22 gear, which was in this trouble ticket here.

23 Q. And that's --

24 A. That's right here.

25 Q. -- you're referring to trouble ticket --

1 A. 59098, page 1.

2 Q. 59098, where you cleared debris. That limit switch is  
3 located back on -- you said at the gear, so it's on the common  
4 shaft that --

5 A. It's on this --

6 Q. -- that causes the north end of the bridge to lift or  
7 lower?

8 A. Yes.

9 Q. Okay. But it is not -- it's not physically detecting  
10 the seating of the bridge at the seat; it's inferring it by the  
11 position of --

12 A. The gear.

13 Q. -- the gear. Okay. One last question. On log item  
14 62619, in the notes, it says north side pumping, or that Inspector  
15 Greiner found the north side rail pumping under train. I've heard  
16 the term "pumping" used in signal circles to indicate a rail -- or  
17 not a rail, excuse me, a relay that was pumping under the passage  
18 of trains. Is there any way to ascertain whether this note means  
19 that the maintainer physically saw one of the rails or both of the  
20 running rails pumping at the north end of the bridge or was  
21 looking at the relay for the prox switches on the north end?

22 A. By reading this here, the notes?

23 Q. Yes.

24 A. I'm assuming that he was talking about the miter rail  
25 itself and not the relay. I don't think he would see the relay

1 pumping up and down from the prox switch under that piece of rail.

2 Q. Okay.

3 A. No, I'm saying on the rail here.

4 Q. Okay. If it had been -- if he had been at the cabinet  
5 or the bungalow, whatever happens to be there, while the train was  
6 passing, and the north end, one or both prox switches were opening  
7 and closing, would that bridge lock relay -- is that the proper  
8 term -- for the north end of the span, would it pump up and down  
9 or would it not move?

10 A. Not move.

11 Q. Because the circuit's occupied?

12 A. The track circuit?

13 Q. Yes.

14 A. No.

15 Q. Then is the swing span itself -- is there a track  
16 circuit that detects the presence of train -- of a train on the  
17 swing span or only on the approach?

18 A. There's four track circuits there. There's a -- is it  
19 a ring type? No, (indiscernible) circuit. There's a overlay  
20 there.

21 MR. DEPAEPE: This is Tim DePaepe with the NTSB. I'm  
22 going to interrupt this line of questioning for a second.

23 Mr. Ohr, this is a print of that circuit --

24 MR. OHR: That section.

25 MR. DEPAEPE: -- so I think after looking at it, you can

1 better answer the question. According to the print, it appears  
2 there's a approach circuit on each end and then a short circuit in  
3 front of the signal and then I believe it's a 56-foot dead section  
4 over the bridge itself. Would that be an accurate description of  
5 what that print is showing?

6 MR. OHR: Yes.

7 MR. DEPAEPE: Does that answer your question,  
8 Mr. Killingbeck?

9 MR. KILLINGBECK: Yes, it does. Thank you very much.

10 MR. DEPAEPE: Okay.

11 MR. KILLINGBECK: I have no further questions.

12 MR. DEPAEPE: All right, this is Tim DePaepe with the  
13 NTSB. I have just a follow-up question and I may have asked it  
14 already and I apologize if I did.

15 BY MR. DEPAEPE:

16 Q. You had stated earlier that you went out to the accident  
17 scene after the accident. Do you have any knowledge of anything  
18 leading up to any failures with that bridge of the day of the  
19 accident that you have not learned since then? I mean, did you  
20 have prior knowledge of any bridge failures there in the last 24  
21 hours?

22 A. Twenty-four hours, no.

23 Q. Okay.

24 A. I was unaware of any failures.

25 Q. So you were not privy to any information or bridge

1 failures or any conditions that may have existed at that bridge  
2 leading up to that accident?

3 A. We had -- I was out there one day where we did find the  
4 bridge lined but not locked, where I'd dispatched a -- I called  
5 the bridge and repairmen department to investigate. And other  
6 than that, that's the only knowledge that I had.

7 Q. Okay. Again, I don't remember if I asked this and I  
8 apologize. The prox switches, if they are out of position and  
9 they're down, can the signal there clear?

10 A. No.

11 Q. According to design, do both proximity detector relays  
12 have to be in the up position for the signal to clear?

13 A. Yes.

14 Q. If the signal does not clear and displays a red signal  
15 due to the proximity relays being down, is that how that circuit  
16 is designed? Is that the normal function of that design?

17 A. Yes.

18 Q. Thank you.

19 MR. DEPAEPE: I'm going to go around the table for any  
20 follow-up questions. Mr. Gura?

21 BY MR. GURA:

22 Q. Yes. A quick, couple few questions. Who is the  
23 maintainer that you sent out about the rail pumping? What was his  
24 name again?

25 A. It's the C&S Inspector Richard Greiner.

1 Q. Richard, spell the -- Greiner?

2 A. Yes.

3 Q. Okay.

4 A. It's G-r-e-i-n-e-r.

5 Q. Okay. And who is the B&B person you notified about the  
6 bridge lined but not locked?

7 A. That would be Ryan Hill.

8 Q. Ryan Hill. And you mentioned about the debris floating  
9 down. The name that you mentioned was Hurricane Irene. Did you  
10 mean Hurricane Sandy, the most recent one?

11 A. No, the -- this is previous. This was -- the date was  
12 12 -- or last year, last summer.

13 Q. Oh, last summer?

14 A. Yes.

15 Q. So it was Irene then. You were not --

16 A. No.

17 Q. -- referring to Hurricane Sandy, which was the most  
18 recent one?

19 A. That's correct.

20 Q. Okay. And then you mentioned a timeout, a timing out.  
21 Is that for the hydraulic pump or for the slide lock motors?

22 A. As far as?

23 Q. You mentioned that the timeout is to protect the  
24 hydraulic and I'm just wondering, is it a hydraulic pump that  
25 drives that cylinder --

1 A. Yes.

2 Q. -- or is there a timeout also for the drive motors for  
3 the slide locks?

4 A. I would say for the hydraulic.

5 Q. Okay. And you mentioned about the logbook for these  
6 fault codes. Who maintains the logbook?

7 A. They're really -- what it is, it's just a piece of -- a  
8 paper book, like notebook paper?

9 Q. Yeah.

10 A. And if there's an issue, you write it down and describe  
11 what happened. I mean, it's not per se a logbook.

12 Q. Yeah.

13 A. It's not a detailed description of, you know, 5 years of  
14 history there. It's just a random piece of paper, this is what we  
15 have, this is -- you know, so we can go back and check.

16 Q. Okay, where is that piece of paper located?

17 A. It should be in the shanty. In the operator's room.

18 Q. At the bridge?

19 A. Yes.

20 Q. And the bridge has a quarterly inspection where you had  
21 C&S, the B&B, and what have you. Did you participate in the last  
22 quarterly inspection?

23 A. No, I did not.

24 Q. That's all I have.

25 MR. DEPAEPE: Mr. Bilson?

1 BY MR. BILSON:

2 Q. Yes, Thomas Bilson. Just a follow-up, David. You were  
3 asked about where the most trouble is and it's on the north end.  
4 Reading back beyond the 27th, a lot of proximity switch issues  
5 here. Does that include -- and that's for the whole year. I  
6 mean, is it mostly proximity switch issues, rail sliders? The  
7 only reason I ask is the difference in the two mountings; one is  
8 mounted through the rail, the other is mounted on a bracket and  
9 the bracket tends to be looser, so --

10 A. Proximity issues, the most calls would be prior to the  
11 milling of the miter rails from the rail kicking back on the  
12 traction of the train.

13 Q. Uh-huh.

14 A. Especially with, say, you run a 6-axle on it, be more  
15 evident.

16 Q. Right.

17 A. The -- there was issues where we were having some colder  
18 weather, rails contracting or running.

19 Q. Okay.

20 A. And that would be a cause of adjustment for proximity  
21 switches. But pretty much that's about it for the switches.

22 Q. But the mounting didn't make a difference?

23 A. No, the mounting -- I mean, it has to be mounted that  
24 way because of the upfitted miter rails --

25 Q. Right.

1           A.    -- where you can't mount -- the south end, you can mount  
2 through the rail; it's fixed. I mean, it's possible someone could  
3 kick the bracket, put it out of whack, but --

4           Q.    Which do you think is the best?

5           A.    The fixed.

6           Q.    The fixed, which is --

7           A.    On the south end.

8           Q.    -- through the rail? Okay. I kind of agree with you.

9                    The second question is, if the bridge times out, no  
10 signal, right? It stays red?

11          A.    No signal. Yeah, red signal.

12          Q.    Okay. That's all I have.

13                   MR. DEPAEPE: Thank you. Mr. Noon?

14                   MR. NOON: Thomas Noon, N-o-o-n.

15                   BY MR. NOON:

16          Q.    I have a question about the keypad, okay. The engineer  
17 comes up in the engine and punches a keypad. The bridge doesn't  
18 move or it doesn't operate, right. Waits a minute or whatever,  
19 punches it in again. If that doesn't work, he goes outside and  
20 punches it again. Does the machine, like a computer, get jammed  
21 up? I mean, if you punch it in too fast or you punch it in too  
22 many times, does it just say forget about it, you know, no  
23 request? There's a technical term, forget about it. It's Jersey.

24                   Do you understand what I'm saying?

25          A.    I understand.

1 Q. Does it -- how many times does it -- do you have to  
2 punch it in where it just says that this does not accept the punch  
3 or --

4 A. Yeah, I'm not sure of the exact amount of times, but  
5 with any -- I mean, I can see it definitely happen. I mean, if  
6 it's locked -- if it's not going to work, it's not going to work.

7 Q. Right.

8 A. I mean, you need to go -- you have to reset the code for  
9 it to work.

10 Q. Right.

11 A. If there's -- I mean --

12 Q. It's not always easy. Let me ask you this, okay. He  
13 punches in a code and it doesn't work, okay?

14 A. He'll get an announcement.

15 Q. He'll get an announcement it doesn't work, right? On  
16 the PLC it shows that?

17 A. It will issue a code failure.

18 Q. Yes.

19 A. Failure to open, failure to close, whatever.

20 Q. Whatever it does, right. So if he does it again, it  
21 will record again that it failed. So is there a limited number of  
22 times?

23 A. I'm not clear on the times.

24 Q. Oh, okay. What was it up there, I had one other  
25 question. Speaking -- oh, a bridge question. For some reason,

1 the slide rails attempt to drive and they're obstructed. Does the  
2 motors that control those, do they have overloads?

3 A. Yes.

4 Q. So it would have to be a fairly good obstruction to  
5 create a overload? I mean, you know, if it's just a little off,  
6 will it have enough juice -- enough power to power in or does it,  
7 you know, that's it, it doesn't fit right? I mean, what is the  
8 pressure on the overload?

9 A. I'm not sure the -- it's electric. It's not pressure.

10 Q. It's electric?

11 A. Yes.

12 Q. So in other words, if it's obstructed and it can't move,  
13 you hope the motors overload right off the bat and it stops,  
14 right, it stops in its position?

15 A. Yes.

16 Q. It's not withdrawn?

17 A. No.

18 Q. Okay. That's all I have.

19 MR. DEPAEPE: Mr. Tracy?

20 MR. TRACY: I'm good, thank you.

21 MR. DEPAEPE: Mr. Killingbeck?

22 BY MR. KILLINGBECK:

23 Q. Yes, this is David Killingbeck again. A couple follow-  
24 up questions. On the PLC, these DTC error codes, how are they  
25 displayed? Does the display just show one code at a time or does

1 it show a list?

2 A. It's one code at a time.

3 Q. The listing that was given to Mr. Gura in the e-mail,  
4 are those codes listed in the order that they display as reviewed  
5 on the PLC?

6 A. Yes.

7 Q. Do you happen to know whether the PLC accumulates those  
8 codes in the order that the faults occurred?

9 A. Yes, it does.

10 Q. It does accumulate them in the order that they occurred?

11 A. (No audible response.)

12 Q. Okay. Thank you. One other question. Mr. Noon asked  
13 you about the overload feature on the motor that drives the slide  
14 locks. We'll talk specifically on the north end. Is there -- do  
15 you know, is there a clutch between the motor and the gear  
16 reduction?

17 A. Yeah, I've seen -- there would have to be a clutch. I  
18 don't know off -- I mean, yes. I'd say, yes, there is.

19 Q. So that if the slide lock is obstructed from operating  
20 to the point where the motor's told to stop, the motor -- the  
21 rotor of the motor can continue to turn while the gears are not?  
22 Or does it stop the motor right now and that's what causes the  
23 motor overload to trip?

24 A. It stops the motor immediately.

25 Q. Okay. Earlier you had indicated that prior to re-

1 profiling the top surface of the slide locks, that locomotives  
2 traveling, I assume, northbound were tending to kick these slide  
3 locks to the south and lose proximity indication. Where would the  
4 play or the slack in the system come in that would allow that  
5 slide lock to kick to the south?

6 A. What would happen is the locomotive would go north,  
7 apply traction, kick back the rail, not only losing the proximity  
8 detector, but also the possibility of breaking the cam switch  
9 position for the link extend/retract circuit, which is located  
10 inside the motor.

11 Q. And that's what I'm trying to get at is where could that  
12 loss motion, that slack, come from? Is it possible that that  
13 force being exerted on the link rod that connects back to the  
14 operating motor for the rail -- or the slide locks, can that cause  
15 the motor to spin backwards?

16 A. I --

17 Q. Is there a motor brake on the motor?

18 A. No brake. There's --

19 Q. Let me ask that question.

20 A. No, there's no brake on the motor.

21 Q. What type of gear reduction is it?

22 A. I'm not sure of the reduction of it.

23 Q. I was asking the design as opposed to the ratio.

24 A. Oh, okay. It's pretty much half horsepower, direct  
25 drive motor, which -- you know, it's armature turns out, in or

1 out, just throws a rod, which then throws a lock.

2 Q. Okay, thank you.

3 MR. DEPAEPE: All right, Mr. Ohr, I want to appreciate  
4 your time here.

5 MR. OHR: Thank you.

6 MR. DEPAEPE: Do you have any additional questions,  
7 Mr. Gura?

8 BY MR. GURA:

9 Q. Yes, I just have one quick one. David, when you talked  
10 about the DTC codes from the PLC, you said they come in order. In  
11 the e-mail that you sent out, Code 45 was at the top and Code 44  
12 was at the bottom. Which one would have been the last to display?

13 A. I'm sorry, you said 44 was at the top?

14 Q. Yeah, it says, Code 45. It says, hydraulic tank, low-  
15 level trip. Okay. Then the next one was Code 78, bridge failed  
16 to open. Then Code 78 -- or 79, bridge failed to close. In, I'm  
17 going to call a hierarchy, were -- is this a listing of the codes  
18 that were last -- you know, like that Code 45 prior to the bridge  
19 failed to open, was that the last thing -- or the first thing to  
20 occur since the PLC codes were cleared? So that -- and then the  
21 last thing that would happen would be position switch fault and  
22 the limit switch creeps and the hydraulic tank code. That would  
23 have been the one that happened either during the derailment or at  
24 that time of the derailment; is that correct?

25 A. Yes.

1 Q. Okay. That's all I wanted to make sure.

2 MR. DEPAEPE: Mr. Noon, do you have any additional  
3 questions?

4 BY MR. NOON:

5 Q. One quickie question. Does the -- is there an error  
6 code for a motor overload?

7 A. For a motor overload, yes.

8 Q. Okay.

9 MR. DEPAEPE: Again, Mr. Ohr, I wanted to thank you for  
10 your participation here, but I'd also like to give you the  
11 opportunity if there's anything you may want to add or anything  
12 you may know of or think of that may help us figure out what  
13 happened on the day of the accident?

14 MR. OHR: No. No, I'm good, thank you.

15 MR. DEPAEPE: All right. Well, again, thank you and  
16 this will conclude the interview with Mr. David Ohr. It is  
17 currently 12:17 p.m. and we are going to go off the record at this  
18 point.

19 (Whereupon, at 12:17 p.m., the interview was concluded.)  
20  
21  
22  
23  
24  
25

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF:            CONRAIL DERAILMENT/HAZARDOUS  
   MATERIAL RELEASE  
   PAULSBORO, NEW JERSEY  
   NOVEMBER 30, 2012  
   Interview of David Ohr

DOCKET NUMBER:            DCA-13-MR-002

PLACE:                        Paulsboro, New Jersey

DATE:                         December 4, 2012

was held according to the record, and that this is the original,  
complete, true and accurate transcript which has been transcribed  
to the best of my skill and ability.

---

Vanita Tildon  
Transcriber