

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

\* \* \* \* \*

Investigation of:

\*  
\*  
\*  
\*  
\*  
\*

CONRAIL DERAILMENT/HAZARDOUS  
MATERIAL RELEASE  
PAULSBORO, NEW JERSEY  
NOVEMBER 30, 2012

Docket No.: DCA-13-MR-002

\* \* \* \* \*

Interview of: RYAN HILL  
JERRY KAMINSKI

Paulsboro, New Jersey

Sunday,  
December 2, 2012

The above-captioned matter convened, pursuant to notice.

BEFORE: CYRIL GURA  
Accident Investigator

## APPEARANCES:

CYRIL GURA, Accident Investigator  
Safety Engineer  
National Transportation Safety Board  
Office of Railroad, Pipeline and Hazardous Materials  
DuPage Airport  
31 West 775 North Avenue  
██████████, Illinois 60185

DAVID KILLINGBECK, Chief Engineer Structures  
Federal Railroad Administration

LARRY KISH, Deputy Regional Administrator  
Federal Railroad Administration

TIMOTHY TIERNEY, Vice President and Chief Engineer  
Conrail

THOMAS BILSON, Assistant Chief Engineer  
Maintenance of Way and Structures  
Conrail

<u>ITEM</u>	<u>I N D E X</u>	<u>PAGE</u>
Interview of Ryan Hill:		
By Mr. Gura		4
Interview of Jerry Kaminski:		
By Mr. Gura		9
Interview of Mr. Hill and Mr. Kaminski:		
By Mr. Killingbeck		13
By Mr. Tierney		21
By Mr. Bilson		24
By Mr. Gura		25
By Mr. Kish		25
By Mr. Killingbeck		27
By Mr. Gura		28
By Mr. Killingbeck		30
By Mr. Gura		30

I N T E R V I E W

(11:15 a.m.)

1  
2  
3 MR. GURA: My name is Cy Gura, C-y, G-u-r-a. I'm an  
4 investigator with the National Transportation Safety Board. It is  
5 11:15 a.m. on December 2nd, and we're here to conduct an interview  
6 with Bridge and Building personnel on their knowledge of the  
7 repairs of bridge at Paulson.

8 Please identify yourself.

9 MR. HILL: Ryan Hill.

10 MR. GURA: Spell it, please.

11 MR. HILL: R-y-a-n, H-i-l-l.

12 MR. GURA: And your title?

13 MR. HILL: Supervisor of Structures, South Jersey.

## INTERVIEW OF RYAN HILL

14  
15 BY MR. GURA:

16 Q. Ryan, how long have you been working as a supervisor of  
17 structures?

18 A. About 3 months.

19 Q. About 3 months. Prior to that, what were you doing?

20 A. I was working in the Design and Construction Department.

21 Q. And what does that entail?

22 A. Managing outside contractors on railroad property.

23 Q. Okay. And prior to that?

24 A. College.

25 Q. College. Okay.

1 A. Rutgers, Rutgers University.

2 Q. Okay, Ryan, we're going to draw right back down right to  
3 November 30th, the day --

4 UNIDENTIFIED SPEAKER: 29th?

5 BY MR. GURA:

6 Q. -- 29th, November 29th, a day prior to the accident.

7 A. Okay.

8 Q. Could you tell me -- I understand you were on the bridge  
9 doing some work. Just explain to me what you were doing.

10 A. Well, we had -- I got in contact with Jerry Kaminski,  
11 asked him to come out and kind of talk me through what he knew  
12 about the bridge since he was the previous supervisor. We are out  
13 there. We were kind of looking around. We watched the bridge  
14 operate. We noticed that the east girder of the moveable span was  
15 hitting the west bridge seat as it closed. So the first thing we  
16 did was we adjusted the hog rod on the east side on the north side  
17 of the span about a half a turn, operated the bridge. We noticed  
18 it still hit the bridge seat. Went back, tightened it about  
19 another half turn. That brought the bridge up enough where as it  
20 closed, it didn't hit the bridge seat as it closed. And we also  
21 greased the bridge seats, and we did both of those things to try  
22 and reduce any resistance for the motor when it tried to push the  
23 bridge closed -- or back in the open position.

24 Q. Okay. When you got there, was the bridge opened or  
25 closed?

1 A. The bridge was open.

2 Q. The bridge was open. So it was in its normal position?

3 A. Correct.

4 Q. How do you close it?

5 A. If I'm out there myself?

6 Q. Yes.

7 A. I'd have to go into the operator's building, put the PLC  
8 into local control and, from there, I can control the bridge.

9 Q. You don't have to enter the circuit? You don't have the  
10 shunt the circuit or anything of that nature?

11 A. No.

12 Q. Okay. Talk about the hog rod. What is that?

13 A. The hog rod is connected from the top of the A-frame  
14 that was at the bridge down to the north end of the span, and they  
15 will hold the bridge up as it swings open and shut.

16 Q. Okay. And is there like a turnbuckle eye?

17 A. Yes, there is a turnbuckle with an eye in it that's just  
18 over the -- the turnbuckle is just above the grating on the  
19 bridge.

20 Q. Okay. About what time of the day did you do that?

21 A. That was probably around 9 a.m.

22 Q. Okay. And how long did it take you to do that work?

23 A. To tighten the hog rod, I'll say 20 minutes.

24 Q. So you were out on the job about an hour?

25 A. We were out there for probably around 2 hours looking at

1 other things and trying to just -- talking about the whole bridge  
2 and trying to think about it.

3 Q. Okay. How did you get notification of a bridge problem?

4 A. Well, we were having issues. I would get called by our  
5 trouble desk. Earlier that morning, around 3:15 in the morning,  
6 got a call. The train had pulled up, they reported the bridge was  
7 open about 4 inches. So I called my bridge inspector out. By the  
8 time he had gotten there -- he heard the train reporting south at  
9 Woodbury. So it had already come across. He talked to the  
10 dispatcher. Apparently, they had backed up off the shunt, pulled  
11 back up, and were able to get it to close. Now, when he got  
12 there, the bridge was closed position, but the locks were  
13 withdrawn and the bridge was seated. So he opened the bridge back  
14 up himself, but didn't notice any other issues with the bridge.

15 Q. Okay. What -- you said the locks were withdrawn.

16 A. Yes.

17 Q. The slide locks?

18 A. Yes.

19 Q. Okay. And the bridge was in the closed position, but  
20 the slide locks were not engaged?

21 A. That's correct.

22 Q. Okay. When you went in there, did you have any problem  
23 with the slide locks not engaging after you finally got the bridge  
24 to close?

25 A. Myself, at -- on Thursday, when I was there?

1 Q. Yeah. Yeah, Thursday.

2 A. No, we had no problems closing the bridge or opening the  
3 bridge or any problems with the span locks.

4 Q. Okay. When it was hitting -- before you had to tighten  
5 the hog ball, you know, the slide locks wouldn't function at all  
6 then because the bridge would not get lined properly?

7 A. No. The bridge was hitting the bridge seat, but it  
8 would still close and everything would operate properly when we  
9 were down there.

10 Q. Okay.

11 A. Yeah.

12 Q. And it still -- and the slide locks would engage?

13 A. Correct.

14 Q. Okay. Okay, tell me what's the difference -- where the  
15 work gets divided between the Signal Department and the B&B. What  
16 are you all responsible for in the bridge side of this bridge?

17 A. Well, B&B, we're in charge of our weekly maintenance,  
18 which is greasing the bridge. We'll grease the bridge. We're  
19 also in charge -- the electricians are in charge of keeping  
20 navigation lights lit. We're also in charge of limit switches.

21 Q. Those proximity detectors, are you talking about?

22 A. No. The proximity switch is over the C&S Department's  
23 responsibility. Those switches tell you when those locks have  
24 driven or they have not driven, and that's C&S's responsibility.

25 Q. Now, what limit switches are you talking about?



1           A.    Letting you know the bridge is closed or in the open  
2 position or that's it's seated or not seated.

3           Q.    Okay. All right. Continue on.

4           A.    That's our responsibilities out there. I mean, since  
5 I've been here, we've greased the bridge every week. Haven't  
6 really done any other maintenance to the bridge since I've been  
7 here.

8           Q.    Okay. I was looking over at something like a bridge  
9 inspection report and I noted there's -- the bridge inspector  
10 talks about some kind of a bearing, roller bearing on the bottom.  
11 Is that on the pivot? Or, is there a problem with that roller  
12 bearing on the pivot that you're aware of?

13          A.    Not that I'm aware of.

14          Q.    Okay. Is there --

15               MR. GURA: Would you please introduce yourself,  
16 Mr. Kaminski, and come on and sit over here?

17               MR. KAMINSKI: My name is Jerry Kaminski, J-e-r-r-y, K-  
18 a-m-i-n-s-k-i.

19                               INTERVIEW OF JERRY KAMINSKI

20               BY MR. GURA:

21          Q.    Jerry, same thing. Could you kind of tell me about what  
22 you're doing now and, you know, your work history?

23          A.    I work as a construction engineer in our Design and  
24 Construction Department. I've held that job since January 2010.  
25 Before that, I was a terminal engineer for a year and a half.

1 Before that, I was a B&B supervisor for about 15 years. Before  
2 that, I was a B&B welder for 20 years, and I started as a bridge  
3 operator.

4 Q. Okay. What's your experiences with this bridge? You  
5 went out there and you're going to teach Ryan a little bit about  
6 what to look for and what to do? Tell me what your experiences on  
7 this bridge are.

8 A. Well, I've been working on the bridge since 1983, when  
9 it was operated manually, and I was involved when we operated  
10 hydraulically. I was involved in a retrofit in 2003. So I have a  
11 lot of experience on that bridge and wanted to pass it on to Ryan,  
12 maybe snoop around, see what I could find, and that's why I went  
13 out there that day.

14 Q. Okay. Tell me a little bit about these drive motors  
15 that operate the slide box for locking the bridge in place. What  
16 do you guys need to do with that to make sure they're working  
17 properly, or --

18 A. One thing is make sure they're greased so there's no  
19 resistance, make sure that they are lined up. When Ryan was  
20 saying that we adjusted the hog rod, I've seen in the past where  
21 maybe we adjusted it too much and they wouldn't drive, so you have  
22 to watch that. And as far as anything that can go wrong with them  
23 -- the only thing that could go wrong, if the bridge wasn't lined  
24 up, they wouldn't drive.

25 Q. Tell me, if they don't drive, what does the motor do?

1 Does it just stall, time out? What does it do?

2 A. Yeah, it stalls.

3 Q. It stalls?

4 A. Yes.

5 Q. Then does the -- once it stalls, does the slide blocks  
6 go into like a neutral position or do they have pressure on them  
7 to -- anything -- you know, on the motor, or do they retract back  
8 to where they were?

9 A. If I can recall -- it's been a while since I've been out  
10 a bridge and encountered that problem, but if I can recall, they  
11 stop where they're at and they time out.

12 Q. And they time out --

13 A. Yes.

14 Q. -- and that's it?

15 A. Yes.

16 Q. Okay. Could you tell me anything else about the bridge  
17 on the maintenance side that you guys include besides greasing the  
18 motors?

19 A. Mostly -- a lot of that is visual inspection. Look at  
20 the profile of the track; look at the pony wheels that carry the  
21 bridge as it's moving, make sure they're not loose; look for any  
22 wear; look for anything that's out of line; check the creep  
23 switches, the close switches, the open switches, and basically  
24 that's about it.

25 MR. GURA: Okay. I'm going to ask both of you guys and

1 you guys could chime in. On a scale of 1 to 10, this bridge,  
2 thinking about it as far as maintenance problems, 10 being a lot  
3 of maintenance problems, 1 being very few maintenance problems,  
4 because you've got multiple bridges that you're responsible for,  
5 how does that fall in there? Is there a lot of maintenance  
6 problems on this?

7 MR. KAMINSKI: I've seen some seasons where there was no  
8 maintenance at all, just our normal weekly maintenance, but hardly  
9 any problems.

10 MR. GURA: Um-hum. Now, I was looking over the trouble  
11 desk reports and it looks like over the year period of time,  
12 including the derailment -- it was included in that trouble desk  
13 report -- that made 24. So, basically, there were 23 trouble  
14 reports prior to that for varying problems: the bridge wouldn't  
15 open, the bridge wouldn't close, debris, you know, light, signal  
16 light, you know, what have you. Is that kind of typical? Is that  
17 a typical season?

18 MR. KAMINSKI: Debris is according to the weather. In  
19 storms, we get a lot of debris. But that seemed to be most of the  
20 problem.

21 MR. GURA: Okay. I heard people talk about, you know,  
22 maybe there's been an increase of problems with the bridge since  
23 Hurricane Sandy. Have either of you noticed any increase in  
24 incidents since Hurricane Sandy passed through this area?

25 MR. HILL: Well, I would say we were having trouble that

1 the bridge would go over the -- the train would go over the  
2 bridge, the locks would retract, the span would seat, but it  
3 wouldn't open back up. Now, we inspected the bridge for water  
4 damage after Sandy; we found nothing. We don't have any reports  
5 that say that there was water over the bridge that would have  
6 gotten in electronics. So that would be something that I would  
7 just say we noticed in the past couple of weeks.

8 MR. GURA: Okay. Now, have you pinpointed what that  
9 problem was, why the bridge would not go back to its normal  
10 position after the train passed and cleared the circuit and go  
11 back open to navigable waterway?

12 MR. HILL: No.

13 MR. GURA: Okay. That -- really, the problem hasn't  
14 been resolved then?

15 MR. HILL: Right.

16 MR. GURA: Okay. I'm going to pass the questioning over  
17 to the FRA bridge. And please introduce yourself if you have any  
18 questions and proceed.

19 MR. KILLINGBECK: This is -- oh, over here. I'm Dave  
20 Killingbeck, D-a-v-i-d, K-i-l-l-i-n-g-b-e-c-k. I'm Chief Engineer  
21 of Structures with the FRA.

22 Ryan, you were talking about slide locks. Are you --  
23 are these the slide rails that you're referring to or is there  
24 actually some type of slide locking bar that locks the girder to  
25 the approach -- the swing girder to the approach girder?

1           MR. HILL: These are the -- they're called -- we call  
2 them locks. They're called the span locks. They -- and those  
3 locks are attached to a motor that's sitting on the span and when  
4 they -- the bridge closes, they drive across from the span into  
5 the north approach and they are what stops the bridge from moving  
6 laterally.

7           MR. KILLINGBECK: Okay. So there are two devices that  
8 are locking, ultimately locking the track in place when the bridge  
9 is closed for rail traffic; there is a span lock on the north end,  
10 plus there are some type of slide rails or some type of movement  
11 that takes place in the actual running rail at the bridge joints  
12 at both ends?

13           MR. HILL: Correct. There's a locking system on both  
14 ends, north and south.

15           MR. KILLINGBECK: All right.

16           MR. GURA: Is that correct? I mean, we want to just be  
17 clear on that.

18           MR. HILL: Well --

19           MR. GURA: I want to clarify -- this is Cy, C-y, Gura,  
20 G-u-r-a. The span lock, it almost sounded like there was two  
21 locking systems instead of one locking system. Is there two  
22 locking systems or one locking system which are the, I'm going to  
23 call it, the slide locks on the north and south end of the bridge?  
24 Is there another locking system besides that?

25           MR. HILL: No. There are slide locks on the north and

1 south ends of the bridge.

2 MR. GURA: Okay.

3 MR. KAMINSKI: This is Jerry Kaminski. Dave, when you  
4 asked about the span lock, what we have on the north end is span C  
5 that lowers the bridge and puts it on a rest pier. That's not a  
6 lock.

7 MR. KILLINGBECK: Oh, okay. So once the PLC has sensed  
8 that the span is in the closed position, it tells a drive motor to  
9 relax the hog rods and lower the north end of the bridge down onto  
10 its bearing?

11 MR. KAMINSKI: Correct.

12 MR. KILLINGBECK: But then there is nothing at that  
13 point that physically locks the north end of the swing span to the  
14 approach span?

15 MR. KAMINSKI: Once the bridged is seated, then the  
16 locks go in.

17 MR. KILLINGBECK: These are the rail locks?

18 MR. KAMINSKI: Yes.

19 MR. KILLINGBECK: There's -- okay.

20 MR. KAMINSKI: Which acts as a bridge lock, keep --

21 MR. KILLINGBECK: Okay. I believe Cy asked Ryan -- no.  
22 A question was asked having to do with if the bridge is not  
23 properly lined up when the slide locks -- the rail locks attempt  
24 to be driven, when the motor tries to drive them on the north end,  
25 that either the drive motor times out or it goes out on an

1 overload due to high current draw. Will that reset automatically  
2 or does that require intervention by somebody physically going out  
3 to the bridge to reset?

4 MR. KAMINSKI: That requires you to drive them locks and  
5 then retract them to reset that. You would have to line that  
6 bridge up, engage the locks, and then retract them.

7 MR. KILLINGBECK: But if those -- if the bridge wasn't  
8 quite properly positioned and those locks were to run into their  
9 socket or whatever they engage on the north approach, at that  
10 point it would seem that the bridge is bound up. If the cycle has  
11 to complete that the lock has to be driven completely before you  
12 can retract it to open the bridge up or to try closing the bridge  
13 to its proper position to then re-drive the lock, does the  
14 computer do this on its own, trying to accomplish -- you know, to  
15 recycle to successfully lock the bridge up or do you have to send  
16 an electrician out?

17 MR. KAMINSKI: It does not do it on its own.

18 MR. KILLINGBECK: So a person has to show up there, if  
19 it's stuck at that point --

20 MR. KAMINSKI: Yes.

21 MR. KILLINGBECK: -- to manually cause things to retract  
22 enough or crank the thing back by hand so that you can then swing  
23 the bound span to its proper position and then drive the lock; is  
24 that correct?

25 MR. KAMINSKI: That's correct.



1           MR. KILLINGBECK: Okay. Has this, the tightening of one  
2 or both of the hog rods, been a common occurrence in the last  
3 year? Are you --

4           MR. HILL: I don't know. I can't speak for that. I've  
5 only been around a couple of months, so I can't --

6           MR. KILLINGBECK: And last Thursday, the 29th of  
7 November, was the first time you were involved?

8           MR. HILL: That's correct.

9           MR. KILLINGBECK: Can you speak to that, Jerry?

10          MR. KAMINSKI: From my experience, we can go for years  
11 without touching them.

12          MR. KILLINGBECK: Okay. And this was the first time  
13 then that's it's been tightened since Hurricane Sandy went  
14 through?

15          MR. HILL: That's correct.

16          MR. KILLINGBECK: After Hurricane Sandy went through --  
17 I believe, Jerry, you said that the bridge was inspected for any  
18 problems. Was any underwater inspection performed following  
19 Sandy?

20          MR. KAMINSKI: Ryan, can you answer that?

21          MR. HILL: No, there was no underwater inspection done.

22          MR. KILLINGBECK: Okay, no underwater. When you were  
23 out there on Thursday, did either -- Ryan or Jerry, did you  
24 observe the track profile, especially at the south end or the  
25 pivot end of the span?

1 MR. KAMINSKI: Yes.

2 MR. KILLINGBECK: And how would you characterize --

3 MR. KAMINSKI: Normal.

4 MR. KILLINGBECK: -- the track profile?

5 MR. KAMINSKI: Normal.

6 MR. KILLINGBECK: All right. When the bridge is closed  
7 and locked, if I've got this correct in my head, there are locking  
8 rails, slide locks at both the pivot end and the north end? The  
9 south end and the north end, the rails lock up somehow?

10 MR. KAMINSKI: Correct.

11 MR. KILLINGBECK: Have there ever been instances where  
12 the south end could lock and the north end wouldn't or vice-versa?

13 MR. KAMINSKI: I've seen it before, if it was bound, if  
14 it wasn't exactly closed all the way on the north end, the south  
15 end would --

16 MR. KILLINGBECK: That the south would lock?

17 MR. KAMINSKI: Yes.

18 MR. KILLINGBECK: But not the north?

19 MR. KAMINSKI: Yes.

20 MR. KILLINGBECK: Okay. How does your PLC tie into the  
21 signal? When the bridge -- there -- you indicated there's some  
22 type of limit switches. So when the bridge --

23 MR. KAMINSKI: Yeah, it's a proximity switch.

24 MR. KILLINGBECK: Well, there's proximity switch, which  
25 belongs to the signal craft?

1 MR. KAMINSKI: Right.

2 MR. KILLINGBECK: There's some type of mechanical  
3 switch, roller switch or something, when the span swings to the  
4 closed position to tell the control that the bridge is almost  
5 closed and it is closed?

6 MR. KAMINSKI: Correct.

7 MR. KILLINGBECK: And then what happens? Does that then  
8 tell the signal system from a bridge standpoint I'm closed?

9 MR. KAMINSKI: The proximity switch on the lock would be  
10 tied into the signal, which tells the signal that that bridge is  
11 locked.

12 MR. KILLINGBECK: That's when -- that's on the slide  
13 rail, the lock rail?

14 MR. KAMINSKI: Yes.

15 MR. KILLINGBECK: And does that also communicate back to  
16 the PLC?

17 MR. KAMINSKI: Yes.

18 MR. KILLINGBECK: So when the bridge is closed,  
19 successfully locked up, the signal proximity switch tells the  
20 signal circuits that it's okay to give a clear signal and also  
21 tells the PLC that I'm locked?

22 MR. KAMINSKI: Yes.

23 MR. KILLINGBECK: And if it doesn't -- if the PLC does  
24 not see that, does not -- it's -- the PLC has told the slide rails  
25 to lock, to drive, and to do that for some period of time. It

1 doesn't get an indication back from the signal apparatus from the  
2 prox switch that those have driven, does it continue to try to  
3 drive?

4 MR. KAMINSKI: For a little time it will, yes.

5 MR. KILLINGBECK: And then it'll be --

6 MR. KAMINSKI: It'll overload the circuit or it'll just  
7 time out.

8 MR. KILLINGBECK: It'll be stalled?

9 MR. KAMINSKI: Yes.

10 MR. KILLINGBECK: If the motor keeps driving, it can't  
11 -- the motor has to reverse to retract. It can't just keep  
12 turning and run the drive locks out and then continue to retract  
13 them?

14 MR. KAMINSKI: That's correct.

15 MR. KILLINGBECK: Okay. That's the only questions that  
16 I have.

17 MR. GURA: Okay, Conrail?

18 UNIDENTIFIED SPEAKER: Tom, you want to let me question?

19 MR. GURA: Why don't you come up here close?

20 MR. BILSON: I think you've pretty much covered things  
21 from my end.

22 MR. GURA: Oh, okay. Well --

23 MR. TIERNEY: I had. Just something --

24 MR. GURA: Okay. Tim, introduce yourself  
25 (indiscernible).

1 MR. TIERNEY: Tim Tierney, T-i-m, T-i-e-r-n-e-y.

2 MR. GURA: Title?

3 MR. TIERNEY: Title is Vice President and Chief Engineer  
4 for Conrail. I'll address this to Ryan or Jerry. One, with the  
5 PLC and coming out to the bridge after a reported problem, are  
6 there error codes in the PLC that can point you to a condition or  
7 a fault that occurred?

8 MR. KAMINSKI: Yes.

9 MR. TIERNEY: For example, when you went out there on  
10 Thursday, Ryan or Jerry, was that a place that you went to, to try  
11 to determine if there was a specific problem?

12 MR. KAMINSKI: Yes.

13 MR. TIERNEY: And was there something displayed at that  
14 point that --

15 MR. HILL: When our bridge inspector got there, he did  
16 have a -- error codes. It was failed to open and failed to close.  
17 Both were showing up, but he had cleared those.

18 MR. TIERNEY: Does it give more detail as to any  
19 component of the process that was the last to fail or where in the  
20 process failed? Like a limit -- for example, a limit switch or a  
21 motor, for example? Does it give that type of detail or does it  
22 just describe the part of the process that failed?

23 MR. KAMINSKI: No. It would pinpoint -- if it was a  
24 limit switch, it would pinpoint that switch and that's all it  
25 would tell you.

1           MR. TIERNEY: And, Thursday, the code was actually  
2 failure to open or failure to close, right?

3           MR. HILL: Both of those errors were on the screen.

4           MR. TIERNEY: Okay. And the only other question I have  
5 is having to do with the adjustment of these hogs rods. The  
6 processes for the bridge to -- in the closing position, the bridge  
7 is closed and has a roller-type assembly that it is tracked on; is  
8 that correct?

9           MR. KAMINSKI: In the center, in the pivot, there's two  
10 pony wheels, but at the end it just slides on a girder.

11          MR. TIERNEY: So as it swings to the closed state, it is  
12 raised at that point to where when it comes in line with the  
13 running rail, it has to be dropped into position; is that correct?

14          MR. KAMINSKI: Yes.

15          MR. TIERNEY: And the reverse happens on the closing  
16 process?

17          MR. KAMINSKI: Yes.

18          MR. TIERNEY: And when the span is lowered into a  
19 position for closing, it rests on the actual seat --

20          MR. KAMINSKI: Yes.

21          MR. TIERNEY: -- if you will? And that seat has no  
22 locking position in it?

23          MR. KAMINSKI: No.

24          MR. TIERNEY: The locking occurs at the rail locations?

25          MR. KAMINSKI: Right, on the deck.

1           MR. TIERNEY: Just to reiterate, the purpose of  
2 tensioning -- typically, you're adding tension to these hog rods;  
3 is that correct?

4           MR. KAMINSKI: Yes.

5           MR. TIERNEY: And that is to allow it to -- is it -- is  
6 -- I guess my question is, is it because it's dragging on the  
7 bearing in the closing and you're trying to raise it above it? Is  
8 that why I'm -- why you do that?

9           MR. KAMINSKI: That's correct.

10          MR. TIERNEY: So it's to have it clear your rest  
11 position in the closing process so it can be lowered for final  
12 closing?

13          MR. KAMINSKI: Correct.

14          MR. TIERNEY: And how much clearance typically would you  
15 say is optimal to complete that cycle? How much does it clear the  
16 rest position before you lower it for locking?

17          MR. KAMINSKI: About three-eighths of an inch.

18          MR. TIERNEY: So about a three-eighths-of-an-inch  
19 tolerance?

20          MR. KAMINSKI: Yes.

21          MR. TIERNEY: That's all the questions I have.

22          MR. BILSON: I do have a couple.

23          MR. GURA: Again, please introduce yourself.

24          MR. BILSON: Sure. Tom Bilson, B-i-l-s-o-n, Assistant  
25 Chief Engineer, MW&S, Maintenance of Way and Signals.

1 BY MR. BILSON:

2 Q. The hog rod, Jerry, does weather play a part in it;  
3 cold, hot?

4 A. I don't know, Tom. As I said before, it could be -- I  
5 remember we went for years without touching them, so I don't know  
6 what causes them to go out of adjustment.

7 Q. Now, the locking mechanism, the proximity switch that's  
8 maintained by the Signal Department, how close -- what's the  
9 tolerance? How does that work?

10 A. It has to grab -- the switch is about an inch in  
11 diameter. It has to grab that whole switch, so that lock has to  
12 at least be in there about 3 inches.

13 Q. So it has to be in 3 inches?

14 A. Yes.

15 Q. If it backs out, what happens?

16 A. You won't get a signal.

17 Q. You -- if it -- okay. So you won't get the signal? So  
18 it's got to drive fully and it -- how much clearance once it  
19 drives, I guess, is my question? How far does it drive past a  
20 proximity switch?

21 A. It drives about half an inch past it.

22 Q. Half an inch? Because I note one area here, it says  
23 rail shrinkage, the rail shrunk. That's why I asked you about the  
24 seasonal.

25 Okay, that's all I have. Thanks.



1 MR. GURA: Jerry, I've got a couple more questions.

2 This is Cy, C-y, last name, Gura, G-u-r-a.

3 BY MR. GURA:

4 Q. Jerry, on the proximity switches, do all four have to  
5 function for the signal to turn? Or, if one does not function,  
6 will the signal still change its aspect?

7 A. All four have to function.

8 Q. All four. The rail -- I notice the Track Department  
9 inspects the miter rail. Do you also, part of the B&B, inspect  
10 the miter rail to see if it's in decent shape?

11 A. Yes.

12 Q. When you guys went out there, did you look at the miter  
13 rail? Did you notice anything out of the ordinary?

14 A. No.

15 Q. The miter rails looked --

16 A. Normal.

17 Q. -- normal?

18 MR. GURA: I think the FRA has a couple more questions  
19 and I'll let them ask the questions. Identify yourself, please.

20 MR. KISH: This is Larry Kish, K-i-s-h, with the FRA,  
21 and I'm the Regional Deputy Administrator.

22 Hi, guys. You guys talked about the defect codes. How  
23 do you retrieve those defect codes on the PLC?

24 MR. KAMINSKI: They're on a readout screen and you  
25 scroll down -- there's a button that allows you to scroll down --

1 and then you copy them.

2 MR. KISH: Okay. Are these codes stored in there for  
3 past instances?

4 MR. KAMINSKI: Not that I know of.

5 MR. KISH: Okay. So if you went there that day, you  
6 would have looked at it and you would have saw that defect code,  
7 but it wouldn't have told you what happened two times earlier or  
8 defect codes that might have happened 3 days ago?

9 MR. KAMINSKI: No, because in order for you to operate  
10 that bridge, you have to clear them codes. So, you get the code,  
11 you fix the problem, and the code clears.

12 MR. KISH: Okay, that's all I had. Thank you. You  
13 cleared that up for me.

14 UNIDENTIFIED SPEAKER: Cy?

15 MR. GURA: I just have one more quick question on those  
16 defect codes. Do you know if those are stored in the computer  
17 someplace so if -- I know you clear them to operate the bridge,  
18 but is there like a database that collects all these defect codes  
19 to, say, over the past 5 years these were the defects, or 6  
20 months? Is there a time frame or is there a listing of codes?

21 MR. KAMINSKI: No, there's not.

22 MR. GURA: No, there's not.

23 UNIDENTIFIED SPEAKER: Is there a download?

24 MR. GURA: Is there a download?

25 MR. KAMINSKI: No.

1 UNIDENTIFIED SPEAKER: Okay.

2 MR. GURA: Okay. Someone had a question?

3 MR. KILLINGBECK: This is Dave Killingbeck again. I'm  
4 going back to the real basics. You typically do weekly  
5 maintenance on the bridge. Does that consist of anything other  
6 than greasing the bridge?

7 MR. HILL: No.

8 MR. KAMINSKI: Well, there should be a visual inspection  
9 also.

10 MR. KILLINGBECK: Okay. But as far a physical work that  
11 you expect to do when you go out there, it's grease the bridge and  
12 perhaps -- the people that do the greasing, are they also  
13 equipped, if there's a navigation light bulb that's burned out, to  
14 replace a bulb or just grease?

15 MR. HILL: I send them out to grease and grease only.  
16 Yes.

17 MR. KILLINGBECK: Okay. Thank you.

18 MR. GURA: Well, Ryan and Jerry -- this is Cy Gura again  
19 -- we tried to pick your brain the best we could. Is there  
20 anything that we didn't cover that you think might be pertinent to  
21 kind of give us some direction?

22 MR. HILL: I don't have anything, no.

23 MR. KAMINSKI: Not that I can think of, Cy.

24 MR. GURA: Okay. Well, anybody else have any questions,  
25 anything?

1 Well, I appreciate your time, coming out here on Sunday.  
2 Thank you.

3 MR. KAMINSKI: Okay, you're welcome.

4 (Off the record.)

5 (On the record at 12:12 p.m.)

6 MR. GURA: This is Cy Gura, and this is a continuation  
7 of the interview with the Bridge and Building crew. It is  
8 December 2nd and it is now 12:12. After the initial interview, we  
9 had a discussion and a few pertinent questions came up that need  
10 to be answered, so we will continue with Jerry Kaminski and we  
11 will begin this second part of this first interview. Again, this  
12 is Cy, C-y, last name, Gura, G-u-r-a.

13 Jerry, please spell your name.

14 MR. KAMINSKI: J-e-r-r-y, K-a-m-i-n-s-k-i.

15 MR. GURA: And also sitting at the interview table is  
16 Ryan Hill. Ryan, will you please spell your name?

17 MR. HILL: R-y-a-n, H-i-l-l.

18 MR. GURA: Okay. And when we do talk, I'll ask each  
19 person to identify themselves.

20 BY MR. GURA:

21 Q. Jerry, a question came up, a little bit description on  
22 the debris after the high and low tide. Could you explain how  
23 that works and how that is collected?

24 A. Well, sometimes after a storm, or even during perfect  
25 weather, we have debris, large trees or tree limbs that float down

1 the stream and they get tied up in the swing pier and also on the  
2 rest pier, which would prevent the bridge from closing or opening.

3 Q. And the only way to alleviate that problem is just go  
4 down and remove the debris by hand?

5 A. That's correct.

6 Q. Okay. We also talked about the bridge timbers that are  
7 on the bridge. How are they seated on the beams?

8 A. They are decked to lock onto the top of the beams and  
9 they're also held down by J-bolts that keep it down from the  
10 bottom -- from -- they connect to the top flange of the girder.

11 Q. Okay. And we also talked about the interoperability of  
12 the slide locks. Would the bridge, as it lowers down onto the  
13 plate, that clearance on the rest seat, the -- could you explain a  
14 little bit about that?

15 A. If the bridge wasn't seated properly, the locks wouldn't  
16 drive. So what we do is maintain a three-eighths clearance from  
17 the can -- the can gear raises the bridge for an opening, and also  
18 a closing, which clears the seats and allows the bridge to swing  
19 freely. And when the bridge closes, it hits a stop with a  
20 proximity switch on it that lets the PLC know the bridge is  
21 closed, then the can lowers the bridge.

22 Q. Okay. Is this a stop like in a perpendicular position  
23 to the bridge seat so the bridge does not overswing the bridge  
24 seat?

25 A. That's correct.

1           Okay, I'm going to open it up to the floor and if anyone  
2 else had any questions to continue on.

3           MR. KILLINGBECK: This is Dave Killingbeck, K-i-i-l-l-i-  
4 n-g-b-e-c-k.

5           Just so it's on the record and so somebody is clear in  
6 their mind when they're reading this, when the bridge is closing,  
7 that is, going from its open position so that marine traffic can  
8 traverse the opening to its closed position for rail traffic, as  
9 viewed from the top looking down, the bridge would be turning  
10 clockwise or counterclockwise?

11           MR. KAMINSKI: Clockwise.

12           MR. KILLINGBECK: Okay, so the stop that you're  
13 referring to, to keep the bridge from overtraveling as it swings  
14 in a closed position, is located west of the -- west -- north --  
15 yeah, west of the northeast girder bearing -- east of the  
16 northeast girder bearing?

17           MR. KAMINSKI: It'll be east.

18           MR. KILLINGBECK: Got it. Thank you.

19           MR. GURA: Any other questions?

20           UNIDENTIFIED SPEAKER: I think there was a question  
21 about noises being heard?

22           MR. GURA: Yes. There's been several reports from a  
23 nearby neighbor hearing large bang or booming noises. Could you  
24 explain, if the bridge is being operated, what kind of noise that  
25 would be, or if there was a train in the area, what it would be?

1 Or, if there was -- either the bridge was not being operated or  
2 there was no train in the area, you know, are there industries  
3 nearby that that noise could be disseminated from or something of  
4 that? So just give me a feel for those three scenarios.

5 MR. KAMINSKI: Well, the only noise you would hear from  
6 that bridge while it was opening would be the noise of the pump  
7 operating the piston that pushes the bridge opened and closed.

8 MR. GURA: Okay. And how about when the bridge would be  
9 seating, would you hear a noise where it seats? Would you hear a  
10 banging noise if it's -- once it was going to rail traffic, would  
11 it bang when it was seated?

12 MR. KAMINSKI: No.

13 MR. GURA: No. How about if there was a train in the  
14 circuit and the train would be traveling over the bridge, would  
15 there be a noise of the train going over the miter rails, going  
16 off the bridge seat or anything? Would there be any banging noise  
17 or booming noise or anything of that nature?

18 MR. KAMINSKI: You would hear noise of the wheels going  
19 over the miter rails, yes.

20 MR. GURA: And are there industries in the area that  
21 could attribute to noise?

22 MR. KAMINSKI: Yes, there is. There's railroad  
23 construction right next to the bridge and they have equipment in  
24 there and material.

25 MR. GURA: Okay. Is -- does that answer everybody's

1 questions on the additional information we were looking to have on  
2 the record?

3 Okay, thank you.

4 MR. KAMINSKI: You're welcome.

5 UNIDENTIFIED SPEAKER: I got one more, Cy. (Laughter.)

6 (Whereupon, the interview was concluded.)

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25



CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF:            CONRAIL DERAILMENT/HAZARDOUS  
   MATERIAL RELEASE  
   PAULSBORO, NEW JERSEY  
   NOVEMBER 30, 2012  
   Interview of Ryan Hill and Jerry Kaminski

DOCKET NUMBER:            DCA-13-MR-002

PLACE:                        Paulsboro, New Jersey

DATE:                         December 2, 2012

was held according to the record, and that this is the original,  
complete, true and accurate transcript which has been transcribed  
to the best of my skill and ability.

---

Karen M. Galvez  
Transcriber