

Docket No. SA-534

Exhibit No. 2-BF

NATIONAL TRANSPORTATION SAFETY BOARD

Washington, D.C.

INTERVIEW OF DENNIS BOSCH, CITY OF SAN BRUNO
(JAN-3-2011)

(34 Pages)

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

* * * * *

Investigation of: *

*

PACIFIC GAS & ELECTRIC COMPANY *

SEPTEMBER 9, 2010 ACCIDENT *

Docket No. DCA-10-MP-008

SAN BRUNO, CALIFORNIA *

*

* * * * *

Interview of: DENNIS BOSCH

Marriott Hotel
San Francisco Airport
1800 Bayshore Highway
Burlingame, California 94010

Monday,
January 3, 2011

The above-captioned matter convened, pursuant to
notice.

BEFORE: RAVINDRA CHHATRE
Investigator-in-Charge

APPEARANCES:

RAVINDRA M. CHHATRE, Investigator-in-Charge
National Transportation Safety Board
490 L'Enfant Plaza East, S.W.
Washington, D.C. 20594
202-314-6644
ravindra.chhatre@ntsb.gov

MATTHEW R. NICHOLSON, Accident Investigator
Office of Railroad, Pipeline and Hazardous Materials
Investigations
National Transportation Safety Board
490 L'Enfant Plaza East, S.W.
Washington, D.C. 20594
202-314-6468
matthew.nicholson@ntsb.gov

LAWSON F. NARVELL, JR., Investigator
Human Performance Group
National Transportation Safety Board
490 L'Enfant Plaza East, S.W.
Washington, D.C. 20594
202-314-6422
narvelr@ntsb.gov

KARL GUNTHER, Pipeline Accident Investigator
National Transportation Safety Board
490 L'Enfant Plaza East, S.W.
Washington, D.C. 20594
202-314-6578
karl.gunter@ntsb.gov

GEOFFREY J. CALDWELL, Police Sergeant
City of San Bruno Police Department
Police Plaza
1177 Huntington Avenue
San Bruno, CA 94066
650-616-7100
gcaldwell@sanbruno.ca.gov

APPEARANCES (Cont.):

BRIAN DAUBIN, Manager
GT&D Gas Engineering
Pacific Gas & Electric Company
375 North Wiget Lane
Walnut Creek, CA 94598
925-974-4210
bmd5@pge.com

ROBERT FASSETT, Director
Integrity Management and Technical Services
Pacific Gas & Electric Company
375 North Wiget Lane
Walnut Creek, CA 94598
925-974-4210
rpf2@pge.com

CONNIE JACKSON, City Manager
City of San Bruno
567 El Camino Real
San Bruno, CA 94066-4299
650-616-7056
cjackson@ci.sanbruno.ca.us

KLARA FABRY, Public Services Director
City of San Bruno
567 El Camino Real
San Bruno, CA 94066-424
650-616-7065

SUNIL K. SHORI, Utilities Engineer
State of California Public Utilities Commission
505 VanNess Avenue, 2nd Floor
San Francisco, CA 94102-3298
415-703-2407
sks@cpuc.ca.gov

PETER J. KATCHMAR, Accident Coordinator
Pipeline Safety Program
Pipeline and Hazardous Materials Safety Administration
U.S. Department of Transportation
12300 West Dakota Avenue, Suite 110
Lakewood, CO 80228
303-807-8458
peter.katchmar@dot.gov

APPEARANCES:

DEBBIE MAZZANTI, Business Representative
International Brotherhood of Electrical Workers
Local 1245
30 Orange Tree Circle
Vacaville, CA 95687
415-517-0317
djmg@ibew1245.com

JOSHUA SPERRY, Senior Union Representative
Engineers and Scientists of California
Local 20, IFPTE AFL-CIO & CLC
835 Howard Street, 2nd floor
San Francisco, CA 94103
415-543-8320
jsperry@ifpte20.org

JOHN J. HARRIS, ESQ.
Meyers, Nave, Riback, Silver & Wilson
333 South Grand Avenue Suite 1670
Los Angeles, CA 90071
213-626-2906
213-626-0215 (Fax)
jharris@meyersnave.com

I N D E X

<u>ITEM</u>	<u>PAGE</u>
Interview of Dennis Bosch	
By Mr. Gunther	9
By Mr. Fassett	10
By Mr. Shori	14
By Mr. Nicholson	20
By Mr. Chhatre	22
By Mr. Fassett	27
By Ms. Fabry	27
By Mr. Shori	30
By Mr. Fassett	32
By Ms. Fabry	32
By Mr. Nicholson	33

I N T E R V I E W

1
2 MR. CHHATRE: Good afternoon. Today is Monday, January
3 3rd, 2011. We are currently in Burlingame, California at the San
4 Francisco Airport Marriott. We are meeting in regards to the
5 investigation of the pipeline rupture in San Bruno, California
6 that occurred on September 9th, 2010. The NTSB accident number
7 for this investigation is DCA-10-MP-008. My name is Ravi Chhatre.
8 I am with the National Transportation Safety Board in Washington,
9 D.C. and I'm the investigator-in-charge of this accident.

10 I would like to start by notifying everyone present in
11 this room that we are recording this interview for transcription
12 at a later date. All parties will have a chance to review the
13 transcripts when they are completed.

14 Also, I would like to inform Mr. Dennis Bosch, is it --

15 MR. BOSCH: That's right.

16 MR. CHHATRE: -- that you are permitted to have one
17 other person with you during this interview. That person will be
18 of your choice. It can be a supervisor, a friend, a family member
19 or, if you choose, nobody at all.

20 Please state for the record your full name, spelling of
21 your name, contact information, such as phone number, e-mail and
22 postal mailing address, and whom you have chosen to be present
23 with you today during the interview.

24 MR. BOSCH: The gentleman sitting to my right.

25 MR. HARRIS: My name is John Harris. I'll be

1 representing Mr. Bosch at this proceeding.

2 MR. BOSCH: And my name is Dennis Vincent Bosch, D-E-N-
3 N-I-S, middle name Vincent, V-I-N-C-E-N-T, last name Bosch, B-O-S-
4 C-H. I'm with the City of San Bruno, Public Services, Wastewater
5 Collection Manager. My mailing address -- is the City of San
6 Bruno fine or do you wish my personal address?

7 MR. CHHATRE: No, office address is fine.

8 MR. BOSCH: 567 El Camino Real, E-L, next word Camino,
9 C-A-M-I-N-O, next word Real, R-E-A-L, City of San Bruno,
10 California 94066.

11 MR. CHHATRE: Okay. Now I'd like to go around the room
12 and have each person introduce themselves. Please state your
13 name, spelling, and the title and organization that you represent,
14 e-mail and phone number. We'll start with the City of San Bruno.

15 MR. CALDWELL: City of San Bruno. My name is Geoff
16 Caldwell, G-E-O-F-F, C-A-L-D-W-E-L-L. My e-mail is
17 gcaldwell@sanbruno.ca.gov. The phone number is 650-616-7100.

18 MR. DAUBIN: Brian Daubin, Pacific Gas and Electric,
19 engineering manager for Engineering and Support Services. E-mail
20 is bmd5@pge.com. Phone is 925-783-3622.

21 MR. FASSETT: Bob Fassett, PG&E, NTSB party
22 representative. For other details, please see the card I provided
23 earlier.

24 MS. FABRY: Klara Fabry, K-L-A-R-A, F-A-B-R-Y, San Bruno
25 Public Services Director, kfabry@sanbruno.ca.gov. Phone number is

1 650-616-7065.

2 MR. SHORI: Sunil Shori. I'm with the California Public
3 Utilities Commission, utilities engineer. My phone number is 415-
4 703-2407. My e-mail is SKS@cpuc.ca.gov.

5 MR. KATCHMAR: Peter Katchmar, United States Department
6 of Transportation, Pipeline and Hazardous Materials Safety
7 Administration, and I, too, gave a card.

8 MR. GUNTHER: Karl Gunther, NTSB, K-A-R-L, G-U-N-T-H-E-
9 R. E-mail is karl.gunther@NTSB.gov. Phone is 202-314-6478.

10 MS. MAZZANTI: Debbie Mazzanti, M-A-Z-Z-A-N-T-I,
11 International Brotherhood of Electric Workers, djmg@ibew1245.com.

12 MR. SPERRY: Joshua Sperry with the Engineers and
13 Scientists of California, Local 20, IFPTE. It's Joshua J-O-S-H-U-
14 A, Sperry, S-P-E-R-R-Y. I turned in my business card.

15 MR. NICHOLSON: Matthew Nicholson, M-A-T-T-H-E-W, N-I-C-
16 H-O-L-S-O-N, Engineer, NTSB. I can be reached at
17 matthew.nicholson@NTSB.gov.

18 MR. CHHATRE: Ravindra Chhatre. That's R-A-V-I-N-D-R-A,
19 C-H-H-A-T-R-E. I'm with the National Transportation Safety Board,
20 investigator-in-charge for this accident. My phone number is 202-
21 314-6644. E-mail is ravindra.chhatre@NTSB.gov.

22 MR. NARVELL: Rick Narvell, N-A-R-V-E-L-L, Human
23 Performance Investigator, NTSB. E-mail is narvellr@NTSB.gov.
24 Phone is 202-314-6422.

25 MR. HARRIS: Again, John Harris, law firm of Meyers,

1 Nave. My address is on the card I submitted to the investigator-
2 in-chief. My phone number is 213-626-2906.

3 MR. CHHATRE: Okay. Let's begin with Karl Gunther.

4 MR. GUNTHER: Okay.

5 INTERVIEW OF DENNIS BOSCH

6 BY MR. GUNTHER:

7 Q. And, Mr. Bosch, could you give me your job title and
8 affiliation?

9 A. My job title is collection services manager for the
10 Wastewater Division with the City of San Bruno Public Services
11 Department.

12 Q. And what's your formal education?

13 A. My formal education is high school, and I have a
14 Collection System Grade 4 in wastewater maintenance management.

15 Q. Okay. Were you involved with the work that was done to
16 replace the sewer in 2008?

17 A. No.

18 Q. Okay. What are your duties then?

19 A. My duties are normal daily operations and maintenance of
20 the collection system. If there are some questions that people
21 ask me I provide technical information.

22 Q. Question, at least in the accident area, they raised the
23 sewage from, I think, a 6-inch line to a 10-inch line or
24 something. Why was that upgrade made?

25 A. There was a volume conveyance problem. It wasn't able

1 to carry the amount of sewage from I&I from upstream in town, so
2 we needed to upsize it so that it could carry the sewage and so
3 there wouldn't be a spill.

4 Q. And does your -- and does also your sewage do your
5 wastewater or storm drain or whatever or is that something else?

6 A. Something else. The sewage system is just the sewer and
7 the storm system is separate.

8 Q. Okay. That's pretty much what I have.

9 MR. CALDWELL: No questions. Geoff Caldwell.

10 MR. DAUBIN: No questions.

11 MR. FASSETT: Bob Fassett, PG&E. Excuse me.

12 BY MR. FASSETT:

13 Q. So you handle sanitary as well as storm/sewer?

14 A. Just sanitary.

15 Q. Just sanitary.

16 MR. GUNTHER: Well, Mr. Bosch, that would be page 4
17 then. Thank you very much for that clarification.

18 BY MR. FASSETT:

19 Q. When was the sanitary sewer beneath Earl Avenue and
20 Glenview installed?

21 A. Originally or --

22 Q. Yes, originally.

23 A. That was probably back when they did a development. I
24 do not know the date or age to be exactly specific.

25 Q. That's okay. That will work. Just to confirm, we heard

1 that the diameter of the original sewer was 6-inch and you
2 upgraded to 10-inch, is that correct?

3 A. Yes.

4 Q. What were the -- do you know what the general or random
5 lengths of the original sewer pipe were?

6 A. I do not know exactly on that block. I mean it's
7 customary anywhere between 2 and 4 feet of clay, but I do not know
8 on that street.

9 Q. They're 2 to 4 feet random. What's the joint?

10 A. It's usually bell and spigot.

11 Q. Could you describe the performance or any problems
12 associated with sanitary sewer lines between Earl and Glenview
13 other than capacity. I got that one.

14 A. At that specific location of the intersection, none.

15 Q. Other than capacity there wasn't an issue, right?

16 A. Yeah.

17 Q. Could you describe the inspection and maintenance
18 history of the sanitary sewer lines under Earl and Glenview?

19 A. The only inspection that we would do is a random
20 inspection by two people on a truck and we would inspect that area
21 just because of the amount of flow or strategic placement in the
22 sense of other neighborhoods upline of that feeding through that
23 area, and they would just inspect it to make sure that the flow
24 was traveling normal and wasn't obstructed from anything.

25 Q. And how did they inspect it?

1 A. They opened up a manhole and looked down into the trough
2 of the pipe in the manhole.

3 Q. So there were no camera inspections?

4 A. Not that I know of, no.

5 Q. Some of these we've already answered, so I'm writing the
6 answers as I go.

7 A. No problem.

8 Q. When and how often was the sewer line invert surveyed?
9 I think you just said randomly, but --

10 A. Yeah. We did a manhole inspection I think after 2006 or
11 early part of 2007, so the manhole at that intersection would have
12 been assessed, just looked at.

13 Q. But you knew there was a capacity issue?

14 A. Yes.

15 Q. So what told you there was a capacity issue?

16 A. Oh.

17 Q. What was the issue that said this pipe's not big enough?

18 A. Basically after we had redone the -- I don't know if
19 you've heard of the Rollingwood Sewer Project, to deliver more
20 sewage farther downstream. We had an overflow due to the amount
21 of I&I which obviously let us know that --

22 Q. What's I&I?

23 A. Infiltration and inflow, water that gets in -- the
24 groundwater or rainwater that either by direct connection or
25 through any other means of getting into water coming through a

1 hole in a manhole, just water that gets into the sewer system that
2 is -- doesn't derive from sewage and, therefore, it overflowed
3 upstream from there, so we knew that we had to upsize the line.

4 Q. So is it reasonable to say the inflow is coming from
5 groundwater entering through the bell and spigot joints or some
6 hole in the integrity of that system?

7 A. Inflow could be coming in from anywhere.

8 Q. But one thinks of a sanitary system as a tight system.
9 Is that not a good assumption?

10 A. I wouldn't be able or have the experience to say that
11 that's true or untrue.

12 Q. So I think you answered this. My notes say according to
13 a presentation made to the City of San Bruno City Council on May
14 27th, 2008 that in January 2008 the sanitary sewer line reportedly
15 overflowed at Sneath and Earl during a rainstorm. What was the
16 cause of the overflow? That's what you said earlier, I believe it
17 was?

18 A. Yeah.

19 Q. Were inspections performed on the sanitary sewer line
20 following the overflow?

21 A. No.

22 Q. Were any remedial measures or repairs taken of the
23 sanitary sewer lines following the overflow?

24 A. No.

25 Q. Patches were observed -- patches in the pavement of

1 Glenview Drive were observed above the sanitary sewer line prior
2 to May of 2008. Patches are consistent with replacement of
3 asphalt pavement above a trench to expose the sanitary line. Do
4 you know when those repairs were performed?

5 A. There was no sewer repairs done in that intersection
6 with my knowledge, and I don't know of any asphalt work that was
7 done either. It wouldn't be my position to know.

8 Q. And you did no video surveys, is that correct?

9 A. No.

10 Q. Just to clarify, you were not involved in the 2008
11 sanitary sewer project?

12 A. I was never -- other than telling them at one point in
13 time that we have a conveyance issue I wasn't involved in it.

14 Q. Okay. Thank you.

15 MS. FABRY: I have no questions at this time.

16 MR. SHORI: Sunil Shori, California PUC.

17 BY MR. SHORI:

18 Q. The Rollingwood Sewer Project that you mentioned, this
19 is upstream then of Earl? Where exactly did that project center
20 in regard to where you had the sewer overflow, I guess, at Sneath
21 and Earl?

22 A. The Rollingwood Project, and there were several phases,
23 was from Sharp Park Road on Susan Drive down Skyline, and then I
24 believe terminated somewhere around the intersection of Sneath and
25 Skyline or by Sneath and Earl. There was other parts of it that

1 -- another direction separate from this neighborhood down
2 Claremont -- Catalpa Drive. And so -- but for your question, it
3 was just -- the part that was on Susan Drive and part down Skyline
4 Drive was the upstream part.

5 Q. So it would have been upstream of Sneath and Earl?

6 A. Yes.

7 Q. And why -- I guess does the system change diameter or
8 something at that location in terms of why would you have the
9 overflow there as opposed to farther down the line?

10 A. Because we had historically like a capacity issue
11 depending on how hard it would rain, so we did, and we also
12 upgraded a pump station farther down the line to mitigate all the
13 capacity.

14 Q. And where was that pump station located?

15 A. At Sharp Park Road.

16 Q. So generally it was bringing more flow in, plus you had
17 infiltration --

18 A. Yes.

19 Q. -- that was kind of compounding starting from what,
20 Sneath and Earl down?

21 A. Yes.

22 Q. When you have an infiltration -- I mean generally you
23 have outflow, too, through the same openings or where does --
24 where do you find -- if there is any such thing in terms of where
25 you have most of the problems where inflows -- at least on the

1 pipe that's in the ground, where do you find those occurring? Is
2 it on the top of the pipe, bottom of the pipe? Is it pretty much
3 anywhere it's a loose joint? Is there any commonality to where
4 you find more of your inflow situations?

5 A. If I can just request clarification. Are you talking
6 about inflow into the pipe. You know, in other words --

7 Q. Yeah. We mentioned earlier that you can have inflow
8 basically into the sewer system and it can occur from various
9 sources. It can occur from groundwater going into the -- going to
10 the sewer line. You can have it come through the -- flow
11 basically down the manhole and then, you know, find it's way
12 through that.

13 A. Right.

14 Q. I'm talking about -- as far as the pipe in the ground,
15 is that generally where you find the breaks or the failures in
16 terms of where inflow comes in?

17 A. So your question is is there one place more than another
18 where --

19 Q. Where --

20 A. -- inflow typically comes in?

21 Q. Yeah, generally for water that flows into the pipe
22 itself, not through the manhole, but into the pipe itself.

23 A. It could be, you know -- inflow could be at a joint.
24 Inflow could be on the laterals because laterals are closer in
25 depth to the top of the ground. If there's a high water table,

1 you know, it could be leaching through, you know, maybe a hairline
2 crack. I mean it's -- and I don't how to answer that question. I
3 mean inflow can come in from many different places. I don't
4 necessarily -- or it could be bad on a lateral, it could be bad on
5 a main. It could be bad on a main or it could be bad on a
6 lateral, so I mean I don't --

7 Q. And by lateral you're referring to the service
8 connections --

9 A. Yes. Yes, from individual properties.

10 Q. -- from the main to the homes?

11 A. Yeah.

12 Q. And as far as leaching out, if you have inflow, do you
13 generally also have outflow in the pipe in the ground or do you
14 find leakage?

15 A. It's possible, but I mean sometimes you can find some
16 discoloration around maybe like a joint, but it usually isn't -- I
17 can't really -- since I'm not a water quality expert or a
18 scientist I don't -- I can't necessarily say that that's leakage,
19 but I mean you see some discoloration, but it just could be from
20 -- I don't know. It could be just from the color of the ground or
21 the clay for that long.

22 Q. Okay. In regard to the project to replace the sewer
23 line at Earl and Glenview, you said you weren't involved with that
24 other than turning it over to them and saying, hey, we need more
25 capacity. But while that project was underway did you stop by,

1 did you have any opportunity to be at the site?

2 A. I stopped by once and I saw that they were pipe-bursting
3 and then I kept driving. I just kind of wanted to see it.

4 Q. What did you see while you were there on that one time?

5 A. I saw a black HDPE pipe sticking out of the ground, and
6 I believe I watched the contractor fuse it together once because I
7 found that interesting and I hadn't seen it before.

8 Q. What about excavations-wise, what kind of excavations
9 did you see at the site?

10 A. I didn't see anybody in the process of excavation. I
11 just saw where the lateral connections to the main -- you know,
12 the pothole sections where they have to -- I guess they bring the
13 pipe through and they have to reconnect. I saw open holes. That
14 was about it.

15 Q. So basically where you would have your lateral
16 takeouts --

17 A. Yes.

18 Q. -- off the main?

19 A. Yes.

20 Q. But as far as any other excavations between the end
21 points of where they might have brought the line in and where they
22 might have taken the line out, did you see any excavations there?

23 A. Didn't see it. I mean I knew that they were there, but
24 I didn't -- you know, one was at the other end of the block and
25 one was at the other end, and I don't remember what time in the

1 process I came by, but I didn't really -- you know, I didn't
2 really look.

3 Q. And when you saw the -- when the opportunity -- the one
4 opportunity you were there, you said you saw the bell holes, the
5 lateral connections. Were they -- was that already in phase of
6 those connections being made?

7 A. I didn't look down the holes. I simply got out of my
8 truck. I looked over. I saw that there was a couple of holes
9 open. I walked up. I seen the contractor where he had the tube
10 in the fusing machine. I don't know what you want to call it, but
11 -- and I said oh, this is how you do it and they said yeah, and I
12 said okay. And I said how's things going. They said good and I
13 said okay, have a nice day. I got in my truck and I left.

14 Q. Did this project entail -- then in addition to replacing
15 the existing sewer main with a polyethylene main were the laterals
16 also replaced with new laterals or how did --

17 A. No --

18 Q. No.

19 A. -- they were not replaced.

20 Q. Okay. So whatever existing laterals were there were
21 somehow --

22 A. Yeah.

23 Q. -- tied on to the new main?

24 A. Yes.

25 Q. And what's generally the material of your laterals? Is

1 there --

2 A. Existing is pretty much clay.

3 Q. And I guess there's a process where you're basically
4 transitioning the clay and laterals to the polyethylene?

5 A. Yeah. I mean you got to couple it somehow. I mean I
6 didn't watch them do it, but I mean normally if you have a -- you
7 can either put a saddle on the pipe and then -- you know, and then
8 either couple it with a band. I'm not sure what they did.

9 Q. That's it. Thank you.

10 MR. KATCHMAR: No questions.

11 MR. GUNTHER: No questions.

12 MS. MAZZANTI: No questions.

13 MR. SPERRY: Nothing.

14 MR. NICHOLSON: This is Matt Nicholson, NTSB.

15 BY MR. NICHOLSON:

16 Q. I've got some follow-up questions for you, Dennis. This
17 infiltration that we're talking about here, I'm just curious. How
18 do you know -- how did you determine it was infiltration? How do
19 you know it's not running water from a business? How did you
20 guys --

21 A. Because we only had a capacity issue in really bad
22 storms.

23 Q. And you can time it to the storms?

24 A. Oh, yeah.

25 Q. Okay.

1 A. Yeah.

2 Q. Do you ever -- I mean so after you determined that you
3 have infiltration and you timed it with the storms, do you ever go
4 out to look for -- was there a study then to find out where it's
5 entering during the storms or --

6 A. We've done a smoke test in one neighborhood that we
7 thought was a probability and it only came up, I believe -- from
8 my memory I think we only found two areas where -- you know, one
9 was coming up through a lateral in the grass, and I think one
10 maybe was coming out of a gutter pipe to a house, but --

11 Q. Okay.

12 A. And we didn't really -- we would -- kind of hoping we
13 would find something, but it was nothing.

14 Q. Nothing. And nothing in the Earl/Glenview area of --

15 A. No.

16 Q. Okay. Is this -- you're calling this a main. Is it a
17 force main or just gravity?

18 A. Just gravity.

19 Q. When you talk about these capacity problems, is it your
20 project, do you scope this project or does it go to an engineer?

21 A. Yeah. Basically in operations we say we have a problem,
22 and then I say this is the problem, you know, engineering, please
23 help us with this, and then pretty much it goes to engineering.
24 Like I said before, if you ask, you know, for technical
25 information that, you know, would maybe help one way or another I

1 provide that, but it pretty much goes to Engineering to take care
2 of it.

3 Q. Who would that be, who's the engineer?

4 A. The engineer that helped on this project, his name was
5 Wing Wong.

6 Q. We talked about -- someone mentioned were there previous
7 leaks in this area of Earl and Glenview and were any repairs done
8 because of a pavement patch and you said you wouldn't know if
9 those were performed.

10 A. As for just -- for typically an asphalt, like if it was
11 a pothole or something, I don't -- that's another manager. That's
12 the Street and Storm Water. So if it was a pothole or something I
13 wouldn't know. As for a repair, the only thing that's been done
14 in that area was the upsizing of the main that we're talking
15 about.

16 Q. Okay. That was the last work done?

17 A. That was the last work done, yes.

18 Q. Okay. That's all I have. Thanks.

19 MR. CHHATRE: Ravi Chhatre, NTSB. Let me ask a follow-
20 up question first.

21 BY MR. CHHATRE:

22 Q. You said that the last work done for the update was the
23 replacement of the I guess a ceramic sewer pipe (indiscernible)?

24 A. Yes.

25 Q. Was the only work that was done -- was there any other

1 past leak histories in that area that you had to go and repair or
2 fix?

3 A. Define the word leak.

4 Q. Meaning sewer coming out of the pipe.

5 A. Yeah. We had a vandalism, what we call a sanitary sewer
6 overflow, I'm sorry, in a manhole that was approximately, I don't
7 know, maybe 100 yards from that intersection where it was a locked
8 down manhole. We believe someone introduced a bunch of rocks
9 because we cleared the blockage and we got a bunch of rocks and
10 almost boulders there. It was a locked down mechanism. When we
11 found it the lock was missing, and so someone -- somehow they
12 vandalized it, cut the lock, and we believe threw something in
13 there, or at least there was rocks in there, I mean large size
14 rocks, so we got them out. That was in 2006. As part of that
15 whole scenario there was -- that overflow that happened, it made a
16 turn and goes out on Claremont and we got rocks out of those, so
17 it got it kind of pushed down.

18 Q. And that would be downstream --

19 A. Downstream.

20 Q. -- of the gas location?

21 A. Yes. I mean roughly -- you know, I don't have a meter,
22 but 100 yards maybe.

23 Q. Did I hear correctly that Glenview Drive after the
24 rupture going further north goes uphill?

25 A. Yeah.

1 Q. So would there be a leak, would that leak follow through
2 and come downhill towards the rupture location?

3 A. Well -- so Earl hits Glenview. Then Glenview goes up.

4 Q. Right.

5 A. Actually Glenview is like this, right?

6 Q. Right, exactly.

7 A. The sewer goes towards the canyon where there used to be
8 a park --

9 Q. Okay.

10 A. -- and then turned through two houses on the
11 Claremont ---

12 Q. Okay.

13 A. -- and then hits Claremont and then turns down and goes
14 down the canyon through that way.

15 Q. Okay. So it doesn't have too much of a downflow, I
16 guess, slope if you would?

17 A. Oh, no, it's got -- it moves at a --

18 Q. Okay.

19 A. -- a good rate of speed, yeah.

20 Q. And how would you typically know there's a leak in your
21 sewer system short of things showing up on the street?

22 A. Basically there's -- the only two ways that we know of a
23 overflow is either by our crew catching it or by a call from the
24 public.

25 Q. But how do you differentiate when the water flow is

1 exiting your pipe in a crack of some sort?

2 A. The only time there's going to be an overflow is if
3 there is -- the pipe surcharges, and then the level inside the
4 manhole or the pipes start feeding, and then so it eventually, you
5 know, comes out and overflows out of a manhole. It's not like a
6 water main where if it's -- since it's pressurized all the time it
7 forces water up through the ground, up through the asphalt, up
8 through the concrete, up through the grass, whatever. Mostly the
9 leaks come up through a manhole or they back-feed up a service
10 lateral.

11 Q. Okay.

12 A. Yeah.

13 Q. But you don't have any leaks where the pipe had cracks
14 where the sewage is leaking in the ground?

15 A. There's nothing -- there's been no -- a time or a water
16 quality sample or whatever where -- or a soil sample taken that
17 would prove that that's happened.

18 Q. And is that true in the rupture location also --

19 A. That's --

20 Q. -- no leaks?

21 A. No. There was -- no, no.

22 Q. What is typically the size of a lateral coming from the
23 homes?

24 A. Four-inch.

25 Q. So 4-inch lateral and 6-inch main in the past?

1 A. Yes.

2 Q. And 4-inch lateral and 10-inch main now?

3 A. Eight or 10-inch, yeah.

4 Q. But the replaced pipe at the rupture location is
5 damaged?

6 A. Yes.

7 Q. Can you give us some information about yourself, like
8 formal education that you have?

9 A. Okay. I went to private high school. I went to private
10 grammar school, went to -- I'm a former police officer. I'm still
11 a current reserve police officer with the City of San Bruno. I've
12 been to multiple technical schools for sewer pump maintenance and
13 other kind of maintenance-related industry standards and best
14 management practices. I hold a Grade 4 collection system
15 management certificate with the California Water and Environment
16 Association, and -- that's pretty much it I guess.

17 Q. Okay. I think you mentioned that earlier. I just asked
18 it just one more time. And how many years you are with the City?

19 A. All told, I started my 21st year in October.

20 Q. So you joined in --

21 A. October 15th, 1990.

22 Q. Okay. That's all I have. Thank you so much.

23 A. No problem, sir.

24 MR. CHHATRE: Any follow-up questions?

25 MR. FASSETT: Just one follow-up question in regards to

1 the project at Earl and Glenview.

2 BY MR. FASSETT:

3 Q. You had said that you had realized that there was a
4 capacity issue after the Rollingwood Sewer Project, is that
5 correct?

6 A. Yes.

7 Q. And then -- but wasn't the change order that put that in
8 associated with Rollingwood Sewer Project?

9 A. Okay. So --

10 Q. I mean from what I understand. I mean it was something
11 that we did, I believe, I'm not sure, but I mean under that name.

12 A. So prior to the Rollingwood Project being finalized and
13 closed out there was a change order issued based upon what was
14 known from the work that was done prior to that?

15 Q. I'm not sure when the Rollingwood project was finalized,
16 but it was done, I believe, as part of that, yeah.

17 A. I have no further questions.

18 MS. FABRY: Klara Fabry. Dennis, if you could just
19 clarify. You have in -- you had, you said, a sketch of the
20 intersection. If you can just show on that map where that sewer
21 overflow, vandalism overflow, that you had referred to is located.

22 MR. CHHATRE: And, Dennis, if you would please use a
23 different sheet?

24 MR. BOSCH: Yeah. This is the, I don't know, rough
25 sketches, kind of like -- I want to call that the soil of the

1 canyon. So the crater's here. The manhole's here. The sewer
2 line comes down Earl. The 6-inch sewer comes in this way. The
3 10-inch then goes across, and there used to be like a little park,
4 play swing structure.

5 MR. CHHATRE: Can you please write down the sizes on
6 that sketch, 6-inch, 6-inch, 10-inch?

7 MR. BOSCH: This is a, yeah, 6-inch clay; 10-inch, 10-
8 inch.

9 MR. CHHATRE: Clay?

10 MR. BOSCH: No. This is HDPE. So it goes to a manhole.
11 Then it goes farther back, maybe a 10-inch HDPE.

12 MR. CHHATRE: For the record, can you spell what HDPE
13 stands for?

14 MR. BOSCH: Height density polyethylene.

15 MR. CHHATRE: Okay.

16 MR. BOSCH: Do you want me to write that out?

17 MR. CHHATRE: No. It's so the transcriber will know
18 what that is.

19 MR. BOSCH: Oh, I got it, okay, yeah. Yeah,
20 polyethylene I might have had a problem with. Okay, so here we
21 go. There are or there was a house. I'm not sure what the
22 addresses are. And so the sewer line hits there, goes here, goes
23 here, and this is where we had the -- that's where we had the
24 vandalism SSO, sanitary sewer overflow, and I can't remember the
25 exact date, but it's 2006, maybe April 2006.

1 UNIDENTIFIED SPEAKER: Can I ask that you put the
2 direction of flow?

3 MR. BOSCH: Yeah, no problem. So let's do this. Is
4 that good? Sorry, if that's not too legible.

5 UNIDENTIFIED SPEAKER: And can you label north on there,
6 too, please?

7 MR. BOSCH: North would be something like --

8 MR. CHHATRE: It should be going --

9 MS. FABRY: No.

10 MR. BOSCH: No?

11 UNIDENTIFIED SPEAKER: Yeah, you're right.

12 MR. CHHATRE: Yeah.

13 UNIDENTIFIED SPEAKER: He's getting supremely technical.

14 MR. CHHATRE: Now that you have done such a good job
15 here would you mind putting the date and your initials so we can
16 put in the document?

17 MR. BOSCH: Yeah, no problem.

18 MS. FABRY: Thank you. I have no more questions.

19 MR. BOSCH: 1/3/11.

20 MR. CHHATRE: Okay.

21 UNIDENTIFIED SPEAKER: You want to autograph the bottom?

22 MR. BOSCH: Just as long as you don't put it in C-SPAN.

23 MR. CHHATRE: Okay. Go ahead.

24 MR. SHORI: I have one follow-up.

25 MR. CHHATRE: Identify.

1 MR. SHORI: It's Sunil Shori, California PUC, and that's
2 Public Utilities Commission.

3 BY MR. SHORI:

4 Q. You talked about the manhole that was assessed and I
5 forget -- I didn't catch what year it was, and can you talk about
6 which manhole you were referring to as far as you having assessed
7 it?

8 A. Well, every manhole in town was.

9 Q. In what year now?

10 A. Late '06, early -- some part of '7. I mean it just
11 depends on what time the guys actually rolled out there and
12 canvassed that particular neighborhood.

13 Q. And that's -- what frequency do you do that kind of
14 maintenance, is it an annual, is it --

15 A. That was the first time that we had done something like
16 that, and I'm assuming that we're going to do it in the future
17 again. I don't know what the level of revisiting it would be.

18 Q. And, again, just so I have it clear, so what
19 necessitated it then as opposed to previous years?

20 A. Well, basically as best management practices for the
21 industry had kind of ramped up -- we hadn't done something like
22 that before. We also wanted to make sure that we had no cross-
23 connections between sewer and storm because it was prevalent in
24 the sewer industry that if you had a construction back in
25 whenever, the '30s, '40s, '20s, '50s, that if you had a sewer that

1 it could possibly surcharge. Instead of having it come up over
2 into -- you know, up in the ground it would then flow down a pipe
3 to a storm drain system. So that's against the law now, so we
4 also wanted to make sure that we had -- make sure that we had
5 crossed -- we had captured and stopped all cross-connections.

6 Q. And then, again, as finding all those -- or any existing
7 cross-connections of that type, you basically physically would
8 have to go in the hole and --

9 A. Right.

10 Q. -- run cameras to figure out what the sources are or how
11 do you make that determination?

12 A. We do a dye test, introduce water. You know, if we saw
13 a pipe kind of at a higher elevation, because I mean sewers are
14 usually at the bottom unless there's like a drop-in or something,
15 but if it's a sewer there's usually something running, you know,
16 most of the time. If we saw a pipe that didn't look right we'd
17 stick a hose down it, and then we'd go to the next surrounding
18 storm drains and listen for water or watch water come in or not.
19 So we've got all of the ones that we know about and I feel
20 confident that we have.

21 Q. And so at this stage it's an annual inspection then for
22 you folks to do this going forward?

23 A. Yeah. I mean we do annual inspections for lots of
24 different reasons. Sewers can carry anything, you know, G.I. Joe
25 dolls to other things that people want to flush down the toilet,

1 so we just want to make sure -- to guarantee that our system is
2 working accurately and that there's not an overflow that, you
3 know, could be bad for the public.

4 Q. Okay. Thank you very much.

5 MR. CHHATRE: Any other follow-up questions?

6 MS. FABRY: Klara Fabry.

7 MR. CHHATRE: Bob?

8 MR. FASSETT: Bob Fassett, PG&E.

9 BY MR. FASSETT:

10 Q. You mentioned the sanitary sewer overflow. I didn't
11 catch what date you said that was.

12 A. It was in '06. I can't remember --

13 Q. Somewhere in '06?

14 A. Yeah.

15 Q. And which of those manholes actually overflowed?

16 A. This manhole right here, and I would say -- I said a
17 hundred yards. I don't exactly know, but I mean it's a good
18 distance.

19 Q. That's off Claremont?

20 A. Yeah. So this is --

21 Q. Okay. Thank you.

22 MS. FABRY: Klara Fabry.

23 BY MS. FABRY:

24 Q. As far as this ongoing video inspection project, did you
25 do any inspection -- did you do an inspection for this area?

1 A. The project encompassed the entire town. The line on
2 Earl hasn't been done just because it was brand new, and I can't
3 remember if we've done anywhere else in that area to this point.

4 Q. Thank you.

5 MR. CHHATRE: Any other questions? If, not --

6 MR. NICHOLSON: I've got one.

7 MR. CHHATRE: Okay. Identify.

8 MR. NICHOLSON: Matt Nicholson, NTSB.

9 BY MR. NICHOLSON:

10 Q. Since the line size increase project have you had any
11 more over capacity issues or over -- you know, low capacity or --

12 A. Yeah. Non-conveyance? No.

13 Q. No. So that corrected it?

14 A. Yes.

15 Q. Okay. Even during storms?

16 A. Even during storms.

17 Q. That's all. Thank you.

18 MR. CHHATRE: Any other questions? If not, thank you so
19 much for your time --

20 MR. BOSCH: Not a problem. Thank you.

21 MR. CHHATRE: -- and your help in this investigation.

22 MR. BOSCH: Not a problem. Thank you.

23 MR. CHHATRE: Off the record.

24 (Whereupon, the interview was concluded.)

25

CERTIFICATE

This is to certify that the attached proceeding before the
NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF: PACIFIC GAS & ELECTRIC COMPANY
 SEPTEMBER 9, 2010 ACCIDENT
 SAN BRUNO, CALIFORNIA
 Interview of Dennis Bosch

DOCKET NUMBER: DCA-10-MP-008

PLACE: Burlingame, California

DATE: January 3, 2011

was held according to the record, and that this is the original,
complete, true and accurate transcript which has been compared to
the recording accomplished at the hearing.

Cheryl L. Phipps
Transcriber