

**Docket No. SA-534**

**Exhibit No. 2-BH**

**NATIONAL TRANSPORTATION SAFETY BOARD**

**Washington, D.C.**

INTERVIEW OF RICHARD C. BROWN, PG&E  
(JAN-5-2011)

(31 Pages)

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

\* \* \* \* \*

Investigation of:

\*

\*

PACIFIC GAS & ELECTRIC COMPANY

\*

SEPTEMBER 9, 2010, ACCIDENT

\* Docket No.: DCA-10-MP-008

SAN BRUNO, CALIFORNIA

\*

\*

\* \* \* \* \*

Interview of: RICHARD C. BROWN

Marriott Hotel  
San Francisco Airport  
1800 Bayshore Highway  
Burlingame, California 94010

Wednesday,  
January 5, 2011

The above-captioned matter convened, pursuant to  
notice.

BEFORE: RAVINDRA CHHATRE  
Investigator-in-Charge

## APPEARANCES:

RAVINDRA M. CHHATRE, Investigator-in-Charge  
National Transportation Safety Board  
490 L'Enfant Plaza East, S.W.  
Washington, D.C. 20594  
202-314-6644  
ravindra.chhatre@ntsb.gov

MATTHEW R. NICHOLSON, Accident Investigator  
Office of Railroad, Pipeline and Hazardous Materials  
Investigations  
National Transportation Safety Board  
490 L'Enfant Plaza East, S.W.  
Washington, D.C. 20594  
202-314-6468  
matthew.nicholson@ntsb.gov

LAWSON F. NARVELL, JR., Investigator  
Human Performance Group  
National Transportation Safety Board  
490 L'Enfant Plaza East, S.W.  
Washington, D.C. 20594  
202-314-6422  
narvelr@ntsb.gov

KARL GUNTHER, Pipeline Accident Investigator  
National Transportation Safety Board  
490 L'Enfant Plaza East, S.W.  
Washington, D.C. 20594  
202-314-6578  
karl.gunther@ntsb.gov

GEOFFREY J. CALDWELL, Police Sergeant  
City of San Bruno Police Department  
Police Plaza  
1177 Huntington Avenue  
San Bruno, CA 94066  
650-616-7100  
gcaldwell@sanbruno.ca.gov

## APPEARANCES (Cont.):

BRIAN DAUBIN, Manager  
GT&D Gas Engineering  
Pacific Gas & Electric Company  
375 North Wiget Lane  
Walnut Creek, CA 94598  
925-974-4210  
bmd5@pge.com

ROBERT FASSETT, Director  
Integrity Management and Technical Services  
Pacific Gas & Electric Company  
375 North Wiget Lane  
Walnut Creek, CA 94598  
925-974-4210  
rpf2@pge.com

CONNIE JACKSON, City Manager  
City of San Bruno  
567 El Camino Real  
San Bruno, CA 94066-4299  
650-616-7056  
cjackson@ci.sanbruno.ca.us

KLARA FABRY, Public Services Director  
City of San Bruno  
567 El Camino Real  
San Bruno, CA 94066-424  
650-616-7065

SUNIL K. SHORI, Utilities Engineer  
State of California Public Utilities Commission  
505 Van Ness Avenue, 2nd Floor  
San Francisco, CA 94102-3298  
415-703-2407  
sks@cpuc.ca.gov

PETER J. KATCHMAR, Accident Coordinator  
Pipeline Safety Program  
Pipeline and Hazardous Materials Safety Administration  
U.S. Department of Transportation  
12300 West Dakota Avenue, Suite 110  
Lakewood, CO 80228  
303-807-8458  
peter.katchmar@dot.gov

## APPEARANCES (Cont.):

DEBBIE MAZZANTI, Business Representative  
International Brotherhood of Electrical Workers  
Local 1245  
30 Orange Tree Circle  
Vacaville, CA 95687  
415-517-0317  
djmg@ibew1245.com

JOSHUA SPERRY, Senior Union Representative  
Engineers and Scientists of California  
Local 20, IFPTE AFL-CIO & CLC  
835 Howard Street, 2nd floor  
San Francisco, CA 94103  
415-543-8320  
jsperry@ifpte20.org

DANE B. JAQUES, Esq.  
Dombroff, Gilmore, Jaques & French  
1676 International Drive, Penthouse  
McLean, Virginia 22102  
703-336-8709  
djaques@dglitigators.com

<u>ITEM</u>	<u>I N D E X</u>	<u>PAGE</u>
Interview of Richard C. Brown:		
By Mr. Gunther		8
By Ms. Jackson		9
By Mr. Shori		9
By Ms. Fabry		14
By Mr. Sperry		15
By Mr. Nicholson		16
By Mr. Chhatre		19
By Ms. Fabry		26
By Mr. Shori		26
By Mr. Gunther		26
By Mr. Chhatre		29



1 around the room and have each person introduce themselves, their  
2 names, spelling, title, organization, contact information, and  
3 phone number, starting with the City.

4 MR. CALDWELL: City of San Bruno. My name is Geoff  
5 Caldwell. My information is on the card provided.

6 MR. DAUBIN: Brian Daubin, PG&E. My information is on  
7 the card provided.

8 MR. FASSETT: Bob Fassett, PG&E. Information is on the  
9 card provided.

10 MS. JACKSON: Connie Jackson, City of San Bruno. My  
11 information is on the card.

12 MR. FABRY: Klara Fabry, City of San Bruno. Information  
13 is on the card.

14 MR. SHORI: Sunil Shori, California Public Utilities  
15 Commission. My information is on the card provided.

16 Mr. KATCHMAR: Peter Katchmar, U.S. DOT, Pipeline  
17 Hazardous Materials Safety Administration, PHMSA, and my  
18 information is on the card.

19 MR. GUNTHER: Karl Gunther, NTSB, Operations Group  
20 Chairman, karl.gunther@ntsb.gov. Phone (202) 314-6478.

21 MS. MAZZANTI: Debbie Mazzanti, IBEW Local 1245. My  
22 information is on the card.

23 MR. SPERRY: Joshua Sperry, Engineers and Scientists of  
24 California, Local 20, IFPTE. My information has been provided.

25 Mr. NICHOLSON: Matthew Nicholson, NTSB. It's spelled

1 Matthew, M-a-t-t-h-e-w, Nicholson, N-i-c-h-o-l-s-o-n. I can be  
2 reached at matthew.nicholson@ntsb.gov.

3 MR. CHHATRE: Ravindra Chhatre. I'm with NTSB. My  
4 email is ravindra.chhatre@ntsb.gov. Phone number (202) 314-6644.

5 Mr. NARVELL: Rick Narvell with Human Performance  
6 Investigator with NTSB. Phone is (202) 314-6422, email is  
7 narvelr@ntsb.gov.

8 Mr. JAQUES: Dane Jaques on behalf of the witness and my  
9 information is on the card.

10 MR. GUNTHER: Carl Gunther, NTSB.

11 INTERVIEW OF RICHARD C. BROWN

12 BY MR. GUNTHER:

13 Q. Would you please give me your job title and your  
14 affiliation?

15 A. I'm Manager, Transmission System Planning and Gas  
16 Planning Support. I work for Pacific Gas & Electric Company.

17 Q. And what are your credentials or degrees or anything?

18 A. I have a bachelor of science degree in mechanical  
19 engineering.

20 Q. And what are your duties?

21 A. I manage a group of 15 engineers and we perform  
22 hydraulic analysis on the gas transmission system.

23 Q. Were you involved in anything with the accident or what  
24 did you do, let's say, on the day of the accident?

25 A. I was called in the evening and I was told there was a

1 line break, and I contacted the planning engineer that's  
2 responsible for the area, and he had already been, I think,  
3 contacted by Gas Control. I responded to Walnut Creek and went in  
4 to the Walnut Creek Gas Restoration Center.

5 MR. GUNTHER: Okay.

6 MR. CALDWELL: Chip Caldwell, City of San Bruno. No  
7 questions at this time.

8 MR. DAUBIN: No questions.

9 MR. FASSETT: No questions.

10 MS. JACKSON: Connie Jackson, City of San Bruno.

11 BY MS. JACKSON:

12 Q. Do you recall an approximate time of that telephone  
13 call?

14 A. I'm sorry, time of --

15 Q. Time of the telephone call.

16 A. I'll have to think about that. It was probably around  
17 6:30, something like that. I was at my son's hockey practice and  
18 I got the call. I think it was around 6:30.

19 MS. JACKSON: Thank you.

20 MS. FABRY: No questions.

21 MR. SHORI: Sunil Shori with the California Public  
22 Utilities Commission.

23 BY MR. SHORI:

24 Q. Who is the Planning Engineer for the area, the peninsula  
25 area involving Line 132?

1 A. Jason Reider.

2 Q. Can we get a spelling?

3 A. J-a-s-o-n, R-e-i-d-e-r.

4 Q. In terms of flow modeling on the system, do you oversee  
5 that as far as whatever Mr. Reider would be doing in terms of flow  
6 modeling on the peninsula system, and would he also be assigned  
7 132? Is he basically assigned the entire peninsula area then as  
8 far as his planning?

9 A. To answer your second question, yes, he is assigned the  
10 peninsula system. Can you repeat the first part of your question,  
11 please?

12 Q. Yeah, flow modeling. In terms of pressure modeling,  
13 flow modeling on either of the lines, on basically let's just talk  
14 about Lines 109, 101 and 132. Is there a particular flow model  
15 that the company uses for flow modeling purposes?

16 A. The flow model that we use at the peninsula, local  
17 transmission system model.

18 Q. Is there a software that can basically plan out flows  
19 and pressures. What is that?

20 A. Cinergy.

21 Q. Has any flow modeling been done since the incident in  
22 regard to perhaps trying to determine pressures throughout the  
23 system during the event?

24 A. Yes.

25 Q. And who performed them?

1           A.    During the event I had another engineer do that work,  
2   Darin Jones.

3           Q.    And what did that flow modeling reveal in terms of was  
4   there a report generated for that?  What was the outcome of that  
5   modeling and how was that modeled?  Let's talk about that for a  
6   minute.  What kind of modeling was performed?

7           A.    I'm not sure I understand.  Can you be a little more  
8   specific on what you mean by that?

9           Q.    Yeah.  In terms of as far as what transpired throughout  
10  the event in terms of flow conditions throughout the event, has  
11  that been modeled?

12          A.    Yes, the system was modeled, basically to determine the  
13  amount of gas that was lost in the air.  That was one of the  
14  requests we had.

15          Q.    What are the capabilities of that Cinergy, you said?

16          A.    Cinergy.

17          Q.    Okay.  Basically if one wanted to model various  
18  characteristics of the system in terms of to determine pressures,  
19  are all the inputs, all the features of that peninsula system  
20  already modeled out as part of that process?

21          A.    The physical system is in the model, along with the  
22  customer demands and the pipe and equipment, and all that can be  
23  modeled, pressures and flows can be modeled.

24          Q.    And all that can be done basically changing whatever  
25  conditions, cross ties, valves, and basically contains the model.

1 How long does that take basically to basically model different  
2 varying conditions to simulate flow conditions and pressures?

3 A. Well, that depends very much what you're trying to look  
4 at. It just depends on the scenario you're trying to model.

5 Q. As far as the physical model for the system prior to the  
6 incident and based on whatever condition changes, whatever  
7 facility changes have taken place, is that kind of two distinct  
8 snapshots? Are those available as two distinct snapshots within  
9 the modeling process? Would you like me clarify the question a  
10 little bit.

11 A. Yeah, please. I'm not sure I --

12 Q. If any new facilities have been added onto the system,  
13 we've got certain valves that are now closed, so the system is  
14 different facility-wise than what existed prior to the incident.  
15 So if one wanted to model what the conditions are today versus  
16 what they were prior to the event, and also to perhaps model  
17 different flow conditions with changes, that could be done?

18 A. Yes.

19 Q. And so essentially has there been any effort to model  
20 based on the pressures that were observed during the event, what  
21 the pressures might have been at the incident location to better  
22 define what the pressures were at the incident location, or flow,  
23 flow rates at the incident location? At the incident location?

24 A. Yes.

25 Q. Based on that modeling, what pressure has been

1 determined that existed at -- potentially based on the model that  
2 existed at the incident location?

3 A. I don't recall the exact number. It was done, as I  
4 said, as part of a gas loss calculation. So I don't recall the  
5 exact number.

6 MR. FASSETT: Bob Fassett, PG&E. The NTSB has that  
7 information. It was provided in one of the earliest requests.

8 BY MR. SHORI:

9 Q. Was there a report generated for that modeling besides  
10 just having that number provided?

11 A. I'm not sure if we saved the actual output of the file,  
12 because we did a lot of modeling. What I do know is the gas loss  
13 calculation was provided and there was a data request that we  
14 answered regarding what the pressure at the event location was.

15 Q. As far as flow conditions or flow rates at that line,  
16 was that also part of that model, part of the results of that  
17 modeling?

18 A. Yes.

19 Q. And I'm not sure if that was provided as part of the  
20 response.

21 A. I recall we provided some flow rates at the location,  
22 right at the time of the event and prior to the event.

23 MR. SHORI: I think I'll go ahead and wrap it up. I'll  
24 pass for now. I may come back. Thank you.

25 MS. FABRY: Klara Fabry. Just one follow-up question to

1 your question.

2 BY MS. FABRY:

3 Q. Cinergy is a planning model, a prospective model, or you  
4 can use for operation of solutions for alternative also?

5 A. I'm sorry, I didn't quite hear the last part.

6 Q. How you can use this model? You can use prospectively,  
7 developing planning alternative, or if you see let's say in the  
8 control center, the transmission coordinator sees some problem in  
9 the system, you can quickly develop some alternative solution,  
10 what you could do or what they can do to address the problem?  
11 This is an operational model or a planning model?

12 A. You can do some support for emergencies. You have some  
13 limitations how quickly you can do that, because you have to get  
14 all the input values into the model quickly, and that can take a  
15 fair amount of time, depending on the situation. Generally we use  
16 it for more alternative analysis, after-the-fact analysis.

17 Q. You don't have -- the system doesn't have the capability  
18 to input the existing data in a very -- with a connection between  
19 the systems to input that data and you can come up with an  
20 alternative in a very short time?

21 A. No, it doesn't have that functionality.

22 MS. FABRY: Okay.

23 MR. SHORI: No questions.

24 MR. KATCHMAR: No questions.

25 MS. MAZZANTI: No questions.

1           MR. SPERRY: Joshua Sperry, Engineers and Scientists of  
2 California, Local 20. One or two questions.

3           BY MR. SPERRY:

4           Q. In the Cinergy model, where did the characteristics for  
5 the pipes and equipment come from, the values for those  
6 characteristics?

7           A. Well, I think we have -- I'd have to check to be sure,  
8 but most of the information is going to come from GIS.

9           Q. The gas map records?

10          A. It can come from gas map records, those kinds of --  
11 basically both written records and electronic records, and we use  
12 both of those.

13          Q. Okay. And if the information that was -- the input was  
14 incorrect, the model, you would have no way of detecting that?

15          A. No, that's not correct.

16          Q. How so?

17          A. Well, because when we run our models, we actually  
18 calibrate them against actual conditions. In particular, cold  
19 days, which is when the demand on the system is highest. We check  
20 our models against the cold days, to make sure that they're  
21 reasonably accurate. And if we had a gross error in there, that  
22 would show up and we'd be able to find it and remedy it.

23          MR. SPERRY: Okay, thank you. That's all.

24          MR. NICHOLSON: Matt Nicholson, NTSB. Got some  
25 questions for you, and I'll follow up with that one.

1 BY MR. NICHOLSON:

2 Q. So when you're comparing your model to actuals, what  
3 tolerance are you looking for in acceptance on flow or pressure?

4 A. Well, it depends on what you're trying to solve, but  
5 generally we try to get pressures within about five percent at low  
6 pressure locations.

7 Q. Is that typically what you're calibrating against is  
8 pressures, not flows?

9 A. Both.

10 Q. Both. Flows, is it also five percent?

11 A. Approximately five percent, yeah.

12 Q. So you said this is a Cinergy system and I just want to  
13 clarify, because I think Klara was trying to get to this. It's  
14 not a real-time system that runs in parallel with SCADA and  
15 imports SCADA data to it?

16 A. That's correct, it's not a real-time system.

17 Q. You have to manually take off line.

18 A. Yes, it's off line.

19 Q. So is it capable of transient models?

20 A. Yes.

21 Q. Okay. I believe that Cinergy does offer the ability to  
22 run at real time, do they not?

23 A. Yes. Well, the company offers a product, an Alan  
24 product, that has a capability, but --

25 Q. PG&E has decided not to use that because why?

1 A. I'm not sure why we have not done that.

2 Q. I was curious about modeling the rupture. How  
3 exactly -- did you model the rupture, is that what you did?

4 A. Yeah, we modeled. We were asked to model the amount of  
5 gas that was lost to the atmosphere.

6 Q. And how did you go about doing that?

7 A. We basically modeled the rupture with a valve, so we put  
8 a valve in. We used actual SCADA data from the event, and we  
9 adjust the valve parameters, and essentially the valve constant  
10 and the valve size, so that the pressures and flows in the model  
11 match up with the actual pressures and flows in SCADA.

12 Q. So is this a valve open to atmosphere or just a valve on  
13 a closed line?

14 A. It's a valve opened to atmosphere. It's acting like a  
15 demand on the system.

16 Q. So you put in a CV value for that valve?

17 A. Yes, we adjust the CV and the size until we get it to  
18 match actual data.

19 Q. What actual data were you then comparing it to?

20 A. The pressures and flows from our SCADA system.

21 Q. At Milpitas?

22 A. At various -- the system has pressures and flows across  
23 the entire system, so we looked at all of the pressures and flows,  
24 in particular the pressures and flows, you know, upstream and  
25 downstream of the rupture were the most important ones to watch.

1 Q. And the information provided to the NTSB includes all of  
2 those parameters, CV's and -- what was --

3 A. I don't know that we provided that information. I think  
4 we provided the gas loss calculation and what the volume was as  
5 far as I know.

6 Q. I want to go back to the time line. Maybe this was the  
7 end of it, I'm not sure, but the last thing I heard was, "I  
8 responded to Walnut Creek and went into the Walnut Creek  
9 Restoration Center." What is that and what did you do from there?

10 A. Well, I was just helping with the general response of  
11 the event, any of the issues that were coming up.

12 Q. What is the Walnut Creek Restoration -- I'm not  
13 familiar.

14 A. Well, it's actually our Walnut Creek offices. We use  
15 that location as a place to come together as a team to deal with  
16 emergencies like this.

17 Q. A war room, is that what it was?

18 MR. FASSETT: Well, we don't -- Bob Fassett, PG&E. When  
19 the incident happened, the company went into Incident Command  
20 Structure. The Pipeline Restoration System is an element of the  
21 Incident Command Structure.

22 MR. NICHOLSON: Okay, thank you. That's all I have for  
23 now.

24 MR. CHHATRE: Ravindra Chhatre. You probably said it or  
25 maybe I wasn't here or maybe I didn't hear you right. What --

1 Ravi Chhatre, NTSB.

2 BY MR. CHHATRE:

3 Q. What are your typical daily responsibilities?

4 A. I manage a group of 15 engineers, as I mentioned.

5 Q. Can you elaborate more, what?

6 A. Set work priorities, set job priorities, deal with  
7 questions that come from my supervisors or my supervisors'  
8 supervisors, oversee some of the work to a certain level, manage  
9 performance, get feedback. I manage the work that comes into the  
10 group, determine who to assign the work to.

11 Q. In this process do you review any documentation or  
12 report or so many reports, for accuracy, that comes from your  
13 staff? Is that part of your job function or not?

14 A. Yes, I review at generally a higher level, provide  
15 oversight of the work, and look at the results.

16 Q. Okay. Does somebody to you -- check the accuracy of the  
17 product that comes out of your department?

18 A. I have one supervising engineer that reports to me, and  
19 he will review some of the work. We also have multiple locations,  
20 so we do a lot of peer review, so we have, you know, a series of  
21 three engineers in two different locations, and we generally do  
22 some peer review work also.

23 Q. So this particular analysis that was performed to check  
24 the volume lost, who checked that for accuracy?

25 A. Which particular analysis are you referring to?

1 Q. I guess you performed hydraulic analysis, fuel analysis  
2 of the rupture, who estimated gas lost. Question one is who did  
3 that and who reviewed the calculation for accuracy?

4 A. The engineer who performed it was Darin Jones. There  
5 was no review of his work.

6 Q. Was that reviewed afterwards, as we speak today, between  
7 when the report was done, sometime in September? Question is has  
8 anybody gone back from when the report was prepared until today to  
9 just double check and make sure the numbers on these are accurate?

10 A. It was reviewed by Darin himself.

11 Q. Right, but --

12 A. Nobody else has gone through it and double checked his  
13 work.

14 Q. Is that the process, the person who does the work  
15 reviews his work and issues the report? The typical process is to  
16 have a peer review of the product that comes out of --

17 A. Well, it depends. It depends what the work product is.  
18 It depends on the workload we have and other questions that are  
19 coming in. We don't review -- peer review every bit of  
20 information and every analysis comes out of my group.

21 Q. I guess you assign the priority as to the products  
22 should be reviewed or should not be reviewed; is that correct,  
23 supervise it?

24 A. Yes, within the constraints of available resources, yes.

25 Q. In your opinion, this particular product, did or did not

1 require some type of cross check, if you would, and peer review to  
2 make sure the numbers are correct? And I'm not saying they're not  
3 accurate.

4 A. I understand. No, I didn't feel it needed to be done,  
5 based on the engineer that I had do the work.

6 Q. At your level are you involved in Integrity Management  
7 program, either by input or by committee member or any other  
8 capacity?

9 A. No.

10 Q. Does Integrity Management seek your input on certain  
11 items on occasion?

12 A. Yes.

13 Q. Can you elaborate on what I guess types of input they  
14 seek and you give?

15 A. Mainly to do clearances in order to perform integrity  
16 work, so we'll take -- they'll need to do some operations or  
17 changes in operations to the pipeline system in order to do  
18 integrity work, whether it be direct assessment, IOI, and we run  
19 models of the system to determine -- to meet their needs for the  
20 clearances.

21 Q. Do you have any input as to where they do the ILI  
22 inspections or digs?

23 A. No.

24 Q. Do you have any feedback going to you -- CIS, I guess,  
25 the mapping department? Do you guys have any feedback or

1 interaction with the mapping department?

2 A. We use their information for computer models.

3 Q. But that's all -- so you use it for them, other than  
4 giving any input to them , if your modeling don't match what they  
5 are seeing or something like that?

6 A. Well, if we saw a discrepancy and are aware of it, we'd  
7 raise it, but generally we're a customer of their product.

8 Q. Have you ever noticed any inaccuracies that you get in  
9 the data from your vendor, if you would, like mapping department,  
10 information and it's not accurate?

11 A. I'm not close enough to the details really to know that.  
12 I'm not aware of any issues like that, but --

13 Q. I understand. I guess person reporting to you is  
14 working on some project and he or she -- would that come to you to  
15 report mapping or they can just directly go ahead and call  
16 mapping?

17 A. They have latitude to call mapping and raise an issue  
18 like that.

19 Q. So even if they call you, you would not know?

20 A. That's correct.

21 Q. Besides hydraulic modeling, what other assignments your  
22 staff does, thinking in general lines of --

23 A. Well, yeah. I mean, basically it's anything involved  
24 with the system's operations and flows and pressures, they're  
25 going to get involved in, which is really hydraulic analysis,

1 understanding the gas systems that are responsible for it, how  
2 they operate.

3 Q. Do you get involved in determining MOP, MAOP?

4 A. Not directly as to what the MOP should be, given the  
5 physical characteristics of the pipeline, no.

6 Q. Do you get involved in any operation and maintenance  
7 work about replacement by the system, if they needed replacement?

8 A. We wouldn't be involved in the replacement itself.

9 Q. No, I -- do you have any input as to what diameter or  
10 wall thickness?

11 A. No.

12 Q. Did you look at the ground locations, which type of  
13 ground should be used, how far apart they should be?

14 A. With new valves being installed, we would possibly be  
15 consulted on that. Again, mainly from the perspective of  
16 operating flexibility, flow capacity, those kinds of things.

17 Q. But they don't necessarily have to get your blessing; is  
18 that correct? I don't want to put words in your mouth. I'm just  
19 trying to find out what the answer means.

20 A. Direct replacement of a valve incline, no, they don't  
21 need our blessing for that.

22 Q. So who are your clients typically?

23 A. We support basically on the financial end, we develop  
24 investment plans for the gas system, so anyone with a financial  
25 interest in the company. I think our clients are our customers,

1 making sure we have adequate capacity of the system to serve all  
2 of our customers, so they don't run out of gas during cold  
3 weather. Customers are also the large customers that want to  
4 connect to our system that we do analysis for. We provide support  
5 to gas control, because we develop operating plans for the cold  
6 weather, and explain to them how the system will operate, because  
7 we don't see a lot of cold weather days, so it's kind of unique.  
8 And so we provide information to them around how the system  
9 pressures and flows will look, and what the winter plan will look  
10 like.

11 Q. And what does investment plan -- I guess you said  
12 investment plan, gas systems, what does that mean? What is that?

13 A. Well, if the system has had a lot of new demand put on  
14 it due to growth, housing growth, large customer growth, and the  
15 system capacity is being expanded, we'll look at various  
16 alternatives of how to meet that added demand and do it in a way  
17 that's most efficient and least cost.

18 Q. Through your normal operation, you really wouldn't get  
19 involved in this -- you are not officials going to be you need to  
20 put a lining there or new lining, something; is that correct,  
21 assessment then from the investment plan?

22 A. Yeah, we'd look at options to be able to increase  
23 capacity, including putting in new pipe or other options too.

24 Q. And that's only upon the request. You wouldn't go on  
25 your own, trying to look for the different capacities and

1 different lines; is that correct?

2 A. No, we're responsible for monitoring the demand on the  
3 system and determining when the need exists.

4 Q. And the last question is what does the demand look like  
5 peninsula, 101, 109 and 132? Do you think -- I guess if I  
6 understand you correctly, you're looking at the modeling and  
7 deciding what the demand looking like, and the question is from  
8 the planning point of view, have you done any analysis on these  
9 two lines, very simple? Or after --

10 A. I heard a few questions there, so break them down maybe.

11 Q. No problem. I thought you said your analysis involves  
12 gas control and what demand there may be in winter or some other  
13 order -- I'm missing something there.

14 A. Generally gas control is concerned about how the gas is  
15 going to flow and what kind of minimum pressures we're going to  
16 see, so those are generally what we'll provide them as opposed to  
17 the actual demand, you know, so in a particular system we'll say,  
18 well, the pressure, your day will be about this.

19 Q. Would you get involved in the new line being put in, the  
20 replacement line being put in for the diameters, depending upon  
21 your flow model or any of that --

22 A. Yes.

23 MR. CHHATRE: No more questions. Thank you much.

24 UNIDENTIFIED SPEAKER: No questions.

25 UNIDENTIFIED SPEAKER: No questions.

1 MS. FABRY: Klara Fabry for the City of San Bruno.

2 BY MS. FABRY:

3 Q. You had any requested, any support from you for approval  
4 of the cleaners?

5 A. No.

6 Q. Usually you have any involvement in any clearances,  
7 approval as part of your procedure, any system clearances or any  
8 unusual more unique type of clearances? What specifically is your  
9 involvement in those issues?

10 A. Clearances will affect the operations, the flow of the  
11 systems, the pressures in the systems. My group will be involved  
12 in to review.

13 MS. FABRY: Thank you.

14 MR. SHORI: Sunil Shori, California PUC.

15 BY MR. SHORI:

16 Q. Did you say that the files that you used in this  
17 modeling are still retained?

18 A. That I'm not sure of. The files get very, very large  
19 and so we do not retain every single file, so I'm not sure if that  
20 particular one has been retained or not.

21 MR. GUNTHER: Karl Gunther, NTSB.

22 BY MR. GUNTHER:

23 Q. I would assume that you did your modeling when the  
24 California Commission dropped your pressure 20 percent on these  
25 lines. What is your demand look like? Are you guys going to make

1 it and are you going to have to add supplemental or --

2 A. Well, different site criteria, but bottom line is, yeah,  
3 we're going to make it through the winter.

4 Q. And again, I made an assumption but did you do an  
5 analysis once the pressure order was given to see how the effects  
6 would be?

7 A. Yes.

8 Q. Assumed that. Don't want to assume.

9 MR. GUNTHER: No more questions.

10 UNIDENTIFIED SPEAKER: No questions.

11 UNIDENTIFIED SPEAKER: No questions.

12 UNIDENTIFIED SPEAKER: I've got a question but I think  
13 you've already answered it. I'll ask anyways.

14 BY UNIDENTIFIED SPEAKER:

15 Q. It's not typical for your team to get involved with the  
16 gas operators in troubleshooting a real-time event; right?

17 A. We'll provide support, so I believe after the event --

18 Q. No, I'm saying during an event, not after an event. If  
19 they've got a question about something they're seeing, abnormal  
20 pressures, can they call your group and have a model run?

21 A. Yes.

22 Q. Okay. But your group is only available first shift,  
23 Monday through Friday; right? Or 8:00 to 5:00 or --

24 A. Well, we carry cell phones so we try to make ourselves  
25 available off hours.

1 Q. Is someone designated an off-hour --

2 A. No. Each system is unique, and so you can't have one  
3 person kind of covering for all of the different systems, because  
4 there's specific knowledge for each system.

5 Q. System means line? What do you mean?

6 A. Each gas system, the peninsula system, a system in  
7 Sacramento, has different characteristics that each planning  
8 engineer has expertise for.

9 Q. Okay.

10 A. So you can't have one person do all of them.

11 Q. Okay. So they would have to call that specific engineer  
12 that has that system?

13 A. Yes.

14 Q. That gas controller.

15 A. Yeah. They have to call an engineer that has knowledge  
16 of the system.

17 Q. And those numbers, they've got a printout of all of the  
18 numbers of the gas modeling groups, so they just pick up the  
19 phone. How would they get in touch with one of your people --

20 A. You mean phone numbers?

21 Q. Phone numbers.

22 A. I'm sorry. Yes, they have a contact list for us.

23 MR. GUNTHER: Okay. Thank you.

24 MR. CHHATRE: Ravindra Chhatre, NTSB. One follow-up  
25 question to Matt.

1 BY MR. CHHATRE:

2 Q. How long did it take you to run the model, if the  
3 controller would call you and say, hey, I'm seeing some pressure  
4 drop?

5 A. Well, that really depends on the situation. It depends  
6 on what's going on as far as the operations, what amount of data  
7 we have to put in, how much of the system is affected, which  
8 affects how much data we have to put in. So it's really hard to  
9 answer that without knowing the specific situation that occurs.  
10 The running of the model itself isn't difficult. It's getting the  
11 data input into it that takes time, and it depends on the event.

12 Q. And since you have no access to the ideal model, real-  
13 time data or had access to real-time data, you -- my question is  
14 that data or you have access from one office to real-time data?

15 A. We have access to SCADA data.

16 Q. You do?

17 A. Yes.

18 Q. So the SCADA operator call you and say look, I'm seeing  
19 certain pressure drop on my Line 132, can you run your model and  
20 tell me what's happening? Can you do that?

21 A. Yes, we can run the model.

22 Q. And would the model give some kind of a leak or rupture  
23 or not that well?

24 A. The models, I mean, unless you put a leak in the model  
25 to try to -- you could try that. I mean --

1 Q. You haven't tried it in the past?

2 A. We've modeled leaks, as I mentioned earlier. I think  
3 the need to use the model, when you seek pressure dropping, like  
4 it would during a large leak, is kind of -- I'm not sure I see the  
5 need for that.

6 MR. CHHATRE: Okay. That's all for me. Thank you so  
7 much. I just want to go back and make sure nobody has any  
8 questions. No? Thank you so much for coming. Off the record.

9 (Whereupon, the interview was concluded.)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF:           PACIFIC GAS & ELECTRIC COMPANY  
                                  SEPTEMBER 9, 2010, ACCIDENT  
                                  SAN BRUNO, CALIFORNIA  
                                  Interview of Richard C. Brown

DOCKET NUMBER:           DCA-10-MP-008

PLACE:                    Burlingame, California

DATE:                     January 5, 2011

was held according to the record, and that this is the original,  
complete, true and accurate transcript which has been compared to  
the recording accomplished at the hearing.

---

Sandra K. Ledford  
Transcriber