

**Docket No. SA-534**

**Exhibit No. 2-BS**

**NATIONAL TRANSPORTATION SAFETY BOARD**

**Washington, D.C.**

INTERVIEW OF FANYEE HONG, PG&E  
(JAN-5-2011)

(26 Pages)

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

\* \* \* \* \*

Investigation of:

\*  
\*  
\*  
\*  
\*  
\*

PACIFIC GAS & ELECTRIC COMPANY  
SEPTEMBER 9, 2010 INCIDENT  
SAN BRUNO, CALIFORNIA

\* Docket No.: DCA-10-MP-008

\* \* \* \* \*

Interview of: FANYEE HONG

Marriott Hotel  
San Francisco Airport  
1800 Bayshore Highway  
Burlingame, California 94010

Wednesday,  
January 5, 2011

The above-captioned matter convened, pursuant to  
notice.

BEFORE: RAVINDRA CHHATRE  
Investigator-in-Charge

## APPEARANCES:

RAVINDRA M. CHHATRE, Investigator-in-Charge  
National Transportation Safety Board  
490 L'Enfant Plaza East, S.W.  
Washington, D.C. 20594  
202-314-6644  
ravindra.chhatre@ntsb.gov

MATTHEW R. NICHOLSON, Accident Investigator  
Office of Railroad, Pipeline and Hazardous Materials  
Investigations  
National Transportation Safety Board  
490 L'Enfant Plaza East, S.W.  
Washington, D.C. 20594  
202-314-6468  
matthew.nicholson@ntsb.gov

LAWSON F. NARVELL, JR., Investigator  
Human Performance Group  
National Transportation Safety Board  
490 L'Enfant Plaza East, S.W.  
Washington, D.C. 20594  
202-314-6422  
narvelr@ntsb.gov

KARL GUNTHER, Pipeline Accident Investigator  
National Transportation Safety Board  
490 L'Enfant Plaza East, S.W.  
Washington, D.C. 20594  
202-314-6578  
karl.gunther@ntsb.gov

GEOFFREY J. CALDWELL, Police Sergeant  
City of San Bruno Police Department  
Police Plaza  
1177 Huntington Avenue  
San Bruno, CA 94066  
650-616-7100  
gcaldwell@sanbruno.ca.gov

## APPEARANCES (Cont.):

BRIAN DAUBIN, Manager  
GT&D Gas Engineering  
Pacific Gas & Electric Company  
375 North Wiget Lane  
Walnut Creek, CA 94598  
925-974-4210  
bmd5@pge.com

ROBERT FASSETT, Director  
Integrity Management and Technical Services  
Pacific Gas & Electric Company  
375 North Wiget Lane  
Walnut Creek, CA 94598  
925-974-4210  
rpf2@pge.com

CONNIE JACKSON, City Manager  
City of San Bruno  
567 El Camino Real  
San Bruno, CA 94066-4299  
650-616-7056  
cjackson@ci.sanbruno.ca.us

KLARA FABRY, Public Services Director  
City of San Bruno  
567 El Camino Real  
San Bruno, CA 94066-424  
650-616-7065

SUNIL K. SHORI, Utilities Engineer  
State of California Public Utilities Commission  
505 VanNess Avenue, 2nd Floor  
San Francisco, CA 94102-3298  
415-703-2407  
sks@cpuc.ca.gov

PETER J. KATCHMAR, Accident Coordinator  
Pipeline Safety Program  
Pipeline and Hazardous Materials Safety Administration  
U.S. Department of Transportation  
12300 West Dakota Avenue, Suite 110  
Lakewood, CO 80228  
303-807-8458  
peter.katchmar@dot.gov

## APPEARANCES (Cont.):

DEBBIE MAZZANTI, Business Representative  
International Brotherhood of Electrical Workers  
Local 1245  
30 Orange Tree Circle  
Vacaville, CA 95687  
415-517-0317  
djmg@ibew1245.com

JOSHUA SPERRY, Senior Union Representative  
Engineers and Scientists of California  
Local 20, IFPTE AFL-CIO & CLC  
835 Howard Street, 2nd floor  
San Francisco, CA 94103  
415-543-8320  
jsperry@ifpte20.org

DANE B. JAQUES, Esq.  
Dombroff, Gilmore, Jaques & French  
1676 International Drive, Penthouse  
McLean, Virginia 22102  
703-336-8709  
djaques@dglitigators.com

<u>ITEM</u>	<u>I N D E X</u>	<u>PAGE</u>
Interview of Fanyee Hong:		
By Mr. Gunther		8
By Mr. Shori		10
By Mr. Katchmar		11
By Mr. Nicholson		12
By Mr. Chhatre		15
By Mr. Narvell		20
By Mr. Shori		21
By Mr. Sperry		21
By Mr. Chhatre		23
By Mr. Gunther		23
By Mr. Nicholson		23

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I N T E R V I E W

MR. CHHATRE: Okay, back on the record. Good afternoon, everyone. Today is Wednesday, January 5th. We are currently in Burlingame, California in the San Francisco area. We are meeting in regards to the investigation of pipeline rupture in San Bruno, California that occurred on September 9th, 2010. The NTSB accident number for this investigation is DCA-10-MP-008.

My name is Ravin Chhatre. I am with National Transportation Safety Board in Washington, D.C. and I'm investigator in charge of this accident.

I'd like to start by notifying everyone present in this room that we are recording this interview for transcriptions at a later date. All parties will have a chance to review the transcripts when they are completed. Also I'd like to inform Ms. Fanyee Hong that you are permitted to have one person with you during today's interview. That person is of your choice; a friend, supervisor, family member, or if you choose nobody at all. So, for the record, please state your full name, spelling of your name, contact information like telephone, email, postal mailing address and whom you have chosen to be present with you during this interview.

THE WITNESS: Okay. My name is Fanyee Hong, F-a-n-y-e-e H-o-n-g. My address is San Francisco, California, 94177. I would like to have Dane represent me.

1 MR. CHHATRE: Okay. Thank you for that.

2 Now we'll go around the room, have every person  
3 introduce themselves; name, title, affiliation, official email and  
4 phone number, starting with the city.

5 MR. CALDWELL: Geoff Caldwell, City of San Bruno, my  
6 information's on the card provided.

7 MR. DAUBIN: Brian Daubin, PG&E, information is on the  
8 card provided.

9 MR. FASSETT: Bob Fassett, PG&E, information on the  
10 card.

11 MS. JACKSON: Connie Jackson, City of San Bruno, my  
12 information's my card.

13 MS. FABRY: Klara Fabry, City of San Bruno, the  
14 information is on the card.

15 MR. SHORI: Sunil Shori, California Public Utilities  
16 Commission, my information is on the card provided.

17 MR. KATCHMAR: Peter Katchmar, United States Department  
18 of Transportation, Pipeline Hazardous Materials Safety  
19 Administration, PHMSA and my information's on the card.

20 MR. GUNTHER: Karl Gunther, NTSB Operations Chair,  
21 karl.gunther@ntsb.gov, phone 202-314-6478.

22 MS. MAZZANTI: Debbie Mazzanti, IBEW Local 1245. My  
23 information is on the card.

24 MR. NICHOLSON: Matthew Nicholson, NTSB, spelled M-a-t-  
25 t-h-e-w N-i-c-h-o-l-s-o-n, matthew.nicholson@ntsb.gov.



1 MR. CHHATRE: Ravindra Chhatre, NTSB, email  
2 ravindra.chhatre@ntsb.gov; phone 202-314-6644.

3 MR. NARVELL: Rick Narvell, Human Performance  
4 Investigator with NTSB out of Washington, D.C. Phone is 202-314-  
5 6422. Email is narvelr@ntsb.gov.

6 MR. JAQUES: Dane Jaques on behalf of the witness, and  
7 my information is on the card provided.

8 MR. CHHATRE: Thank you.

9 INTERVIEW OF FANYEE HONG

10 BY MR. GUNTHER:

11 Q. Could you please -- Karl Gunther --

12 MR. CHHATRE: Identify yourself.

13 BY MR. GUNTHER:

14 Q. -- NTSB. Could you please give your job title and  
15 affiliation?

16 A. I'm a senior gas engineer in PG&E.

17 Q. And what are your professional credentials?

18 A. I have a Master's degree in computer science.

19 Q. Okay. And what are your duties?

20 A. My responsibility is to provide adequate information and  
21 tools for gas operation. Generally, I'm working closely with the  
22 SCADA support and also operation engineer to make sure SCADA  
23 information, real time SCATA information is available for gas  
24 operations.

25 Q. And could you describe what you did on the day of the

1 accident?

2       A. I start that day 7:30 and I remember that day we planned  
3 to transfer operation from San Francisco to Brentwood around 6:00  
4 p.m. so about around 4:20 that afternoon I started to prepare for  
5 transferration [sic] -- operation transferration to Brentwood so I  
6 look at ramp, SCADA system, and I noticed the Milpitas -- we lost  
7 the information from Milpitas. So I walked to the control room  
8 and talked to operator and certainly at that time they already  
9 noticed that and they were in communication with Milpitas  
10 technician.

11               So I went back to my office and continued to prepare for  
12 transfer. And I -- basically from, you know, five to six o'clock  
13 I was working that task. And about 6:20ish I went back to the  
14 control room again and I saw Larry, Larry Ruccholz. He said there  
15 is a fire. And I -- at that time all the operators started to --  
16 trying to find out where is the source of the problem and trying  
17 to resolve the problem.

18               Since I'm not a engineer, not operation, so I won't be  
19 able to give direction or any advice to the control room.  
20 However, I remember we still don't have the Milpitas information  
21 so I started to call station engineer. I called Mark Kazimirsky  
22 and also I called Wayne Fong and to tell them about the event and  
23 ask them to go back to -- to go to Milpitas station to try and to  
24 troubleshoot and get the station on line. And I stay around that  
25 day. I think I leave -- I left the office around nine to ten

1 o'clockish (sic).

2 Q. Okay. That -- (indiscernible).

3 MR. CALDWELL: Geoff Caldwell, City of San Bruno, no  
4 questions at this time.

5 MR. DAUBIN: No questions.

6 MR. FASSETT: Bob Fassett, PG&E, no questions.

7 MS. JACKSON: No questions.

8 MS. FABRY: Karla Fabry, no question at this time.

9 MR. SHORI: Sunil Shori, California PSE.

10 BY MR. SHORI:

11 Q. You said you did -- you had some discussions with staff  
12 down in Milpitas?

13 A. Yes. I made a phone call to Mark Kaziminsky --

14 Q. Uh-huh.

15 A. -- and Wayne Fong, station engineer. I know they are  
16 the expert in those area --

17 Q. Uh-huh.

18 A. -- so I did mention that, call them.

19 Q. Were either one of them at Milpitas at the time when you  
20 talked to them?

21 A. No.

22 Q. And what discussions did you have with each of those  
23 gentlemen?

24 A. I mentioned that to them there is a fire in San Bruno  
25 and at same time, we know, we still don't have Milpitas'

1 information.

2 Q. Was there anything else communicated back to you in  
3 terms of what they were doing in regard to that, or --

4 A. No.

5 Q. Was there anybody else at Milpitas that you spoke with  
6 other than Mr. Kaziminsky and Mr. Fong?

7 A. No.

8 Q. And you said you didn't provide any direction in terms  
9 of operations or gas control or in terms of reducing pressures or  
10 anything on line 132?

11 A. Correct, because -- can I offer the reason? Because --

12 Q. Sure.

13 A. -- in the control room if the supervisor's not there,  
14 the Senior TC is the -- is in charge.

15 Q. And who would that be at that time?

16 A. Mark Cenicerros.

17 Q. Okay. I don't have any further questions. Thank you.

18 MR. KATCHMAR: Peter Katchmar, USDOT PHMSA.

19 BY MR. KATCHMAR:

20 Q. Ms. Hong, when you said you were getting ready for the  
21 transfer from San Francisco to the back-up control center, what  
22 does that entail?

23 A. I look into information, make sure the SCADA -- the  
24 pressure, the pipeline information are synchronized, make sure the  
25 alarms, everything is synchronized.

1 Q. Okay. Thank you. That's all I have.

2 MR. GUNTHER: I have no more questions.

3 MS. MAZZANTI: No questions.

4 MR. SPERRY: No questions.

5 MR. NICHOLSON: I've got some questions.

6 BY MR. NICHOLSON:

7 Q. This is Matt with the NTSB. I want to be sure I  
8 understand. You're the Control Center Engineer. Does that -- is  
9 part of your responsibility is designing the screens or building  
10 the graphics or --

11 A. No. Basically I wanted to say when your new station get  
12 built, it's built by your engineer department. They have design  
13 criteria. They would design the screen and then they also be able  
14 to do the testing, installation. And basically my involvement is  
15 make sure the requirements meets operation standard, meets  
16 operation needs, make sure the data accuracy, make sure it pass  
17 through the acceptance test.

18 Q. Okay, like a point to point test or --

19 A. Correct. I -- I'm not involved in the point to -- point  
20 by point test.

21 Q. Okay.

22 A. But my job is to make sure it has that to process the  
23 acceptance test.

24 Q. Okay. Do you select devices?

25 A. No.

1 Q. Okay. Do you have input on where devices are placed on  
2 the system?

3 A. I'm part of the design criteria review.

4 Q. Okay. Do you have input on alarm set points?

5 A. I don't have any, I -- no, I'm not involved in the  
6 setting alarm limits.

7 Q. Are you involved in setting alarm severity limits?

8 A. No.

9 Q. Okay.

10 A. That's operation.

11 Q. And let me rephrase that. I might have asked that  
12 incorrectly. Do you -- if -- operations might say we're going to  
13 have a high pressure alarm. Do you assign a severity to that  
14 alarm?

15 A. No.

16 Q. Okay.

17 A. There is a policy to assign that severity, so it's  
18 not --

19 Q. Okay.

20 A. -- it's not a information person like I am to set that  
21 priority.

22 Q. Okay. Earlier you said you noticed we'd lost  
23 communications at Milpitas; this was some time after you'd come in  
24 around 4:00? Is that correct?

25 A. Correct.

1 Q. How -- what alerted you to the loss of communications?

2 A. Because the alarm summary has a lot of alarms.

3 Q. Okay. Specifically alarms that say loss of  
4 communication? What would that alarm read?

5 A. Well, I -- I'm sorry -- it -- it's those data points in  
6 alarm state. I did not say it's -- okay. I'm sorry. I should  
7 not say lost communication. It's we lost the control of that  
8 unit.

9 Q. Okay.

10 A. And we got a lot of alarms.

11 Q. Okay. So you just noticed a lot of alarms out of  
12 Milpitas?

13 A. Correct. Correct.

14 Q. Okay. And that prompted you to talk to the operators?

15 A. Correct.

16 Q. Okay. I wanted to clarify something else. I thought I  
17 heard in an earlier interview that the Gas Control Room Supervisor  
18 was out of town that day or not in the office, and you were the  
19 Acting Supervisor; is that correct?

20 A. That -- I'm -- my job, my function that day is -- I'm  
21 trying to direct important information email --

22 Q. Uh-huh.

23 A. -- to the field people because they are not be able to  
24 read their email. That -- so that's part of my assignment that  
25 day.

1 Q. And I'm sorry, I'm not sure I -- that -- and as -- and  
2 performing those tasks would then make you Acting Supervisor? Is  
3 that something the supervisor would normally do?

4 A. I'm not sure I'd give that title --

5 Q. Oh, okay.

6 A. -- that assignment.

7 Q. I get it.

8 A. But I didn't give direction. I should have read through  
9 the email, make sure if there's important message I should have  
10 directed to the correct person to handle.

11 Q. Okay. But the person that would actually give direction  
12 to a controller or an operator would be the Senior Coordinator?

13 A. Correct.

14 Q. Okay. Thank you. That's all I have for now.

15 MR. CHHATRE: Couple of clarifying questions.

16 MR. GUNTHER: If you could identify yourself?

17 BY MR. CHHATRE:

18 Q. In your job --

19 MR. GUNTHER: Identify yourself.

20 MR. CHHATRE: Oh, Ravin Chhatre, NTSB.

21 BY MR. CHHATRE:

22 Q. You said you support the SCADA operations in -- as your  
23 job function?

24 A. Correct. I work very closely with SCADA team.

25 Q. Now, does that involve trouble shooting to the SCADA?



1           A.    We do.

2           Q.    Okay.  So if a person is not sure the alarm he or she --  
3 not an alarm.  If a person is not sure the display they are  
4 seeing, what they can attribute that display to, that there are  
5 multiple possibilities for that display to show up, who they would  
6 go to?

7           A.    They would go to the SCADA Team.

8           Q.    Okay.  They'd go to SCADA (indiscernible).  Now, I also  
9 heard in the past that there are occasions where a sudden pressure  
10 drop display will show up on the screen and that could be  
11 attributed to either loss of communication or could be a rupture.  
12 And if that is the case, I was also told that you can -- I'm going  
13 to make sure -- you can demand the communication -- force the  
14 communication?

15          A.    Correct.

16          Q.    Correct?  And then with your support system knowledge  
17 and background, if you get the reading by forcing the  
18 communication, what does that mean to an operator?  Is that  
19 something you are involved with or you're not?

20          A.    So normally the demand scan is used when the operator  
21 think their master station is not communicating with the RTU.

22          Q.    Right.

23          A.    So they will be able to do a demand scan.  Then they  
24 will get the reading back.

25          Q.    Right.  And what does that -- if they get the reading

1 back that show the same reading they got before, what does that  
2 mean? Are you involved in that kind of analysis or support or  
3 not?

4 A. They will try to trend the -- different data points and  
5 try to analyze what might be -- what's that possible cause of  
6 that. So sometimes they -- if they think -- they get a few  
7 reference point and they think this is possible, some instrument  
8 failure, they will start to call the field support people.

9 Q. Now, with your support of the SCADA, is this something  
10 that can be -- that requires one click, two clicks, or to send the  
11 demand scan or demand information? How many clicks that involve  
12 for the operator to do that?

13 A. They will do -- say there's a vector (ph.), an RTU.  
14 Then they will do a right click and bring up that RTU and then  
15 they -- there's a demand button they can just send demand scan.

16 Q. And how long, typically, it takes to get a pressure  
17 read?

18 A. It -- normally our scan rate is about like 45 seconds,  
19 so they should be able to get a response back. It would also have  
20 a indication show if the command send out or not and how many  
21 times the command send it out.

22 Q. Okay.

23 A. So there will be indication on that.

24 Q. So I guess since you're just troubleshooting more for  
25 PG&E, is it reasonable to say like in two minutes or less than a

1 minute they should get some information back?

2 A. Correct.

3 Q. Now if the readout, the false (ph.) data shows them that  
4 whatever they're seeing on the screen is what the false data is  
5 showing, what does that mean to them? Does that build the  
6 confidence in the first data or not necessarily?

7 A. Not necessary. There is many possible things --

8 Q. That it --

9 A. -- correct. They needed to have more reference point to  
10 even -- to analyze that.

11 Q. Okay. And what kind of reference point you are  
12 referring to?

13 A. They possible look at the different pressure points.

14 Q. Like different transducers along the system?

15 A. Correct.

16 Q. Okay. And as a support person, do you know how many  
17 locations they can get the information from between Milpitas and  
18 Martin?

19 A. I do not know.

20 Q. Okay.

21 A. Because I don't have full knowledge --

22 Q. Oh, that's fine. I'm -- I -- I'm just asking if you  
23 know or not. I understand that you are in support mode. Uh-huh.  
24 And how many of those data inputs you will need to come to some  
25 kind of a reasonable conclusion that it's -- it is or it is not a

1 communication problem?

2 MR. JAQUES: I -- I'm going to object because I think  
3 you're getting outside her area of expertise and into operations.

4 MR. CHHATRE: Okay. That's fine.

5 BY MR. CHHATRE:

6 Q. What is the real -- do you know as a support person the  
7 level of problems with the communication problems? Information  
8 coming to SCADA?

9 A. I'm sorry, can you repeat?

10 Q. Okay. How frequent is the communication error signals  
11 or communications problems with the transducers?

12 A. Well, I, you know, we have a -- RTU status reports to  
13 indicate a communications during a period of time and I can't tell  
14 you if I can, you know, provide written documents or -- I can't  
15 answer the question at this point.

16 Q. Okay. Okay. Now if -- let's just say it's a chronic  
17 problem. Who would be trying to fix it?

18 MR. JAQUES: Chronic problem with what?

19 BY MR. CHHATRE:

20 Q. Of communication signal -- error signals coming to  
21 screens?

22 A. It will be our telecom communication department.

23 Q. So that is different than your responsibilities?

24 A. Correct.

25 Q. Okay. Between 4:20 and 6:20 p.m., the two-hour window

1 that you were in your office trying to prepare for transfer on  
2 September 9th, did anybody from control center and came in and  
3 told you that we have some problem, that there's a rupture,  
4 there's a fire or we are not getting any signals -- any kind of  
5 trouble or problem situation in the control room?

6 A. No.

7 Q. Nobody? So you were not even aware until 6:20, until  
8 you went back, that there was a fire?

9 A. Correct, because I heard Larry talk about.

10 Q. Okay. No more questions. Thank you much.

11 MR. NARVELL: Rick Narvell with NTSB.

12 BY MR. NARVELL:

13 Q. Ms. Hong, there's been a -- just to clarify, and I  
14 believe I heard this right, but I'd like to hear it from you.  
15 You're not involved in either engineering operations or operations  
16 in there? Engineering or operations; is that correct?

17 A. Correct.

18 Q. You're more involved --

19 A. Information.

20 Q. What are re -- information. And this would be, I guess,  
21 more in line with your Master's degree in computer science; is  
22 that correct?

23 A. Correct.

24 Q. Okay. Very good. Thank you very much. That's all I  
25 have.

1 MR. CHHATRE: Any final questions?

2 MR. SHORI: Yes. Sunil Shori. One quick follow-up.

3 BY MR. SHORI:

4 Q. You said -- was your email system down or were you just  
5 transferring emails for somebody that was -- that you were  
6 substituting for at the time of the -- at 4:20 -- when you were on  
7 shift. Was the email system down?

8 A. No.

9 Q. Okay. So again, you were asked to just forward emails  
10 based on whoever you were substituting for in terms of emails that  
11 were coming to them?

12 A. Correct.

13 MS. FABRY: Karla Fabry, a quick question.

14 Do you recall if the -- at the time when the empty  
15 vessel (ph.) came back you were in the control room?

16 MS. HONG: Was in the control room, yes.

17 MR. CHHATRE: Sure.

18 MR. SPERRY: This is Joshua Sperry with Engineers and  
19 Scientists of California Local 20. Sorry I missed the  
20 introductions. My information's on the card provided.

21 MR. CHHATRE: Okay.

22 BY MR. SPERRY:

23 Q. I did have a question about mapping. All right, the gas  
24 mapping department maintains all the records of the physical gas  
25 transmission system in their gas map GIS program, right? Does

1 that also contain all the characteristics of the SCADA system?

2 A. You mean the real time data?

3 Q. No, I mean like the location and characteristics of  
4 SCADA devices.

5 A. The GIS does have the location of the RTU.

6 Q. Okay, and the characteristics of the RTU, what it  
7 measures?

8 A. No. I don't believe so. It just has a location where  
9 is the RTU.

10 Q. So the schematics of the SCADA network which is  
11 connected to which and what they report, who maintains those  
12 schematic diagrams if it's not the mapping department?

13 A. It's mapping department maintain those GIS system, GIS  
14 map.

15 Q. Right.

16 A. And SCADA building developed a function is taking that  
17 GIS map to make it a SCADA map. So if there is any change, say  
18 that design criterias get changed, so that's going to be goes  
19 through the GIS and also goes to the SCADA gets changed.

20 Q. I think that -- I was asking about the SCADA network  
21 itself, not the gas network that it's controlling, but for  
22 instance the locations of SCADA-type devices like RTUs or power  
23 supplies. Are those in the gas map program or are those kept on a  
24 schematic, like on a wiring diagram that someone else maintains?

25 A. Can you repeat one more time?

1 Q. Okay, yeah.

2 A. I'm sorry.

3 Q. Are the -- is the wiring diagram of SCADA, of the SCADA  
4 system, maintained in gas map or is it maintained separately?

5 A. It's maintained separately.

6 Q. Okay, and who maintains that diagram?

7 A. Station engineer.

8 Q. Okay. Thank you.

9 MR. CHHATRE: A quick -- Ravin Chhatre.

10 BY MR. CHHATRE:

11 Q. You said it is maintained today. Was it the same case  
12 as September 9th?

13 A. Correct.

14 Q. Okay. Thanks.

15 BY MR. GUNTHER:

16 Q. Just for the record, what is RTU?

17 A. It's Remote Terminal Unit.

18 Q. Okay.

19 MR. CHHATRE: Peter? No more questions?

20 MR. NICHOLSON: I've got a question.

21 MR. CHHATRE: Anybody else? Okay, Matt?

22 MR. NICHOLSON: Couple of questions.

23 BY MR. NICHOLSON:

24 Q. Is there -- do the devices in the field -- this is Matt  
25 Nicholson. Do the devices in the field have just a single mode of



1 communication to the network or other back-up?

2 A. It depends.

3 Q. Okay.

4 A. In most -- if it's in most in the remote area, and it's  
5 a single connection.

6 Q. Okay. And if it's not in a remote area, it's multiple?

7 A. There would be maybe multiple. Depends on --

8 Q. Okay.

9 A. -- the location or the function of the units.

10 Q. Okay. So it's location dependent, not necessarily how  
11 critical that device is?

12 A. Depends -- it's --

13 Q. Okay.

14 A. Yes.

15 Q. Okay.

16 A. That's one of the factor too.

17 Q. Okay. We talked to Mark Kazmiris (sic), the station  
18 manager, I think, at Milpitas.

19 UNIDENTIFIED SPEAKER: Kaziminsky.

20 BY MR. NICHOLSON:

21 Q. Kaziminsky, I apologize, thank you. And he indicated  
22 that there were some SCADA points that are collected but not  
23 necessarily displayed to the controllers on their screens. This  
24 would be, for instance, on a flow meter that might have pressure  
25 and temperature compensation. Are you aware of those types of

1 points?

2 A. Correct.

3 Q. Okay. Is an operator or -- if an operator would want to  
4 see those points as part of a trouble shooting type diagnostic,  
5 could he or she come to you to get to those points?

6 A. No.

7 Q. No? Okay.

8 A. They would go to the station to personnel to find out.

9 Q. Okay.

10 A. Possible technician.

11 Q. So you couldn't retrieve those from the control center?

12 A. Correct.

13 Q. But they're on SCADA, right?

14 A. Well, those -- there's some information is not on the  
15 SCADA. It's stay in that station.

16 Q. Oh, it stays local?

17 A. Yes.

18 Q. Okay. Hmm. Thank you. That's all I have.

19 MR. CHHATRE: Okay. Any other questions? If not, thank  
20 you so much for coming and helping us in this investigation. We  
21 are off the record.

22 MR. GUNTHER: All right, thank you.

23 THE WITNESS: Thanks.

24 (Whereupon, the interview was concluded.)

25

CERTIFICATE

This is to certify that the attached proceeding before the  
NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF:           PACIFIC GAS & ELECTRIC COMPANY  
                                  SEPTEMBER 9, 2010 INCIDENT  
                                  SAN BRUNO, CALIFORNIA  
                                  Interview of Fanyee Hong

DOCKET NUMBER:           DCA-10-MP-008

PLACE:                    Burlingame, California

DATE:                     January 5, 2011

was held according to the record, and that this is the original,  
complete, true and accurate transcript which has been compared to  
the recording accomplished at the hearing.

---

Patricia Noell  
Transcriber