

Docket No. SA-534

Exhibit No. 2-BT

NATIONAL TRANSPORTATION SAFETY BOARD

Washington, D.C.

INTERVIEW OF GEORGE KARKAZIS, PG&E
(JAN-3-2011)

(53 Pages)

UNITED STATES OF AMERICA
NATIONAL TRANSPORTATION SAFETY BOARD

* * * * *

Investigation of:

*
*
*
*
*
*
*

PACIFIC GAS & ELECTRIC COMPANY
SEPTEMBER 29, 2010 ACCIDENT
SAN BRUNO, CALIFORNIA

* Docket No.: DCA-10-MP-008

* * * * *

Interview of: GEORGE KARKAZIS

Marriott Hotel
San Francisco Airport
1800 Bayshore Highway
Burlingame, California 94010

Monday,
January 3, 2011

The above-captioned matter convened, pursuant to
notice.

BEFORE: RAVINDRA CHHATRE
Investigator-in-Charge

APPEARANCES:

RAVINDRA M. CHHATRE, Investigator-in-Charge
National Transportation Safety Board
490 L'Enfant Plaza East, S.W.
Washington, D.C. 20594
202-314-6644
ravindra.chhatre@ntsb.gov

MATTHEW R. NICHOLSON, Accident Investigator
Office of Railroad, Pipeline and Hazardous Materials
Investigations
National Transportation Safety Board
490 L'Enfant Plaza East, S.W.
Washington, D.C. 20594
202-314-6468
matthew.nicholson@ntsb.gov

LAWSON F. NARVELL, JR., Investigator
Human Performance Group
National Transportation Safety Board
490 L'Enfant Plaza East, S.W.
Washington, D.C. 20594
202-314-6422
narvelr@ntsb.gov

KARL GUNTHER, Pipeline Accident Investigator
National Transportation Safety Board
490 L'Enfant Plaza East, S.W.
Washington, D.C. 20594
202-314-6578
karl.gunter@ntsb.gov

GEOFFREY J. CALDWELL, Police Sergeant
City of San Bruno Police Department
Police Plaza
1177 Huntington Avenue
San Bruno, CA 94066
650-616-7100
gcaldwell@sanbruno.ca.gov

APPEARANCES (Cont.):

BRIAN DAUBIN, Manager
GT&D Gas Engineering
Pacific Gas & Electric Company
375 North Wiget Lane
Walnut Creek, CA 94598
925-974-4210
bmd5@pge.com

ROBERT FASSETT, Director
Integrity Management and Technical Services
Pacific Gas & Electric Company
375 North Wiget Lane
Walnut Creek, CA 94598
925-974-4210
rpf2@pge.com

CONNIE JACKSON, City Manager
City of San Bruno
567 El Camino Real
San Bruno, CA 94066-4299
650-616-7056
cjackson@ci.sanbruno.ca.us

KLARA FABRY, Public Services Director
City of San Bruno
567 El Camino Real
San Bruno, CA 94066-424
650-616-7065

SUNIL K. SHORI, Utilities Engineer
State of California Public Utilities Commission
505 VanNess Avenue, 2nd Floor
San Francisco, CA 94102-3298
415-703-2407
sks@cpuc.ca.gov

PETER J. KATCHMAR, Accident Coordinator
Pipeline Safety Program
Pipeline and Hazardous Materials Safety Administration
U.S. Department of Transportation
12300 West Dakota Avenue, Suite 110
Lakewood, CO 80228
303-807-8458
peter.katchmar@dot.gov

APPEARANCES (Cont.):

DEBBIE MAZZANTI, Business Representative
International Brotherhood of Electrical Workers
Local 1245
30 Orange Tree Circle
Vacaville, CA 95687
415-517-0317
djmg@ibew1245.com

JOSHUA SPERRY, Senior Union Representative
Engineers and Scientists of California
Local 20, IFPTE AFL-CIO & CLC
835 Howard Street, 2nd floor
San Francisco, CA 94103
415-543-8320
jsperry@ifpte20.org

DANE B. JAQUES, Esq.
Dombroff, Gilmore, Jaques & French
1676 International Drive, Penthouse
McLean, Virginia 22102
703-336-8709
djaques@dglitigators.com

I N D E X

<u>ITEM</u>	<u>PAGE</u>
Interview of George Karkazis:	
By Mr. Gunther	9
By Mr. Shori	10
By Mr. Katchmar	11
By Mr. Gunther	15
By Mr. Chhatre	16
By Mr. Fassett	35
By Mr. Katchmar	36
Unidentified Speaker	45
By Mr. Daubin	48
By Mr. Katchmar	48
By Mr. Chhatre	51

I N T E R V I E W

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. CHHATRE: On the record.

Good afternoon, everyone. Today is Monday, January 3, 2011. We are currently in Burlingame, California in the San Francisco Airport Marriott. We are meeting in regards to the investigation of the Pipeline Rupture in San Bruno, California that occurred on September 9, 2010. The NTSB Accident Number for this investigation is DCA-10-MP-008.

My name is Ravi Chhatre, I'm with National Transportation Safety Board in Washington, D.C. and I'm lead investigator in charge of this accident.

I would like to start by notifying everyone present in this room that this interview is being recorded for transcription at a later date. All parties will have a chance to review the transcript when they are completed.

Also, I would like to inform Mr. Karkazis that --

MR. KARKAZIS: Karkazis.

MR. CHHATRE: Karkazis, that you are permitted to have one person present with you during your interview. That person of your choice (sic); it can be a supervisor, a friend, a family member, or if you choose, no one at all.

So please state for the record your full name, spelling of your name, contact information like e-mail, phone number and also mailing address and whom you have chosen to be with you during your interview.

1 MR. KARKAZIS: Okay, I've chosen counsel, Dane, here to
2 be with me. My name is George Karkazis, G-E-O-R-G-E, Karkazis, K-
3 A-R-K-A-Z-I-S. My e-mail address is _____
4

5 MR. CHHATRE: Thank you.

6 Now I would like to go around the room and have each
7 person introduce themselves. Please state your name, spelling,
8 title and organization that you represent, a business e-mail and
9 phone number.

10 MR. CALDWELL: Geoff Caldwell, City of San Bruno. All
11 my information's on that business card that you have.

12 MR. DAUBIN: Brian Daubin, PG&E. Also, too submitted a
13 business card.

14 MR. FASSETT: Bob Fassett, PG&E, PG&E's representative
15 for the NTSB investigation. All the rest of my information's on
16 the business card I submitted.

17 MS. FABRY: Klara Fabry, San Bruno. You have all of the
18 information on the card.

19 MR. SHORI: Sunil Shori, California Public Utilities
20 Commission. All of my information is on the card.

21 MR. KATCHMAR: Peter Katchmar, U.S. DOT Pipeline
22 Hazardous Material Safety Administration (PHMSA), and I'm on
23 record.

24 MR. GUNTHER: Karl Gunther, Operations Group Chairman.
25 karl.gunther@ntsb.gov. Phone (202) 314-6478.

1 MS. MAZZANTI: Debbie Mazzanti, M-A-Z-Z-A-N-T-I, from
2 the International Brotherhood of Electrical Workers, Local 1245.

3 MR. NICHOLSON: Matthew Nicholson, NTSB. M-A-T-T-H-E-W
4 N-I-C-H-O-L-S-O-N. matthew.nicholson@ntsb.gov.

5 MR. CHHATRE: Ravindra Chhatre, I'm with National
6 Transportation Safety Board. The spelling is R-A-V-I-N-D-R-A,
7 last name Chhatre, C-H-H-A-T-R-E. E-mail is
8 ravindra.chhatre@ntsb.gov. Phone (202) 314-6644.

9 MR. NARVELL: Rick Narvell, N-A-R-V-E-L-L, Human
10 Performance Group Chair, NTSB, Washington, D.C. e-mail is
11 narvelr@ntsb.gov. Phone is (202) 314-6422.

12 MR. JAQUES: Dane Jaques on behalf of the witness and
13 all of my information's on the card that's already been provided.

14 MR. SPERRY: Joshua Sperry with Engineers and Scientists
15 of California, Local 20, IFPTE, my information's on the card.

16 MR. CHHATRE: Okay. I have repeated it many times but
17 I'll repeat it one more time. The interview is being recorded,
18 there's no court reporter so any time you speak please identify
19 yourself first. Any acronyms please spell it for the transcriber.
20 And any word that you think it is difficult to understand spell
21 it, please.

22 Karl, you ready?

23 INTERVIEW OF GEORGE KARKAZIS

24 MR. GUNTHER: Yeah, Karl Gunther, Operations Group
25 Chair.

1 BY MR. GUNTHER:

2 Q. I would first like to ask your job title and
3 affiliation.

4 A. My job title is supervising gas engineer with Pacific
5 Gas and Electric Company in the pipeline engineering group.

6 Q. Okay. And how about your professional credentials?

7 A. I'm --

8 Q. Training?

9 A. -- a professional engineer registered in the State of
10 California in mechanical engineering.

11 Q. Okay. And let's see begin with, you were the supervisor
12 of the visual examination in the camera Line 132; is that correct?

13 A. That's correct.

14 Q. What were your duties and what did you find? Just
15 describe what, you know, what you did?

16 A. Well, my duties were to put together a team, work
17 together with an internal PG&E team and an outside contractor to
18 provide a camera so that we can insert into the pipeline and view
19 what was inside the pipeline.

20 Q. Did you assist in preparing a report?

21 A. I did.

22 Q. Okay.

23 A. I -- excuse me, are you referring to the report that was
24 submitted the PUC and the NTSB?

25 Q. Yes.

1 A. Yes.

2 Q. Let's see, based on what you've done and what you found
3 out, are you looking at any additional testing?

4 A. I personally am not unless I'm directed to.

5 Q. Okay. Well, again, I guess are you all contemplating
6 hydrostatic testing of Line 132?

7 A. I don't know that.

8 Q. Okay.

9 MR. GUNTHER: All right, I'll go to move -- pass it on
10 to City of San Bruno.

11 MR. CALDWELL: Geoff Caldwell, no questions at this
12 time.

13 MR. DAUBIN: Brian Daubin, PG&E, no questions at this
14 time.

15 MR. FASSETT: Bob Fassett, PG&E, no questions at this
16 time.

17 MS. FABRY: Klara Fabry, San Bruno, no question at this
18 time.

19 MR. SHORI: Sunil Shori, California PUC.

20 BY MR. SHORI:

21 Q. During -- based on what you've seen on Line 132 have you
22 identified any other locations of concern that you're aware of on
23 Line 132 that are being contemplated for camera examination for
24 visual examination?

25 A. So as you know, we evaluated the 132 between the

1 mainline valves and we saw the majority of the pipeline, albeit
2 approximately just short of 800 feet, and so there's -- everything
3 has been recorded and so there's no further plan to do any further
4 camera work in that section of pipeline at 132.

5 Q. On the locations where liquids were found on 132 on the
6 camera visuals --

7 A. Um-hmm.

8 Q. -- were those liquids removed?

9 A We attempted to remove them based on the work plan that
10 we had for that day and the constraints that we were working
11 under. We were not that successful in removing them.

12 Q. How many locations did you identify liquids at?

13 A. The majority of the liquids was contained in the section
14 between Catalpa and Healy Station. Majority of it being at -- in
15 Rolling Wood; the crossing of Rolling Wood Street.

16 MR. SHORI: I think I'll pass for now. Thank you.

17 MR. KATCHMAR: George, Peter Katchmar with Pipeline
18 Hazardous Material Safety Administration, U.S. DOT.

19 BY MR. KATCHMAR:

20 Q. We understand that you saw some short spools in your --
21 while you were looking in your camera, you know, running your
22 camera here; is that correct?

23 A. Well, yeah, we saw some short spools prior to -- mainly
24 but to tie-in pieces, you know, as is typical.

25 Q. Say again?

1 A. Mainly prior to tie-in pieces or fittings. Typically
2 the practice, common practice is to spool an elbow or a reducer
3 with a spool of pipe, so we did see some there.

4 Q. Okay. Are you familiar with the pipe that included what
5 they cut out and sent back to the NTSB how there were five little
6 sections of three-foot six or three-foot nine inch long pups, like
7 five or six of them in a row?

8 A. I didn't see it but I've heard about it, yeah.

9 Q. Okay. Did you see anything like that? I understand at
10 a tie-in you have to cut the pipe to whatever you have to cut the
11 pipe to.

12 A Yeah.

13 Q. But this was actually, you know, little pups, just one
14 after the other.

15 A. Did not see anything like that.

16 Q. Oh, all right, good. I'm sorry, I thought that's what I
17 had heard. We saw in the report that there was some black spots
18 near girth welds; do you remember seeing those?

19 A. Yeah, I do remember seeing some.

20 Q. Do you have an opinion as to what those are?

21 A. I don't know what they were. We focused in on them,
22 they're on the DVD for viewing. I couldn't tell you what it is.

23 Q. Okay. Do you have an opinion on what method the girth
24 welding process was?

25 A. From the inside I couldn't tell you.

1 Q. Okay. Do you have a opinion on the quality of the long
2 seams from what you saw on the inside?

3 A. From what I saw of the long seams it looked like what I
4 would expect of typical DSAW pipe.

5 Q. Okay.

6 A. It was very evident that the majority of the long seams
7 in the pipe that we viewed was your typical well-defined crown a
8 DSAW weld.

9 Q. Okay. And how about an opinion on the quality of the
10 girth welds from the inside?

11 A. DSAW is double submerged arc weld.

12 MR. CHHATRE: Off the record, please.

13 (Off the record.)

14 MR. CHHATRE: Back on the record.

15 THE WITNESS: Your question was do I have an opinion --

16 BY MR. KATCHMAR:

17 Q. The quality --

18 A. On the quality of the girth welds?

19 Q. Yeah, from the inside.

20 A. No, I haven't viewed a lot of internal girth welds.

21 Q. Okay.

22 A. So I couldn't tell you if it's --

23 Q. Do you recollect seeing any stenciling on the inside of
24 the pipe?

25 A. Yes, I do.

1 Q. And could you -- do you remember what it said?

2 A. It said a lot of things. I mean --

3 Q. Was it, you know, like a manufacturing type or --

4 A. No, it was typically a series of numbers. It ranged
5 from a three to four digit number with a -12 -30 was the majority
6 of them. And then underneath that was a four digit number with
7 a -- to decimal places, so 31.21 or -- I saw a lot of that. And
8 then some other variations of that. Some other design --

9 Q. Do you know what that might have been?

10 A. Well, when we looked at it I didn't know what it would
11 have been other than -- but we did find some records that
12 indicated that that is a shipping designation. The first number
13 being a unique serial number, the second number being -12 was, I
14 believe, stood for 12/32, which is a 375 wall, and -30 meaning the
15 OD. And then the bottom number was the footage of that joint;
16 joint being girth weld to girth weld. Wherever we saw those we
17 wrote them down and -- so we do have records of that.

18 Q. I saw them on this --

19 A. And at the time --

20 Q. -- report.

21 A. -- we didn't know the significance of them but we
22 wanted, since we were there we wanted to write down whatever we
23 saw.

24 Q. Sure.

25 A. You know, we weren't sure where we were going with this

1 so. And the camera focused long enough so that one can go back
2 and see what we saw.

3 Q. Okay. And in your recollection, all the anomalous
4 situations that you saw were logged on this report?

5 A. Yes.

6 Q. Okay.

7 MR. KATCHMAR: All right, thank you, sir.

8 BY MR. GUNTHER:

9 Q. When saw pups, did you see any together? And why I say
10 "pup," I say a length of pipe say less than six feet; did you see
11 more than one together?

12 A. I would have to go back and look at the -- we did log
13 the pipe segments and the girth welds and footages between the
14 girth welds so it's easy to go back to the report and look. So I
15 don't want to quote from memory, I would really have to go back
16 and really look at that to --

17 Q. Okay.

18 A. -- to answer that.

19 Q. Like I said, I was just curious 'cause the one piece we
20 have there's six of them all together.

21 A. Yeah. And I -- that would have been something that
22 would have stood out to us and I --

23 Q. Yeah.

24 A. It's pretty much safe to say that that wasn't the case.

25 Q. Okay.

1 MR. GUNTHER: That's all I have.

2 MS. MAZZANTI: No questions.

3 MR. SPERRY: No questions.

4 MR. NICHOLSON: No questions.

5 MR. CHHATRE: Ravi Chhatre, NTSB.

6 BY MR. CHHATRE:

7 Q. On this inspection how familiar are you on the --

8 A. I wasn't familiar with it at all till it showed up.
9 Until what I read in the specifications.

10 Q. So what is the contractor supposed to do for you?

11 A. He's supposed to provide the equipment, operate it,
12 insert it into the pipe and operate it, steer it, take direction
13 on us of what to look at, what to focus in on and to produce the
14 DVDs that we can have afterwards. That was their responsibility.

15 Q. Now, who did the interpretation of what you are seeing
16 the DVDs did? Did you review the inspection?

17 A. Right. Well, we put together a team of David Gear, who
18 you just spoke with. We also had another welding engineer from
19 our ATS organization.

20 Q. Can you tell us what "ATS" is?

21 A. Applied Technological Services. I got that right? And
22 it's a PG&E group and they do a lot of our research group and
23 research work, so we had a welding engineer from there. We also
24 had a technician that was there that helped. We -- as we were
25 doing this we thought it was a good idea to make backup DVDs in

1 case something went wrong with the contractor's DVDs, we would
2 have a backup set, so we had a dual feed -- a split feed in from
3 the controller of the ROV or the remote operated vehicle, which
4 was the contractor's DVD, to our trailer and so we had a split
5 feed so we were also making copies of the DVDs, as well; the same
6 thing that they were seeing. And so we had a technician that was
7 concentrating and focusing on that. And we also had communication
8 between the two vehicles so if one saw something that they other
9 didn't see we would communicate back and forth, "Hey, stop here,
10 let's look at this. Let's zoom in on that. Hey, I saw that.
11 What do you think of this?" And that's how it went.

12 Q. I'm sorry, what do you mean by two vehicles? Are you
13 talking about the locations where you were sitting? Are there two
14 probes going into the pipe?

15 A. No, there's one probe going into the pipe, that's the
16 camera. It's a four-track unit, it articulates in the middle, has
17 a camera on the front that looks forward, has a camera on the back
18 so that when you're pulling it out you can see that you're not
19 running over the tether. It's a tethered unit. It's operated
20 from a trailer that the contractor provides and that's one of the
21 units. He's got a computer that operates it. We had a feed --
22 split feed from that vehicle to a PG&E bread truck, that we call,
23 that has its own screen. We had our PG&E guys, aside from David
24 Gear who sat next to the ROV operator, and then we had a PG&E and
25 ATS in a separate vehicle.

1 Q. You're talking about -- offices --

2 A. Yeah, a little redundancy there to help for -- we wanted
3 to -- we had one shot at this, we didn't want to -- wanted to make
4 sure it was most productive.

5 Q. Who was the welding engineer for you to contact?

6 A. It was Alex Gutierrez was a welding engineer. He wasn't
7 there the entire time but he was there for a few of the
8 assessments.

9 Q. Can you spell the name?

10 A. Alex, A-L-E-X.

11 Q. Last name.

12 A. Gutierrez, G-U, either one "T" or two "T's," E-I-R-R-E-

13 Z. I might have that wrong, but --

14 Q. That's okay, gives something to start with.

15 A. Yeah.

16 Q. Now, you said he wasn't there all the time; what are his
17 purpose?

18 A. Same thing. Well, as I say, another set of eyes.

19 Q. Okay.

20 A. Another set of eyes.

21 Q. And was Mr. Gear there all the time?

22 A. Yes, he was.

23 Q. Now, I just need some clarification here and I
24 understand people are talking approximate numbers. Did you
25 mention about 800 feet of pipe you inspected? So I'm just kind of

1 trying to get --

2 A. He said what?

3 Q. (Inaudible) roughly. I'm just trying to have -- get a
4 number --

5 A. Okay.

6 Q. -- which is -- which is more correct.

7 A. Okay. Well, the -- we'll start big but the at the mile
8 points of southern station is 38.49.

9 Q. Okay.

10 A. And the mile point of the northern station is 40.05. In
11 one section we viewed from the southern station and then from the
12 next assessment point we traveled towards each other and missed
13 about 139 feet of pipe, 1961 pipe. So that's 139 feet that we
14 didn't see out of that 1½, 1.56 miles.

15 Q. Right.

16 A. Then there was another -- same type of situation where
17 we head off from Glenview and Earl, we headed North with the ROV
18 and then we came from the other direction at Catalpa coming down
19 and we missed approximately 594 feet of 1994 pipe. So we didn't
20 pursue seeing the 1994 pipe; we pretty much knew what we were
21 going to see.

22 Q. Okay.

23 A. And we were able to poke the camera in to both ends of
24 that 1994 pipe.

25 Q. There's more than 1½ miles, I guess.

1 A. Yeah.

2 Q. It's almost like three miles?

3 A. Right. All but about 800, whatever --

4 Q. Right.

5 A. 594, 139.

6 Q. Would that be on either side of the rupture, like -- two
7 miles?

8 A. We got, from the rupture site we saw all of segment 180
9 to the South and to the North.

10 Q. Okay. And this was -- besides that additional mileage
11 will be for the other pipe, is also 30-inch?

12 A. Um-hmm.

13 Q. Okay. Same vintage?

14 A. I take that back. When we started as San Andres
15 stations it's 24 inch. It was installed in, oh man, I'm not going
16 to guess but it was later vintage. It was, I think it was in the
17 '80s.

18 Q. Okay.

19 A. Yeah.

20 Q. Much newer pipe later --

21 A. Yeah.

22 Q. -- later than 1948?

23 A. Right.

24 Q. Okay. I see.

25 A. Exactly.

1 Q. Now, the camera, does it have -- does the camera have
2 any limitations about the pipe diameter below which you cannot
3 pass it?

4 A. Yeah, well the camera -- the camera's one thing. The
5 camera's a small piece and the ROV with the tracks is the major
6 thing and that can fit into anything 12" and above.

7 Q. Okay. Now for this -- for this inspection who were the
8 requestor of the work by you?

9 A. The work was requested by Bob.

10 Q. And what did the request ask you to do?

11 A. We were asked to put a team together to see if we can
12 get -- take a look inside the pipe to look for the existence of a
13 weld on the inside of the pipe.

14 Q. Okay. And were you asked -- I guess, identify the weld
15 or that was done on your own?

16 A. To the extent that we could we -- if we found a weld,
17 which we did, we tried to identify it.

18 Q. And how did you do that?

19 A. Well, this is all visual. It's a high def camera so
20 what we did was we stopped at each weld we found where the long
21 seam or we felt the long seam was, we zoomed in on it and if you
22 look at the videos you'll see a pretty high definition shot of
23 the -- what appears to be a DSAW internal weld. And it was pretty
24 evident to us.

25 Q. You could see the crown on the inside of the joint or

1 was there any area that you did not see the crown?

2 A. We saw the crown on the joint. It was -- the only areas
3 that we didn't see the crown was sometimes at the very ends where
4 it looked like it was ground down or --

5 Q. Okay.

6 A. -- not there.

7 Q. And do you know who might have done the grinding or was
8 it standard for all the pipe inspections you did?

9 A. I have no idea who had done the grinding. It could have
10 been done in the factory or done in the field. I have no idea.

11 Q. Is that something you would expect in the DSAW pipe
12 joint?

13 A. I'm not an expert on that but I -- I think so that you
14 would see that.

15 Q. And can you elaborate further as to why you would expect
16 that?

17 A. I would rather not, I just would be speculating.

18 Q. Okay. So not all the, I guess, the pipe joint, I'm not
19 talking the pups, I'm not talking about the small pipe sections,
20 but all the pipe joints, standard -- what the pipe lengths may be,
21 you say some of them were ground or some of them were not ground?

22 A. We're talking at the very last end before the girth
23 weld, some of them.

24 Q. So some of the joints were not ground?

25 A. Correct.

1 Q. But majority were ground?

2 A. Correct.

3 Q. Do you recall approximate distance from the edge --
4 ground?

5 A. Approximately four -- four to seven inches. Yeah.

6 Q. Did you encounter any difficulties doing this process of
7 inspection?

8 A. Well, encountered difficulties with traveling as far as
9 we wanted to travel with the camera. The camera itself has
10 specifications that it can do -- the tethered length itself is
11 6500 feet. And so we anticipated that we were going to able (sic)
12 view this entire mile and a half by going from the southern
13 station, the rupture site is approximately in the middle of these
14 two mainline valves, so we envisioned that, at first naively so
15 that we could view all the way, all 4,000 feet from one side, come
16 from the north side and go south to 4,000 feet and see it all. We
17 quickly learned that that wasn't going to happen because the
18 amount of -- each time you go through an angle you increase the
19 friction on the tether and it -- that -- and plus the whatever
20 residual moisture or liquid is on the pipe you lose traction on
21 the ROV and it stopped.

22 So we have various lengths of travel as you see in the
23 report and it basically caused us to go find another hole to dig
24 and go through the process of -- with the City to try and get
25 another permit to dig another hole in another location. So that's

1 what -- that was probably our major issue.

2 Q. And so at these locations how did you insert the camera
3 in that location that you dug up?

4 A. We removed the piece of pipe. We dug and exposed the
5 pipe. We cut out a piece of pipe and the smallest was about four
6 feet to be able to get the right pulley in there and to get the
7 alignment so that the tethers will get smoothly inserted into the
8 pipeline and the way we went; we usually went both -- we picked a
9 spot where we can go both directions to maximize the use of that
10 hole.

11 Q. Do you recall how many of those may be, number wise how
12 many holes you dug up? How many piece of pipe you pulled?

13 A. Yes. So the -- you start at the southern section, we
14 removed a piece of pipe there where we removed a pipe at the San
15 Andres station. We then put a -- the rupture was automatically a
16 place where we removed the caps and used those two access point.
17 Catalpa Way, the basketball court area as it might be formerly
18 known, is -- was another location. And then Rolling Wood Drive
19 was the other location. So --

20 Q. Four.

21 A. Four, including the rupture site, yeah.

22 Q. Now --

23 A. Oh, I'm sorry, and then there's Healy station, that was
24 the northern station where we inserted, tried to go up. That was
25 too steep, we only got 110 feet at that location.

1 Q. Is that information in the report? I haven't read it.

2 A. That information's in the report.

3 Q. Now, what did the team do when you cut the pipe out?
4 Did -- any additional inspection was done of the section of pipe?

5 A. Our primary purpose was to get the camera in and do a --
6 and to do our inspections. That was -- we were under the gun with
7 time, daylight, customer impacts, working with the City. Each day
8 we had police there wanting videos before we left, they wanted to
9 have that in their hands. So we were very focused and felt a lot
10 of pressure to get the work done. And then to put the pipeline
11 back in service, so to speak, and not operational but back in
12 service for --

13 We removed the pipe. We hauled the pipe to the San
14 Carlos facility where it's locked up, so the pieces of pipe are
15 there. We performed what we would do -- call a Standard Form A or
16 maintenance form, and so, you know, wall thickness, measurements,
17 classic stuff on the Form A.

18 Q. Okay. And what other form were review besides wall
19 thickness?

20 A. A lot of data, physical data, the conditioning of the
21 coating, the depth of the pipe, again wall thickness would be UT.

22 Q. Is that information in the report?

23 A. That's not in the report. It was -- it was -- no, it's
24 not in the report.

25 Q. Okay. And you said the pipe is stored at which

1 location?

2 A. It's in -- we brought it to the San Carlos yard in one
3 of the cargo containers.

4 Q. And I know it has been couple of months since the
5 inspection was done.

6 A. Yeah.

7 Q. Has any additional work been done on those small
8 sections that you removed; five of those?

9 A. I can't think of any.

10 Q. The reason I ask is because the mission was to look for
11 the weld seams and kind of quantify.

12 A. Um-hmm.

13 Q. We have your pieces here outside, you can visually --
14 look without camera at both sides --

15 A. Um-hmm.

16 Q. -- and I was wondering whether there were any effort
17 made to match what you saw with what you're seeing in the camera?

18 A. Well, when we cut it out, cut the piece out it was very
19 evident by looking at it that you saw what appears to be a DSAW
20 seam. We didn't do any other work other than that. Yeah. We
21 didn't feel any was -- any was necessary.

22 Q. All right.

23 A. But that's why we save the pipe, so --

24 Q. Okay. Pipe has been saved.

25 MR. CHHATRE: Can I ask PG&E just to save that, hold

1 onto that even if you're not planning anything and -- I mean you
2 have no plans right now but depending upon what MetLife finds out
3 with that one piece you have sent us?

4 MR. FASSETT: Yeah, my understanding is it's in a claims
5 locker, so it's secure.

6 MR. CHHATRE: And I just want to make sure because I was
7 not aware of that and if you guys are (indiscernible) you're using
8 some other place or just rid of it, so I just want to make sure
9 just don't get rid of it. I don't want it right now.

10 MR. FASSETT: Do you have Brian -- why don't you clarify
11 what you were saying. This is Brian Daubin.

12 MR. DAUBIN: Brian Daubin with PG&E. We sent the
13 information in a data request to NTSB and CPUC on what the camera
14 operations would be and we specified in there that that -- those
15 sections of pipe were being removed through permits with the City
16 and that we would be retaining that pipe until further notice from
17 the NTSB.

18 MR. CHHATRE: Oh, I by no means I mean to imply that you
19 didn't tell us.

20 MR. DAUBIN: No, no.

21 MR. CHHATRE: I just said I was not aware of it.

22 MR. DAUBIN: My point being is that we had planned all
23 along to hold that pipe until such time as we're notified as --

24 MR. CHHATRE: Great.

25 MR. DAUBIN: -- we're given the okay to do what we want.

1 MR. CHHATRE: Thank you. Just hold on to it until we
2 tell you to.

3 MR. DAUBIN: Yeah.

4 MR. CHHATRE: I have no plans right now. It all depends
5 upon what Don finds out.

6 MR. DAUBIN: I agree.

7 BY MR. CHHATRE:

8 Q. Are you planning any further inspection using this
9 similar camera technology at the locations?

10 A. If I'm directed to do that then I would. But if --

11 Q. But you're not aware of any pending request?

12 A. No.

13 Q. Have you done any inspections like this, not necessarily
14 with this camera, but that -- other gas pipes, transmission lines?

15 A. Me personally? No.

16 Q. Do you know anybody else that might have done that?

17 A. I don't have specific information of that.

18 Q. Okay.

19 A. But I believe in the past we have done some work at PG&E
20 years ago with a different type of unit.

21 MR. SHORI: Point of clarification?

22 MR. CHHATRE: Sure.

23 MR. SHORI: Sunil Shori. Are you asking if the camera's
24 been used in -- on other locations, other pipe?

25 MR. CHHATRE: No, I'm asking --

1 MR. SHORI: This particular camera?

2 MR. CHHATRE: -- other inspections using some different
3 technique.

4 BY MR. CHHATRE:

5 Q. Now, you probably answered this, if you answered it bear
6 with me and please answer again, what is your job description?
7 What are you responsible for?

8 A Right know I'm a supervising gas engineer. I supervise
9 three other pipeline engineers.

10 Q. Okay.

11 A. As pipeline engineers we're responsible for a geographic
12 area of transmission pipeline. And we are basically the
13 maintenance engineers. We design, engineer (indiscernible)
14 project management through construction gas transmission
15 pipelines.

16 Q. So responsibility -- so you guys are involved in
17 repairs, maintenance or new construction or all of the above?

18 A. All the above.

19 Q. Now, when you do any repair of -- replacement or new
20 construction -- new construction is out of the question right now
21 for this question but for repair and replacement, do you -- the
22 drawings prepared by PG&E, I forget the term for it, the computer
23 aided drawings? How do you know where to dig and what --

24 A. Can you --

25 Q. If you don't understand -- repeat it?

1 A. Yeah, please repeat --

2 Q. Yeah.

3 A. -- and ask in a little more detail.

4 Q. What I'm trying to find out is, and maybe Bob you can
5 help me on this one, there's a department, design and drafting
6 (indiscernible)?

7 A. Um-hmm.

8 Q. That has all the class of drawings of different
9 locations of pipelines, telling what the pipe diameter
10 (indiscernible) welds, weld locations. In your responsibilities
11 do you have to use those in repair of --

12 A. Oh, yeah, we use a number of different --

13 Q. Have you seen any discrepancies in what the drawing
14 shows and what they actually find in the --

15 A. You know, I -- I can't think of any off the top of my
16 head, you know, other than the discrepancies we found through this
17 research.

18 Q. Now, if you find discrepancies since you don't recall
19 whether you have or have not -

20 A. Right.

21 Q. -- what is your next step?

22 A. Next step would be to document what I found and to send
23 it off to our mapping department to get it changed and then make
24 sure it gets changed in the system so that it's updated.

25 Q. And how do you make sure it got changed?

1 A. Well, typically we -- you know, we communicate with an
2 e-mail documenting, you know, what the change is, what we found,
3 what it should be and send that off to our mapping department and
4 we communication back and forth until the change is made. And
5 usually they call me back for clarification, you know.

6 Q. And that's that?

7 A. That's that.

8 Q. Have you done any work, and I don't know how long -- how
9 many years you have been with PG&E, but during your tenure PG&E
10 have you done any repair requested work on Line 132?

11 A. No.

12 Q. Have you seen in any of the transmissions line in PG&E a
13 discrepancy like this where it's a seamless pipe versus a welded
14 pipe?

15 A. I haven't run across anything like that that I can
16 remember.

17 Q. Have you seen any discrepancy in the seam identification
18 in the transmission lines, again, in the PG&E system?

19 A. I think -- I think I have found a discrepancy, yes.

20 Q. And what that location would be?

21 A. On Line 123.

22 Q. What kind of discrepancy?

23 A. It was more about the grade of the pipe. It was about
24 the grade of the pipe that was -- a value in there that wasn't
25 correct.

- 1 Q. Okay. You mean like 8/52, 8/42 (ph) or --
- 2 A. Yes.
- 3 Q. Okay.
- 4 A. Yes.
- 5 Q. And do you remember the size of that line?
- 6 A. It's 12 inch.
- 7 Q. And was it pre-1970 or was it --
- 8 A. It was pre-1970.
- 9 Q. Pre-1970. And how did you correct the record in your
10 drafting? In that work?
- 11 A. The same thing.
- 12 Q. Same thing.
- 13 A. Yeah, just communicated it with an e-mail to --
- 14 Q. And you got confirmation that the record had --
- 15 A. Um-hmm.
- 16 Q. Any anomalies with the valves and fittings that --
17 location wise? I mean, the drawings show there's a fitting and a
18 line there but the drawing doesn't show a fitting in this one?
- 19 A. You know, I can't say for sure.
- 20 Q. Okay.
- 21 A. I mean, I --
- 22 Q. That's fine.
- 23 A. There's a good possibility that that might happen but I
24 just can't put my finger on it right now.
- 25 Q. Right. Okay.

1 A. I've been doing this for -- this job for 15 plus years.

2 Q. Okay. So you're not saying it's not there, you're not

3 saying it may be there (indiscernible); is that correct?

4 (Inaudible)?

5 A. Something like that.

6 Q. Okay. Now, the drafting department keeps, I guess, the

7 drawings up to date; who keep the record of the pipelines? When

8 they're ordered, who the manufacturer was, what the heat analysis

9 is? Is that your department, your responsibility?

10 A. The first part of your question was --

11 Q. The draft --

12 A. I missed the first part.

13 Q. From what I understand the drafting department, you see

14 an error, they correct it, these drawings?

15 A. Right.

16 Q. My question is for the older pipelines and new lines,

17 who is the record keeper for the pipeline's information like heat

18 analysis, the supplier, the manufacturer, the process?

19 A. I don't -- some -- I mean the newer process, it's in our

20 vendor quality control reports. Our inspection reports. They

21 keep that information. Any other information we get when the job

22 goes into the job folder it gets filed in our records department.

23 Q. That goes in the records department?

24 A. Yes.

25 Q. And how's that -- okay, it's not your jurisdiction then?

1 A. No.

2 Q. What was your job description --

3 UNIDENTIFIED SPEAKER: No? Was -- I'm sorry, was that a
4 "No"?

5 THE WITNESS: That was a no, sorry.

6 BY MR. CHHATRE:

7 Q. What was your job description at the time of the
8 accident? I think you said your job right now is such and such;
9 I'm just trying to find out have you changed your job since the
10 accident?

11 A. Yeah. Yes. A little confusing. I was -- just ending a
12 rotation as a gas M&C superintendant.

13 Q. What does M&C stand for?

14 A. Maintenance and construction.

15 Q. Okay.

16 A. And I was officially still on that rotation from my base
17 job as the supervising gas engineer. And I was kind of in
18 transition to ending the rotation and maybe continuing it to the
19 end of the year. When the incident happened I was to come off of
20 that rotation and came into Walnut Creek to help them any way I
21 could.

22 Q. So bear with me.

23 A. Um-hmm.

24 Q. You were on the rotation gas M&C; which location was
25 that?

1 A. I was in Auburn. It was for Sierra and North Valley --

2 Q. Okay. And before that rotation what was your position?

3 Or you were already supervisor?

4 A. Supervising gas engineer, pipeline engineering group.

5 Q. And would that include Line 132?

6 A. No. It's located in (indiscernible); mostly Sierra
7 division, North Valley division, Sacramento division.

8 Q. And now you're current responsibilities; would that
9 involve 132?

10 A. No.

11 Q. So right now you're just helping on this project?

12 A. Correct.

13 MR. CHHATRE: That's all for me. Thanks.

14 UNIDENTIFIED SPEAKER: No questions for --

15 MR. CHHATRE: Any follow-up questions?

16 MR. CALDWELL: None.

17 MR. DAUBIN: No --

18 MR. FASSETT: Bob Fassett, PG&E.

19 BY MR. FASSETT:

20 Q. A little clarification on the video. I think you
21 mentioned that it's a high resolution camera. It's a digital
22 camera; is that correct?

23 A. I think so.

24 Q. Okay. My understanding was with the video that was
25 provided you can, kind of, post process if you -- the software has

1 the ability to zoom in again on the weld if that's what you wanted
2 to do or look at the pipe or is it just fixed at whatever it saw?

3 A. I think it's fixed at whatever we saw and we can zoom in
4 on the screen to the extent but we're not actually altering the
5 image.

6 Q. All right. But because it's high resolution when you
7 zoom in you still things; it doesn't all go grainy on you?

8 A. Oh, correct.

9 Q. Okay.

10 A. Correct.

11 Q. Thank you.

12 MS. FABRY: No questions.

13 MR. CHHATRE: Any questions?

14 MR. SHORI: No questions.

15 MR. KATCHMAR: I've got a couple of questions.

16 BY MR. KATCHMAR:

17 Q. That one thing you were talking about on Line 132, that
18 discrepancy for -- on the SMYS --

19 A. Uh-huh.

20 Q. -- how did you -- what was that? How would you find
21 that?

22 A. We went looking for purchase orders of the pipe and
23 found out that it was purchased on bulk, it was a bulk order that
24 was purchased for a couple other pipelines, as well as this
25 pipeline. And the assumptions that were in our GIS record were

1 very conservative and so we went and did further investigation and
2 looking and found the purchase order that had the actual
3 description of the pipe itself with the grade. And so I believe
4 at the time it was 33,000 yield strength and we found out that it
5 was X42 or 42,000.

6 Q. Why would you not have -- why would you even have
7 thought it was wrong, I guess is my question; you know what I'm
8 saying? What made you think that there was a problem it this SMYS
9 that you would -- that would force you to go look --

10 A. Well, there was a lot of development in the area, we
11 wanted to make sure it was operating within the proper class
12 location and it had the proper limitations on strength, on SMYS,
13 and so 33,000 was pretty conservative and I can't remember if it
14 was over a class 3 or not, but we definitely wanted to find out if
15 this was commensurate with the class locations so it warranted
16 further investigation.

17 Q. Okay. Is this something that you -- or you did, I
18 guess, routinely on areas where there's a class location?

19 A. Um-hmm.

20 Q. Okay. On page 339 of your report here there's a --
21 there's a -- it says "Tie-in sleeve at girth weld number 50, split
22 seam in sleeve entering GIS segment 183. Dent at 1189, 10:00
23 position." Do you know -- does that ring a bell to you or you
24 want to see it?

25 A. I would have to see it and look at my report and look at

1 my notes, as well, to -- I mean, we wrote a lot of things like
2 that and saw a lot of pipe.

3 Q. Okay.

4 A. But what's your question about it?

5 Q. I guess my question is, is this dent sleeved? I mean,
6 you can see it, I don't understand it because --

7 A. Is there a picture associated with it?

8 Q. There is.

9 MR. KATCHMAR: Send that over there.

10 MR. FASSETT: Please.

11 MR. KATCHMAR: Looks like a fairly significant dent.

12 (Pause.)

13 MR. CHHATRE: Please identify yourself.

14 MR. DAUBIN: Brian Daubin.

15 (Pause.)

16 BY MR. KATCHMAR:

17 Q. So I guess my question is you mention the sleeve there;
18 how are you going to see a sleeve from the inside of the pipe that
19 covers a dent, I guess, if that's in fact what you're saying
20 there?

21 A. That's not what I -- what I'm saying is the -- the
22 sleeve itself that you can see is at 1183.5 tether distance. And
23 you can see it's a -- it's typical of a wedding band type sleeve
24 where you can see the heat tint on the inside of the pipe for the
25 weld -- exterior weld, the fill-it weld on the outside of the

1 sleeve. And then back then they didn't bother to make clean butt
2 welds, they -- there was a gap in the pipe and then they sleeved
3 it on both sides. So you can typically on these sleeves if you
4 zoomed out and if we looked at the video itself, you want to look
5 at the actual disc, you would probably see --

6 You can see on the first picture, you can see this heat
7 tint here and then you can see the heat tint of the long sleeve
8 weld on the sleeve. And then over here you would see another heat
9 temp on the other side of the gap where it -- which mean -- they
10 call them wedding band sleeves.

11 This dent is at 1188.7, it's further away. It's just in
12 the vicinity of the sleeve is what we were trying to say. That
13 dent itself I didn't -- I don't indicate that it had been sleeved.
14 This would be something that we would want to dig up if we were to
15 put the pipeline back in service.

16 We didn't do any further work on it because it's in
17 the -- it's out of service, it's in the right of way. I believe
18 we found this on the Catalpa run, Catalpa going down or on
19 property, steep hill. We would have to remove a lot of trees,
20 impact more customers and the sensitive time, but it's noted as
21 a -- if we were going to go back in service we're going to want to
22 go look at this thing.

23 Q. Okay, thank you. And then I guess we found on page
24 segment 54 there was a -- 54, 55, 56, and 57 there was a four-foot
25 pup, a one-foot pup, a four-foot pup and a three-foot pup?

1 A. What -- what assessment run are you talking about?

2 Q. I don't know.

3 A. Okay. So the best thing to do is each run we did is
4 specific to -- you got to start with the assessment run and where
5 we started from and then it might help me --

6 Q. Okay. And I'm not trying -- trying to --

7 A. No, I understand.

8 Q. -- trap you or anything. But you've kind of indicated
9 that you didn't remember seeing any bunch of little pups together,
10 you know, four or five little pups together. It appears that
11 there was a four-foot, a one-foot, a four-foot and three-foot and
12 I guess, you know, I'll be able to find it.

13 A. Was there any bends -- is there any bends in the
14 vicinity of any of those?

15 Q. You know, there could have been.

16 A. Or reducing?

17 Q. There were also a couple of areas where you had actually
18 added a scan of a piece of loose leaf paper that you had drawn on,
19 drawn all the segments on?

20 A. Yeah, I didn't draw that but --

21 Q. So whoever.

22 A. Right.

23 Q. It was in your report?

24 A. Um-hmm.

25 Q. And it will take me just a couple seconds here to find

1 it. Here they are, right here as a matter of fact. One is
2 Catalpa Way to Earl Avenue, 28 to 50 -- 228 to 250, spool assembly
3 drawing number 1. And then -- and then here's another one, spool
4 assembly drawing number 2, 228 to 250. And it seems like there's
5 a whole lot of -- lot of bends and --

6 A. Chunks of pipe.

7 Q. Is that -- is that not significant?

8 A. What are you referring to?

9 Q. I guess the large number of small pups put together.

10 Would you have gone back and looked at the as-build drawings to
11 see if that matched up to the as-build drawings?

12 A. No, we did not.

13 Yeah, this is -- this is at a tie-in, again. So what I
14 think I said before was that around tie-ins and around reduced --
15 bends that we saw short pup sections leading up to it because
16 there was either fittings or bends and this is a tie-in piece.
17 And you can tell that by the evidence of the sleeves. Again, we
18 talked about these wedding band sleeves; these indications are
19 sleeves.

20 Q. Oh, okay.

21 A. So this was the actual tie-in piece from here to here
22 was made up of a tie-in piece that was dropped in place.

23 Q. Are these girth welds?

24 A. Those vertical lines are girth welds, yeah.

25 And then any time you see this that was an indication of

1 the wedding band sleeve. You can see -- well, these are the
2 actual notes, so -- but yeah, that's what that is.

3 Q. Okay.

4 A. And these are Dave's notes.

5 Q. Okay. But again, nobody went back yet and looked at the
6 as-builds to see if they were -- if they matched this?

7 A. No.

8 Q. Okay.

9 A. Not to my knowledge.

10 Q. But even so, you know, I guess everything's marked DSAW
11 so you -- you obviously saw --

12 A. Yeah, we spent a lot of time in trying to --

13 Q. -- seams.

14 A. -- make sure that each spool had -- that we can see
15 evidence of an internal weld or not. That was our purpose.

16 Q. One second, I'll find this other one.

17 (Pause.)

18 All right, here. It starts, it says, "Tie-in sleeve at
19 girth weld 54," and that's your four-foot pup. And then you've
20 got a one-foot, 1302, 13-3. And then you've got another four-
21 foot. And then a three-foot and it says, "Tie-in sleeve." Angle
22 point left, double DSAW line segment in --

23 Then on this particular one, girth weld 55 at 1302 to
24 1303, the one-foot, you have a long seam position at two and a
25 half and 830, like 230 and 830 both; what would that indicate?

1 A I can't see that from here.

2 Q. So is that like two long seams on the one-foot pup?

3 UNIDENTIFIED SPEAKER: Is there way to reference a page
4 number you're looking at so when we go back --

5 MR. KATCHMAR: Yes, there is as a matter of fact. It's
6 page number 189.

7 BY MR. KATCHMAR:

8 Q. That's the four-foot piece, tie-in sleeve at girth weld
9 54, so it's 189, 190, that's your one-foot piece with two long
10 sleeves?

11 A. Um-hmm.

12 Q. And then 191 and 192, it's actually a three-foot piece?

13 A. Um-hmm.

14 Q. So can you explain that? What did we say, it's a three-
15 foot, a one-foot -- a four-foot, a one-foot, a four-foot and a
16 three-foot?

17 A. Um-hmm.

18 MR. JAQUES: What are you asking him to explain? It's
19 documented there.

20 MR. KATCHMAR: Those short pups.

21 MR. JAQUES: But what's the question?

22 MR. KATCHMAR: Those -- explain those short pups, I
23 guess.

24 MR. JAQUES: Okay.

25 MR. FASSETT: This is Bob Fassett. Other than what's

1 already written there?

2 BY MR. KATCHMAR:

3 Q. I don't understand why there's four -- a four-foot, a
4 one-foot, a four-foot and a three-foot; if you could - try to
5 explain that, I don't know.

6 A. I would be speculating why it's there but there's an
7 angle point there, it's a tie-in piece, there's evidence of a
8 saving valve which could have used for gas control during the tie-
9 in. I would be speculating on why it's there. You know, I wasn't
10 there during the construction so I -- I don't want to be vague but
11 I --

12 Q. No, that's fine. I mean, we just asked you early on
13 where, you know, and like I said, I'm not trying to catch you on
14 anything but you know, we did ask are there any, that you
15 identified as, you know, four or five pups together.

16 A. Yeah. And I can --

17 Q. And can you explain the two long seams at 230 and 830?

18 A. Other than there's two long seams at those orientations
19 I can't explain it. It is on a angle point left, double DSAW,
20 long seam and spool, so it could be a clamshell fitting. It's put
21 together like a clamshell. A clamshell fitting was a -- I know
22 that was a style of fitting that was produced.

23 Q. Oh, okay.

24 MR. GUNTHER: Weld over sleeves.

25 MR. FASSETT: I believe he's referring to the clamshell

1 segments, they weren't weld over sleeves, they were actually --

2 MR. GUNTHER: No, I say I've seen weld over sleeves make
3 it that way.

4 MR. FASSETT: -- halves that were welded together.

5 BY MR. KATCHMAR:

6 Q. To make a pup or to make a pipe?

7 A. To make an angle.

8 MR. FASSETT: To make an angle.

9 MR. KATCHMAR: To make an angle, okay.

10 MR. GUNTHER: Generally manufactured that way.

11 THE WITNESS: So this is, I think this is what this is
12 referring to, angle point left, double DSAW, long seam and spool.

13 MR. KATCHMAR: Okay.

14 THE WITNESS: We didn't, to our knowledge did not see a
15 double DSAW in any straight pieces or pipe; it was always on a
16 angle if we saw it like that or a reducer.

17 MR. KATCHMAR: Okay.

18 THE WITNESS: Yeah, reducers.

19 MR. KATCHMAR: I just had never seen it before, I
20 figured I would ask.

21 THE WITNESS: Yeah.

22 MR. KATCHMAR: Thank you.

23 MR. CHHATRE: Any more questions?

24 UNIDENTIFIED SPEAKER: Just one follow-up.

25 BY UNIDENTIFIED SPEAKER:

1 Q. You're also involved with in terms of terms of looking
2 at additional lines at this stage for -- in terms of what the
3 Company has ordered, as far as any follow-up -- and so you said
4 the one discrepancy you've seen in the grade of pipe was Line 123?

5 A. This -- finish your question, I guess.

6 Q. Yeah. So have you seen any other discrepancies besides
7 Line 123 based on what you've done so far?

8 A. What I mentioned before, I believe the question was in
9 the past, in my other job have I ever seen anything like that and
10 that occurred maybe 10 years ago, I'm guessing, 7, 8 years ago.
11 So are you asking me about since I've been involved in the --

12 Q. Yes.

13 A. -- investigation since the incident?

14 Q. Yes.

15 A. And the question again is?

16 Q. What discrepancies have you seen in terms of the visual
17 observation? And again, you've run cameras on other lines at this
18 stage.

19 A. I've run camera in one other section of pipeline in Line
20 101 down in Paolo Alto.

21 Q. And you saw a discrepancy there?

22 A. I did not see a discrepancy in what we expected to see
23 as far as the seam in the pipe. What I saw was a discrepancy in
24 the record that missed a segment of pipe that was done because of
25 a hydro test where we put some go back pipe in after a hydro test,

1 that wasn't in our records but we saw the pipe with the camera and
2 we saw that it was wire welded and we were able to go back and
3 sure enough find the records of that pipe. So the records are --
4 our records are being adjusted to reflect that.

5 Q. So to confirm, to confirm some information then as far
6 as that camera --

7 MR. DAUBIN: Brian Daubin, PG&E.

8 MR. JAKUES: Let him answer first.

9 MR. DAUBIN: I'm sorry. Thank you.

10 THE WITNESS: I missed the last part of that.

11 BY UNIDENTIFIED SPEAKER:

12 Q. Is to confirm some information or missing information,
13 as far as the camera run?

14 A. The camera run produced something that we saw that
15 caused us to go investigate further. We saw a piece of pipe that
16 appeared to be back welded. When we looked at it we said, shoot,
17 back welding really -- not back welding, wire welded, GMAW, and
18 that process really wasn't used back when that pipe was
19 manufactured, when that pipe was put in place. So it caused us to
20 do some further investigation. And through that investigation we
21 found the job that, I can't remember the year, it was in '80s,
22 where there was a hydro test done on that section of pipeline and
23 that was a go back piece of pipe.

24 So the pipe that we investigated with the camera was
25 hydro tested. And it's just they missed putting that 18-foot

1 piece of pipe into our GIS records. Okay, that's what we found.

2 MR. DAUBIN: So Brian Daubin with PG&E.

3 BY MR. DAUBIN:

4 Q. So when you say there was a discrepancy you're referring
5 to GIS?

6 A. GIS discrepancy.

7 Q. And so the document of record, which is the project
8 folder, had the correct information in it?

9 A. That's correct.

10 Q. And you had to investigate that to find out the actual
11 information of what was in the ground?

12 A. That's correct.

13 Q. Okay.

14 UNIDENTIFIED SPEAKER: Three questions.

15 BY MR. KATCHMAR:

16 Q. Could you define "GMAW"?

17 A. Yeah, gas metal arc weld.

18 Q. And define go back pipe?

19 A. That was my term. Go back pipe is -- we cut a piece of
20 pipe out to do something to get a camera in, put a test head on,
21 we put pre-tested piece of pipe back in place. It's not the same
22 piece of pipe that we took out and it's pre-tested. It goes back
23 in place. I call it go back pipe.

24 Q. We're doing this for the --

25 A. Okay, sorry.

1 Q. -- for the lady that's transcribing it.

2 A. Okay.

3 Q. Why did you run a camera in that section of Line 101?

4 A. Same reason, we were doing our records research and did
5 not find confirmation of records indicating the long seam type, so
6 we were going in to look for the presence of an internal weld.

7 Q. Okay. And this gas metal arc weld, is that on a long
8 seam or girth weld?

9 A. Girth weld.

10 Q. Okay. I asked prior -- I'm sorry, this is Peter
11 Katchmar with PHMSA. I asked prior if you could determine the
12 type of girth weld and was told pretty much no.

13 A. I thought you told -- I thought the question and maybe I
14 misunderstood the question, I thought the question was can I
15 determine the quality of the weld? And I couldn't determine the
16 quality of the weld but I could tell in this instance the type of
17 weld.

18 Q. Okay. Maybe I did ask that question, so I apologize.
19 What I was getting at was the type of girth weld process, not the
20 quality actually but I mean that would have been the next
21 question. But what I was looking for, and with the previous
22 gentleman, as well, was the type of girth weld.

23 A. Type of process used?

24 Q. Type of processed used to create that girth weld. And I
25 even mentioned, I think, acetylene or stick welded and I was told

1 that you can't really tell the process.

2 A. Well, let me -- I mean, let me offer this that --

3 Q. Okay.

4 A. -- we didn't stop at every girth weld and do a 360
5 around and spend a lot of time on the girth weld. So that's one
6 thing. We -- you know, where there was something of interest we
7 did but --

8 Q. Okay.

9 A. -- we didn't spend a lot of time at each one to really
10 say, "Ah, is this," you know. Typically back then it would have
11 been stick welded and we pretty much went on that. At the Line
12 101 investigation that we did or the assessment it was pretty
13 evident that we saw wire whiskers sticking up on the inside of the
14 pipe. It looked like a weld that we hadn't seen before and we did
15 some investigation of that and looking at it and you --

16 Anyways, it was evident that it was not SMAW or
17 submerged arc welding.

18 Q. Okay. Did we do -- do we have the Line 101 videos, as
19 well, as Line 132?

20 A. I don't know.

21 MR. FASSETT: I don't believe so.

22 MR. KATCHMAR: Okay.

23 BY MR. KATCHMAR:

24 Q. Alrighty, 'cause the ones that I did see, I mean, you
25 know, it's like watching paint dry to watch these things but the

1 ones I did see you -- you actually ran the camera up to a girth
2 weld and then just spun around in girth weld.

3 A. Well --

4 Q. Then went on.

5 A. Yeah. And the reason we did that was to find the
6 orientation of the long seam. Was to find the long seam, look at
7 it, identify that it was definitely a DSAW that -- or that we
8 thought was DSAW and to document the orientation.

9 The one thing the camera doesn't do, when you spin the
10 camera around it doesn't give you a good orientation of -- doesn't
11 give you an orientation of where you're looking, at what clock
12 position. You have to center it, make it go home looking straight
13 and then look up, you know you're there, and then do your own --

14 So sometimes you have to backup to get the orientation
15 of the clock position. That's why.

16 Q. All right, thank you.

17 A That's what we were focusing on when we were doing that.
18 Not necessarily looking at the quality of the girth weld.

19 MR. KATCHMAR: Okay, thank you. That clarifies it.

20 MR. DAUBIN: Done.

21 MR. FASSETT: Done.

22 UNIDENTIFIED SPEAKER: Done.

23 UNIDENTIFIED SPEAKER: No questions.

24 MR. CHHATRE: One question on that.

25 BY MR. CHHATRE:

1 Q. Where -- the 101 at pipe joint, you said it
2 was -- you -- the one with the wire welding.

3 A. Yes, it was the go back piece after a hydro test. It
4 was done on the segment of pipeline.

5 Q. Okay. There is not -- there is not a piece that
6 ruptured in the pipeline?

7 A. Oh, no.

8 Q. Okay.

9 A. No, no. This was a pipeline that was taken out of
10 service for the purpose of hydro testing it.

11 MR. CHHATRE: That's all I have, thank you so much for
12 your time.

13 THE WITNESS: Okay.

14 MR. CHHATRE: Thank you for your help.

15 THE WITNESS: Thank you.

16 MR. CHHATRE: Off the record.

17 (Whereupon, the interview was concluded.)

18

19

20

21

22

23

24

25

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF: PACIFIC GAS & ELECTRIC COMPANY
 SEPTEMBER 29, 2010 ACCIDENT
 SAN BRUNO, CALIFORNIA
 Interview of: George Karkazis

DOCKET NUMBER: DCA-10-MP-008

PLACE: Burlingame, California

DATE: January 3, 2011

was held according to the record, and that this is the original,
complete, true and accurate transcript which has been compared to
the recording accomplished at the hearing.

Elaine LaRosee
Transcriber