

Docket No. SA-534

Exhibit No. 2-CH

NATIONAL TRANSPORTATION SAFETY BOARD

Washington, D.C.

INTERVIEW OF ANDY WENZEL, PG&E
(JAN-5-2011)

(30 Pages)

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

* * * * *

Investigation of:

*

*

PIPELINE RUPTURE IN SAN BRUNO,
CALIFORNIA

*

*

Docket No.: DCA-10-MP-008

*

* * * * *

Interview of: ANDY WENZEL

Marriott Hotel
San Francisco Airport
1800 Bayshore Highway
Burlingame, California 94010

Wednesday,
January 5, 2011

The above-captioned matter convened, pursuant to
notice.

BEFORE: RAVINDRA CHHATRE
Investigator-in-Charge

APPEARANCES:

RAVINDRA M. CHHATRE, Investigator-in-Charge
National Transportation Safety Board
490 L'Enfant Plaza East, S.W.
Washington, D.C. 20594
202-314-6644
ravindra.chhatre@ntsb.gov

MATTHEW R. NICHOLSON, Accident Investigator
Office of Railroad, Pipeline and Hazardous Materials
Investigations
National Transportation Safety Board
490 L'Enfant Plaza East, S.W.
Washington, D.C. 20594
202-314-6468
matthew.nicholson@ntsb.gov

LAWSON F. NARVELL, JR., Investigator
Human Performance Group
National Transportation Safety Board
490 L'Enfant Plaza East, S.W.
Washington, D.C. 20594
202-314-6422
narvelr@ntsb.gov

KARL GUNTHER, Pipeline Accident Investigator
National Transportation Safety Board
490 L'Enfant Plaza East, S.W.
Washington, D.C. 20594
202-314-6578
karl.gunter@ntsb.gov

GEOFFREY J. CALDWELL, Police Sergeant
City of San Bruno Police Department
Police Plaza
1177 Huntington Avenue
San Bruno, CA 94066
650-616-7100
gcaldwell@sanbruno.ca.gov

APPEARANCES (Cont.):

BRIAN DAUBIN, Manager
GT&D Gas Engineering
Pacific Gas & Electric Company
375 North Wiget Lane
Walnut Creek, CA 94598
925-974-4210
bmd5@pge.com

ROBERT FASSETT, Director
Integrity Management and Technical Services
Pacific Gas & Electric Company
375 North Wiget Lane
Walnut Creek, CA 94598
925-974-4210
rpf2@pge.com

CONNIE JACKSON, City Manager
City of San Bruno
567 El Camino Real
San Bruno, CA 94066-4299
650-616-7056
cjackson@ci.sanbruno.ca.us

KLARA FABRY, Public Services Director
City of San Bruno
567 El Camino Real
San Bruno, CA 94066-424
650-616-7065

SUNIL K. SHORI, Utilities Engineer
State of California Public Utilities Commission
505 VanNess Avenue, 2nd Floor
San Francisco, CA 94102-3298
415-703-2407
sks@cpuc.ca.gov

PETER J. KATCHMAR, Accident Coordinator
Pipeline Safety Program
Pipeline and Hazardous Materials Safety Administration
U.S. Department of Transportation
12300 West Dakota Avenue, Suite 110
Lakewood, CO 80228
303-807-8458
peter.katchmar@dot.gov

APPEARANCES (Cont.):

DEBBIE MAZZANTI, Business Representative
International Brotherhood of Electrical Workers
Local 1245
30 Orange Tree Circle
Vacaville, CA 95687
415-517-0317
djmg@ibew1245.com

JOSHUA SPERRY, Senior Union Representative
Engineers and Scientists of California
Local 20, IFPTE AFL-CIO & CLC
835 Howard Street, 2nd floor
San Francisco, CA 94103
415-543-8320
jsperry@ifpte20.org

DANE B. JAQUES, Esq.
Dombroff, Gilmore, Jaques & French
1676 International Drive, Penthouse
McLean, Virginia 22102
703-336-8709
djaques@dglitigators.com

I N D E X

<u>ITEM</u>	<u>PAGE</u>
Interview of Andy Wenzel:	
By Mr. Gunther	8
By Ms. Jackson	10
By Mr. Shori	11
By Mr. Sperry	13
By Mr. Nicholson	13
By Mr. Chhatre	14
By Mr. Daubin	20
By Mr. Chhatre	21
By Mr. Nicholson	24
By Mr. Chhatre	27

1 MR. CHHATRE: Thank you for that. Now I'd like to go
2 around the table. Everybody introduce themselves, their name,
3 spelling, title, affiliation, email and phone number starting with
4 the City.

5 MR. CALDWELL: City of San Bruno. My name is Geoff
6 Caldwell. All my information's on the card.

7 MR. DAUBIN: Brian Daubin with PG&E. All the
8 information is on the card provided

9 MR. FASSETT: Bob Fassett, PG&E. The information is on
10 the card.

11 MS. JACKSON: Connie Jackson, City of San Bruno. My
12 information is on the card.

13 MS. FABRY: Klara Fabry, City of San Bruno. The
14 information is on the card.

15 MR. SHORI: Sunil Shori, California Public Utilities
16 Commission. My information is on the card provided.

17 MR. KATCHMAR: Peter Katchmar, United States Department
18 of Transportation, Pipeline and Hazardous Materials Safety
19 Administration, PHMSA, and my information's on the card.

20 MR. GUNTHER: Karl Gunther, NTSB. I'm the operations
21 group chair. My email is karl.gunther@NTSB.gov. Phone, 202-314-
22 6478.

23 MS. MAZZANTI: Debbie Mazzanti, IBEW, Local 1245, and my
24 info is on the card.

25 MR. SPERRY: Joshua Sperry, Engineers and Scientists of

1 California, Local 20, IFPTE. My information is on my business
2 card.

3 MR. NICHOLSON: Matthew Nicholson, NTSB, M-A-T-T-H-E-W,
4 N-I-C-H-O-L-S-O-N, matthew.nicholson@NTSB.gov.

5 MR. CHHATRE: Ravindra Chhatre. I'm with the National
6 Transportation Safety Board, Washington, D.C. My email is
7 ravindra.chhatre@ntsb.gov.

8 MR. NARVELL: Rick Narvell, Human Performance
9 Investigator for NTSB, Washington, D.C., 202-314-6422,
10 narvell@NTSB.gov.

11 MR. JAQUES: Dane Jaques on behalf of the witness, and
12 my information has been provided.

13 MR. CHHATRE: Do you want to go first or --

14 MR. GUNTHER: Yeah.

15 MR. CHHATRE: Okay.

16 INTERVIEW OF ANDY WENZEL

17 MR. GUNTHER: Mr. Wenzel, could you give your title --

18 MR. CHHATRE: Identify yourself.

19 MR. GUNTHER: Yeah, Karl Gunther, NTSB.

20 BY MR. GUNTHER:

21 Q. Mr. Wenzel, could you give your name -- or your job
22 title and affiliation?

23 A. I'm a supervisor of Gas Control and Gas Systems
24 Operations, PG&E.

25 Q. And can you give your formal education?

1 A. I have a two year degree from college, AA degree.

2 Q. Okay. And what are your duties?

3 A. I supervise the operations of gas control in San
4 Francisco.

5 Q. Okay. And were you involved in preparing the gas
6 control investigation document?

7 A. I was.

8 Q. Were you involved on the day of the accident?

9 A. I arrived after 8 p.m. on the day of the accident into
10 the control room.

11 Q. Could you describe what you did?

12 A. When I arrived?

13 Q. Yeah.

14 A. I came into the control room and did a roundtable
15 discussion with the senior transmission coordinator, a
16 transmission coordinator and gas system operators on shift to
17 determine what had taken place. I reviewed the operation maps
18 that they had laid out. At that time we were aware of the
19 location of the incident and sort of worked with the group in the
20 control room to determine what process had taken place, what
21 communications had taken place, and that we'd make the area --
22 confine the leak in the area, just typical gas operations, make
23 sure that everyone in the control room was on the page -- on the
24 same page with the activity that was taking place. Also
25 determined if the -- at the time if the alternate location folks

1 were coming to San Francisco, which I had instructed them to do
2 over the telephone, and so basically got up to speed with the
3 operations at that time.

4 Q. Okay. No more questions.

5 MR. CALDWELL: Geoff Caldwell, City of San Bruno, no
6 questions at this time.

7 MR. DAUBIN: No questions.

8 MR. FASSETT: No questions.

9 MS. JACKSON: Could you just explain -- Connie Jackson,
10 City of San Bruno.

11 BY MS. JACKSON:

12 Q. What does that mean, alternate location folks? People
13 who were normal workplace or somewhere else were also called to
14 San Francisco?

15 A. At the time of the incident we were going to transition
16 to our alternate location which is a typical pattern, a quarterly
17 drill that we operate at our local facility to make sure that it's
18 functional. We were in transition during that day when the event
19 took place and we thought it prudent -- I thought it prudent to
20 bring the Operations folks back to San Francisco rather than
21 fulfill that transition.

22 Q. And that alternate location practice is a drill of some
23 type or it's a -- what is it?

24 A. It's a quarterly drill that we fulfill to make sure that
25 in the event that our operations in San Francisco are unavailable

1 that we have an alternate site that we can go to that's fully
2 redundant and fully functional.

3 Q. And that happened to be happening on that day?

4 A. The transition happened to be -- we'd just started the
5 transition. It happened that day, yes.

6 Q. Thank you.

7 MS. FABRY: Klara Fabry. No questions at this time.

8 MR. SHORI: Sunil Shori, California PUC.

9 BY MR. SHORI:

10 Q. That transition, was that supposed to be a temporary
11 transition? I was under the impression that it was a -- more of
12 an equipment change and more of a permanency. So you're saying it
13 was a temporary transition to the --

14 A. No. It's a temporary transition, usually takes place
15 over two to four days on the average, and it was prescheduled
16 prior to the event.

17 Q. Okay. Since the incident -- and, again, you helped
18 prepare this report and, again, the title investigation and
19 documentation report related to gas control?

20 A. Yes.

21 Q. Has there been any revision or any kind of updated
22 reports beyond this one since the incident?

23 A. Not to my knowledge.

24 Q. Mr. Wenzel, were you involved or did you basically
25 direct any of the pressure reduction on line 132 on the evening of

1 the incident?

2 A. I was present on the evening of the incident, but that
3 was directed by Engineering.

4 Q. And did you have any discussions with any technicians or
5 any of the staff down in the Milpitas terminal that evening?

6 A. I did not.

7 Q. Are there any reviews or investigations contemplated in
8 terms of the response from the Gas Control personnel to the
9 incident being considered or in development at this stage?

10 A. In regards to this event?

11 Q. In regard to the incident, yes.

12 A. We reviewed the incident within Gas Control and we felt
13 that the response was -- actually had been done in a timely
14 manner.

15 Q. Were there any reports generated for that review?

16 A. We have the normal report that you have there.

17 Q. This is it?

18 A. Right. It has not -- it's still open-ended. There is
19 still -- you know, obviously the event has some details that need
20 to be determined, what caused the event, so that document that you
21 have is still open-ended.

22 Q. Okay. Thank you. I don't have any further questions.

23 MR. KATCHMAR: Peter Katchmar, U.S. DOT. No questions.

24 MR. GUNTHER: I have no questions.

25 MS. MAZZANTI: No questions.

1 MR. SPERRY: Joshua Sperry, Engineers and Scientists,
2 Local 20.

3 BY MR. SPERRY:

4 Q. Do you have any professional certifications or licenses?

5 A. I have a -- no, I do not.

6 Q. Are you a former operator or transmission coordinator?

7 A. I am a -- I started in Gas Construction. I worked as a
8 gas supply coordinator. That position is no longer a position in
9 the company, but it was a similar position to a gas system
10 operator, and then I was a transmission coordinator for a number
11 of years. I was a transmission coordinator for a number of years.

12 Q. Okay. That's all my question.

13 MR. NICHOLSON: Matt Nicholson, NTSB.

14 BY MR. NICHOLSON:

15 Q. About the transition that was happening that day, that
16 was a transition from the control room in San Francisco to
17 Brentwood, is that correct?

18 A. That's correct.

19 Q. And you said that takes four days?

20 A. No. I said that the transition -- once they transition
21 to Brentwood, that they typically operate two to four days at that
22 location and then they transition back.

23 Q. Okay.

24 A. Transition usually takes 30 minutes.

25 Q. Is that a seamless transfer in that the screens and

1 (indiscernible) points at San Francisco are also at Brentwood and
2 you just move people or --

3 A. It's a fully redundant station at Brentwood.

4 Q. So there wouldn't have been any information during that
5 transition on the 9th that would have interfered with the
6 (indiscernible) operator's ability to decipher or see trends or
7 alarms?

8 A. The information at Brentwood is identical to the
9 information they're receiving at San Francisco.

10 Q. That's all. Thank you.

11 MR. CHHATRE: Ravi Chhatre, NTSB.

12 BY MR. CHHATRE:

13 Q. What is your normal shift hours?

14 A. My normal shift hours, I would a nine -- nine-hour days,
15 five days one week and then four days the next week with an eight-
16 hour day at the end.

17 Q. Okay. What time you start and what time you finish?

18 A. I start at approximately 6:00.

19 Q. Okay. On the day of the accident were you on a nine-
20 hour shift, eight-hour shift?

21 A. I was actually out of the area. I had just came into
22 the Oakland Airport at about 7:00. I was attending a interconnect
23 meeting with one of our affiliates, Questar Pipeline, and I'd just
24 arrived at the airport when I received a call about the incident.

25 Q. Do you recall who called you?

1 A. The senior on shift, Mark Cenicerros.

2 Q. So you came directly from the San Francisco Airport to
3 the office?

4 A. From the Oakland Airport.

5 Q. Oakland. Was the regular shift supervisor present when
6 you arrived?

7 A. I'm the supervisor in Gas Control, so Fanyee Hong was
8 filling in. Our manager was on vacation, so she was filling in.
9 I believe she was in attendance. So we were sort of sharing the
10 duties of that responsibility.

11 Q. So whoever was (indiscernible) temporarily Fanyee was
12 present, is that correct?

13 A. Yes.

14 Q. That person was present at the time of the accident?

15 A. She was present, yes.

16 Q. During the briefing did she tell you what happened
17 exactly what time or just give you a general overview?

18 A. I received my briefing actually more from the control
19 room Operations folks, from the senior, the transmission
20 coordinators and the TSOs.

21 Q. And when did that happen?

22 A. When I arrived approximately --

23 Q. Immediately?

24 A. Yes, sir.

25 Q. As a result of the accident did you guys have any

1 officially session, lessons learned or diagnostic or what
2 happened, what, if anything, went wrong or nothing went wrong, it
3 just happened, had a meeting?

4 A. Could you repeat the question?

5 Q. Sure. Since the accident until today did you have or a
6 supervisor any meeting with the staff to discuss or find out what
7 happened, did anything went wrong, like did we make any mistake or
8 lessons learned from this incident?

9 A. We've had many discussions about the operations that
10 took place that day. I don't think that in our conversations we
11 felt that we did anything -- we would do anything different. I
12 think the communication was good. Lessons learned? I think we're
13 still reviewing that?

14 Q. You're still reviewing that. Between September 9th and
15 as of today did you have a chance to look at the screen on
16 September 9th, display of line 132?

17 A. I've looked at many different screens regarding line
18 132, yes.

19 Q. And did you look at the information in all your displays
20 for line 132 on the day of the accident -- at the time of the
21 accident?

22 A. At what location?

23 Q. The pressure at Martin Station.

24 A. I looked at the pressure at Martin Station. I don't
25 believe there was a volume there, but yes, the pressure.

1 Q. And what about Milpitas?

2 A. My understanding was that Milpitas at that time -- the
3 information that was being provided during the time of the event
4 was unreliable, so I did not focus in on the Milpitas data.

5 Q. Okay. Did you look at any other station in between?

6 A. I looked at the operations of the peninsula, all the
7 peninsula stations, a general overview of the whole system.

8 Q. And do you know what displays were showing on the
9 screens at the time of the accident for line 132?

10 A. Do I know what displays they were looking at?

11 Q. Right.

12 A. I wasn't in the control room, so I don't know. I would
13 just make assumptions.

14 Q. No, no. I thought you said earlier that you had many,
15 many discussions with the people and you looked at some of the --
16 that data operation and volume in different locations?

17 A. I did.

18 Q. So I guess my question was did you also look at or
19 discuss with the person who was monitoring the station at that
20 time for line 132 as to what he was looking at at the time or you
21 had no discussion?

22 A. I don't recall.

23 Q. Okay, that's fine. Looking at the pressure and volume
24 display at Martin, do you feel the interpretation -- would you
25 describe it any different than what was interpreted at that time

1 on September 9th?

2 MR. JAQUES: I think he said there's no volume. It was
3 only pressure.

4 MR. CHHATRE: Okay, pressure.

5 MR. JAQUES: But he can correct that.

6 MR. CHHATRE: Sure.

7 MR. WENZEL: What -- please repeat the question.

8 BY MR. CHHATRE:

9 Q. Okay. Looking at the pressure display at Martin at the
10 time of the incident, the question is did you feel the actions
11 taken and the interpretation done by the operator who was looking
12 at the information was adequate, was it correct?

13 A. There were a lot of activities taking place at the time
14 that -- of the pressure decrease at Martin Station. There was the
15 -- obviously the event that took place at the Milpitas terminal
16 where all of the lines that were tied together had exceeded the
17 high-high alarm limits. I know that they were focusing on that
18 aspect of the operation itself.

19 When the pressure came in on Martin Station I looked at
20 it and it's a -- it's very uncommon to see a pipeline running
21 between its operating pressure under its MAOP, and at the same --
22 the higher end, and at the same time seeing a pressure on the low-
23 low level at Martin Station of a sudden decrease, and I think that
24 initially the interpretation of what was taking place needed more
25 supporting data. So the reaction at that point was one location,

1 the drop was sudden and it could have been attributed to
2 (indiscernible) of communication. There wasn't initially, I
3 think, enough supporting data to indicate what had taken place.

4 Q. And what kind of -- and maybe I'm not using the correct
5 term, but you said that the data could be wrong? Did you say
6 something about the (indiscernible)?

7 A. I said it was a sudden decrease in pressure, so that's
8 not typical. So in the analysis of the operations they look for
9 other supporting data to substantiate what they were seeing at
10 Martin Station.

11 Q. Now in your experience with the SCADA system at line 132
12 what other things can cause such a sudden drop?

13 A. A communication error obviously would have taken place.

14 Q. Communication meaning the transducers are not giving the
15 right information?

16 A. Correct, some piece of the communications, yes.

17 Q. And that could be at Martin Station? The communication
18 could be the entire 132 system and where they were --

19 A. In this case I'm referring specifically to Martin
20 Station, yes.

21 Q. Now when you say additional information needed, what
22 additional information you were looking at (indiscernible) of the
23 communication error?

24 A. Either some pressure indication upstream of Martin
25 Station or downstream of Martin Station that would support what

1 was taking place at that location.

2 Q. Now with your SCADA system can you go back and look at
3 some other stations between Martin and Milpitas and look at that
4 pressure data?

5 A. Yes.

6 Q. And do you recall you looking at that or the operator at
7 the time -- on duty at the time looked at it?

8 A. I'm sure the operator on duty at the time looked at it,
9 but, as I mentioned, they're -- and I looked at it after the fact,
10 and again there were pressures -- indications much higher upstream
11 of Martin Station than what was occurring at Martin Station, so --

12 MR. DAUBIN: I'm sorry. Still on the record, but Ravi,
13 are we talking about two different timeframes or are we talking
14 about the same timeframe?

15 MR. CHHATRE: Same timeframe.

16 MR. DAUBIN: Okay, so -- but he was not there at the
17 time of the event.

18 MR. CHHATRE: I understand. My question was did you
19 look -- see, he went back and -- the statement was that he looked
20 at the displays on that day afterwards, after the fact, and my
21 question was did you look at not only Martin display, but any
22 other places where you have the information coming between Martin
23 and Wilpitas. Did you look at the station display, pressure drop?

24 MR. DAUBIN: So -- this is Brian Daubin with PG&E.

25 BY MR. DAUBIN:

1 Q. Andy, for my clarity, when you went back to review that
2 data, do you see exactly as if it were playing in a video of what
3 they're looking at or are you -- is the data just available and
4 then you look at this -- whatever screen you want to look at is
5 what you look at, but is there any way to tell what the operator
6 was looking at at the time of the event?

7 A. No. I wasn't present.

8 MR. CHHATRE: Fine. That was not my question. I was
9 not asking to guess what the operator was looking at. What I was
10 asking you is when you went back days later and looked at the
11 pressure drops at Martin, the question was did you look at that
12 day's data at some other location between Martin and Wilpitas?

13 MR. DAUBIN: Okay.

14 MR. WENZEL: I stated earlier that -- at the time that
15 Martin Station was in low-low pressure. I believe line 132
16 upstream of Martin Station was actually, if not in high-high
17 pressure, near high pressure, so it was (indiscernible) upstream,
18 yes.

19 BY MR. CHHATRE:

20 Q. But did you confirm that from the display or not? I'm
21 not saying you had to. I'm just --

22 A. Yes, using the same system that the GSOs and TCCs -- the
23 Scitech System, yes.

24 Q. Do those two data help you decide whether the
25 communication error is there or not there or that is not enough?

1 A. That was not enough. In my opinion it was not enough at
2 that time. If you're talking about the time that Martin was in
3 low-low and the time upstream that I looked at that pressure, that
4 was not enough information.

5 Q. So the initial information would have told you that
6 there was a communication error or not?

7 A. Supporting data from other locations. If there was a
8 flow volume at Martin Station, if the flow had changed patterns
9 and the forward flow going to 0, that would have been supporting
10 data that would have determined that perhaps you had an issue
11 there.

12 Q. I guess the logical question is did you have a chance to
13 look at the flow data at Martin?

14 A. There is no flow data at Martin.

15 Q. There is no flow data at Martin Station, okay. Besides
16 a communication error what other possibilities are there for the
17 sudden pressure drop?

18 A. Other than the event that took place, those are the only
19 two.

20 Q. Only two?

21 A. It was dramatic, yes.

22 Q. In your tenure with PG&E in San Francisco as a
23 supervisor have you seen in the past any sudden drop like that on
24 line 132?

25 A. No.

1 Q. Have you seen that kind of sudden drop on other lines in
2 the PG&E system in your tenure?

3 A. Yes.

4 Q. And those lines would be --

5 A. A similar circumstance where a line was struck and the
6 pressure had fallen.

7 Q. It was ruptured?

8 A. Yes.

9 Q. I'm just trying to clarify this communication error.
10 Have you seen in your tenure with PG&E either 132 or any other
11 transmission line such a sudden pressure drop with -- the reason
12 being communication error?

13 A. A sudden pressure drop attributed to a communication
14 error?

15 Q. Correct.

16 A. Yes.

17 Q. Okay. And can you give me an example? Well, just an
18 analogy is fine.

19 A. I can't give you a specific example. We've seen sudden
20 pressure drops where we've made comparisons to inlet or outlet
21 pressures that didn't support the sudden pressure drop and
22 attributed it to a communication error.

23 Q. Do you recall what kind of pressure drop was that?

24 A. Not off the top of my head.

25 Q. Okay. Was this of the same magnitude, pressure drop?

1 Was it percentages or absolute numbers?

2 A. The pressure could drop to 0, so similar magnitude,
3 maybe even more severe.

4 Q. Okay. And how many times do you recall you have seen
5 communication errors?

6 A. It's hard to say.

7 Q. Okay. More than you have seen with ruptures?

8 A. More communication errors, yes, than ruptures, yes.

9 Q. Thank you for the time. No more questions.

10 MR. NARVELL: No questions.

11 MR. CALDWELL: No questions.

12 MR. DAUBIN: No questions.

13 MR. FASSETT: No questions.

14 MR. SHORI: No questions.

15 MR. GUNTHER: No questions.

16 MS. MAZZANTI: No questions.

17 MR. SPERRY: No more questions.

18 MR. CHHATRE: Thank you so much. Oh, we've got one.

19 I'm sorry. Not so fast. Excuse me.

20 MR. NICHOLSON: No, I just -- I wanted to follow up.

21 This is Matt Nicholson.

22 BY MR. NICHOLSON:

23 Q. Since we're talking about loss of communication, this is
24 loss of communication to a device, right, that we're talking
25 about, like a pressure transducer?

1 A. Yes.

2 Q. Does the SCADA tag on the screen, does it not change
3 color or anything to reflect a loss of communication?

4 A. There are indications. It could be a loss of
5 communication and tagged by a SCADA screen. Sometimes actually
6 the communication or the information may not be necessarily
7 tagged.

8 Q. And if you suspect a loss of communication wouldn't the
9 operator immediately go with a demand scan in the course of
10 pulling on that point to try and get a good reading?

11 A. I'm not sure if that's their typical protocol, the
12 demand scan.

13 Q. Your -- okay. Can you clarify your position again for
14 me? Are you a supervisor of Gas Control?

15 A. Yes.

16 Q. Okay. So ultimately do the controllers report to you?

17 A. The gas system operators and the transmission
18 coordinators, yes.

19 Q. They do, okay. And so you're saying you don't know if
20 that's a procedure or not on a loss of communication to do a
21 demand scan?

22 A. They do do demand scans, yes --

23 Q. Okay.

24 A. -- to try to restore communication.

25 Q. Okay. You mentioned distractions with San -- was it San

1 Ramon?

2 A. Brentwood?

3 Q. Is there -- I thought there were some distractions that
4 day with issues at another station?

5 MR. CHHATRE: It was Brentwood.

6 BY MR. NICHOLSON:

7 Q. Was it at Brentwood?

8 A. Yeah.

9 Q. I thought there was another issue on a separate station.

10 A. We were transitioning from San Francisco to Brentwood,
11 but I don't recall --

12 MS. MAZZANTI: Point of clarification -- Debbie
13 Mazzanti. Maybe what you're referring to was the testimony from
14 Michael Valenti as he said he was dealing with the situation that
15 happened at San Ramon.

16 MR. NICHOLSON: That could be it. I thought I heard the
17 same thing.

18 MS. MAZZANTI: They're different situations.

19 BY MR. NICHOLSON:

20 Q. Exactly, they're different situations, but I thought I
21 heard you say that that was maybe a distraction at the time.

22 A. I did not.

23 Q. You did not. You mentioned needed more supporting data
24 to have concluded this was a rupture through SKADA?

25 A. In their initial analysis it was one station that had

1 one piece of data that indicated low-low pressures. All the inlet
2 pipelines were indicating higher pressure, and so typically in an
3 analysis the GSOs and TCs look for other supporting data in the
4 vicinity of this information to then determine whether or not it's
5 an actual event taking place.

6 Q. So where I was going with that was since you've
7 identified that maybe they needed more supporting data, have steps
8 been taken to add devices or instrumentation where you saw gaps?

9 A. I think at the time, unfortunately, the information on
10 Milpitas terminal was unavailable to them. Had that information
11 been available, that could have provided them more supporting data
12 -- would have provided more supporting data.

13 Q. So the information was there, it was just not legible or
14 discernible?

15 A. Right.

16 Q. Okay. That's all I have. Thank you.

17 MR. CHHATRE: Ravi Chhatre, NTSB. I just have one
18 follow-up question on Matt Nicholson's comment that the --

19 BY MR. CHHATRE:

20 Q. I may not have the proper terminology or have it exactly
21 right, but if there is a communication error, the answer I heard
22 that the operators can demand the color change and try to re-
23 establish the communication?

24 A. They can do what's called a demand scan.

25 Q. Demand scan. The question is did you check with them to

1 see if they did that, in (indiscernible), not that day?

2 A. I did not.

3 Q. If they would have -- and what does demand scan does or
4 anytime you make a demand scan what are the responses?

5 A. I'm not a technician, but I think what it does is it
6 sort of forces the communication to try to complete the process.

7 Q. Does it give some kind of a reading then or it does not?

8 A. The purpose is to try to restore the --

9 Q. Communication.

10 A. The communication, right.

11 Q. And if the communication is restored, what does that
12 mean, and if they could not restore, what does that mean? If they
13 restore the communication what does that tell the operator?

14 A. Well, it tells the operator that -- then it gives them
15 real time data at that point.

16 Q. And then the pressure drop can be attributed to the
17 communication error or it's not?

18 A. They can determine at that point that what they're
19 seeing is not a communication issue or not specifically a
20 communication issue. I don't know if it completely can determine
21 from that whether or not there are other issues -- again, I'm not
22 a technician -- that could display an inaccurate value.

23 Q. Okay. Does your protocol identify a situation like a
24 sudden pressure drop what should be indicated process-wise? I
25 thought your initial comment was the only possibility they can use

1 the sudden pressure drop as communication error are leak or
2 rupture, and if the communication is established and it tells the
3 operator that the real data that he's getting, he or she is
4 getting, the data they got before through that company, then that
5 data was not due to communication error. Wouldn't that help make
6 a decision?

7 A. There are occasions in the system itself where data
8 appears to be live data, but it's actually determined not to be
9 live data. There's some error in the communication process and it
10 doesn't necessarily alarm itself either. It could look like it's
11 live data, but yet it's not.

12 Q. Now is that a communication error or it's a SCADA issue,
13 like a hardware issue in the system?

14 A. We've had issues. I'm not sure whether it's one or the
15 other.

16 Q. So when something like that happened in the past was any
17 effort made to somehow diagnose it and correct it?

18 A. I'm sure there was. I can't cite specific examples.

19 Q. That's fine. That's all for me. Thank you much.

20 MR. CHHATRE: Okay. If not, thank you so much for
21 coming. Appreciate your time.

22 MR. WENZEL: Thank you.

23 MR. CHHATRE: And off the record.

24 (Whereupon, the interview was concluded.)

25

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF: PACIFIC GAS & ELECTRIC COMPANY
 SEPTEMBER 9, 2010 ACCIDENT
 SAN BRUNO, CALIFORNIA
 Interview of Andy Wenzel

DOCKET NUMBER: DCA-10-MP-008

PLACE: Burlingame, California

DATE: January 5, 2011

was held according to the record, and that this is the original,
complete, true and accurate transcript which has been compared to
the recording accomplished at the hearing.

Cheryl L. Phipps
Transcriber