

Docket No. SA-534

Exhibit No. 2-V

NATIONAL TRANSPORTATION SAFETY BOARD

Washington, D.C.

INTERVIEW OF SCADA CONTROLS GROUP SUPERVISING ENGINEER

(73 Pages)

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

* * * * *

Investigation of:

*

*

PACIFIC GAS & ELECTRIC COMPANY

*

SEPTEMBER 9, 2010 ACCIDENT

*

SAN BRUNO, CALIFORNIA

*

*

* * * * *

*

Interview of: MARK KAZIMIRSKY

Marriott Hotel
 San Francisco Airport
 1800 Bayshore Highway
 Burlingame, California 94010

Tuesday,
 January 4, 2011

The above-captioned matter convened, pursuant to
 notice.

BEFORE: RAVINDRA CHHATRE
 Investigator-in-Charge

APPEARANCES:

RAVINDRA M. CHHATRE, Investigator-in-Charge
National Transportation Safety Board
490 L'Enfant Plaza East, S.W.
Washington, D.C. 20594
202-314-6644
ravindra.chhatre@ntsb.gov

MATTHEW R. NICHOLSON, Accident Investigator
Office of Railroad, Pipeline and Hazardous Materials
Investigations
National Transportation Safety Board
490 L'Enfant Plaza East, S.W.
Washington, D.C. 20594
202-314-6468
matthew.nicholson@ntsb.gov

LAWSON F. NARVELL, JR., Investigator
Human Performance Group
National Transportation Safety Board
490 L'Enfant Plaza East, S.W.
Washington, D.C. 20594
202-314-6422
narvelr@ntsb.gov

KARL GUNTHER, Pipeline Accident Investigator
National Transportation Safety Board
490 L'Enfant Plaza East, S.W.
Washington, D.C. 20594
202-314-6578
karl.gunther@ntsb.gov

GEOFFREY J. CALDWELL, Police Sergeant
City of San Bruno Police Department
Police Plaza
1177 Huntington Avenue
San Bruno, CA 94066
650-616-7100
gcaldwell@sanbruno.ca.gov

APPEARANCES (Cont.):

BRIAN DAUBIN, Manager
 GT&D Gas Engineering
 Pacific Gas & Electric Company
 375 North Wiget Lane
 Walnut Creek, CA 94598
 925-974-4210
 bmd5@pge.com

ROBERT FASSETT, Director
 Integrity Management and Technical Services
 Pacific Gas & Electric Company
 375 North Wiget Lane
 Walnut Creek, CA 94598
 925-974-4210
 rpf2@pge.com

CONNIE JACKSON, City Manager
 City of San Bruno
 567 El Camino Real
 San Bruno, CA 94066-4299
 650-616-7056
 cjackson@ci.sanbruno.ca.us

KLARA FABRY, Public Services Director
 City of San Bruno
 567 El Camino Real
 San Bruno, CA 94066-424
 650-616-7065

SUNIL K. SHORI, Utilities Engineer
 State of California Public Utilities Commission
 505 Van Ness Avenue, 2nd Floor
 San Francisco, CA 94102-3298
 415-703-2407
 sks@cpuc.ca.gov

PETER J. KATCHMAR, Accident Coordinator
 Pipeline Safety Program
 Pipeline and Hazardous Materials Safety Administration
 U.S. Department of Transportation
 12300 West Dakota Avenue, Suite 110
 Lakewood, CO 80228
 303-807-8458
 peter.katchmar@dot.gov

APPEARANCES (Cont.):

DEBBIE MAZZANTI, Business Representative
International Brotherhood of Electrical Workers
Local 1245
30 Orange Tree Circle
Vacaville, CA 95687
415-517-0317
djmg@ibew1245.com

JOSHUA SPERRY, Senior Union Representative
Engineers and Scientists of California
Local 20, IFPTE AFL-CIO & CLC
835 Howard Street, 2nd floor
San Francisco, CA 94103
415-543-8320
jsperry@ifpte20.org

DANE B. JAQUES, Esq.
Dombroff, Gilmore, Jaques & French
1676 International Drive, Penthouse
McLean, Virginia 22102
703-336-8709
djaques@dglitigators.com

I N D E X

<u>ITEM</u>	<u>PAGE</u>
Interview of Mark Kazimirsky:	
By Mr. Gunther	9
By Mr. Caldwell	10
By Mr. Fassett	11
By Mr. Shori	12
By Mr. Chhatre	18
By Unidentified Speaker	21
By Mr. Shori	22
By Mr. Chhatre	24
By Mr. Shori	26
By Mr. Katchmar	27
By Mr. Shori	36
By Mr. Nicholson	38
By Mr. Shori	45
By Mr. Chhatre	49
By Mr. Narvell	56
By Mr. Shori	57
By Mr. Katchmar	58
By Mr. Caldwell	58
By Unidentified Speaker	60
By Mr. Chhatre	60
By Unidentified Speaker	62

I N D E X (Cont.)

<u>ITEM</u>	<u>PAGE</u>
Interview of Mark Kazimirsky:	
By Mr. Shori	64
By Mr. Katchmar	65
By Mr. Fassett	66
By Mr. Nicholson	68
By Ms. Jackson	70
By Mr. Chhatre	71

My name is Ravi Chhatre. I work for National Transportation Safety Board in Washington, D.C., and I'm the investigator-in-charge of this accident.

Also, I'd like to inform Mr. Mark Kazimirsky -- how do you pronounce it:

MR. CHHATRE: Kazimirsky, okay. That you are permitted
the person with you during the interview. That person
of your choice. It can be a friend, family member --

MR. CHHATRE: -- or if you choose, nobody at all. So
record, please your full name, spelling of your name,
information such as phone, e-mail, mailing address, and
have chosen to be present with you today.

1 MR. KAZIMIRSKY: Mark Kazimirsky, K A Z I M I R S K Y.
2 I'm a supervising engineer for PG&E. My phone number is -----
3 ----- Dane Jaques is my counsel.

4 MR. CHHATRE: Thank you much. We'll begin with the
5 routine of introducing everyone, your affiliation, phone number,
6 contact information, beginning with the City.

7 MR. CALDWELL: Geoff Caldwell, City of San Bruno, my
8 information's on the card that I have provided.

9 MR. FASSETT: Bob Fassett, PG&E. My information is on
10 the card I provided.

11 MS. JACKSON: Connie Jackson, City of San Bruno. My
12 information's on my card.

13 MS. FABRY: Klara Fabry, City of San Bruno, information
14 on the card provided.

15 MR. SHORI: Sunil Shori, California Public Utilities
16 Commission. Information is on the card I provided.

17 MR. KATCHMAR: Peter Katchmar, USDOT, Pipeline and
18 Hazardous Materials Safety Administration. My information is on
19 the card I provided.

20 MR. GUNTHER: Karl Gunther, NTSB, Operations Group
21 Chairman, e-mail is karl.gunther@ntsb.gov, phone (202) 314-6478.

22 MS. MAZZANTI: Debbie Mazzanti. I'm the IBEW Local
23 1245.

24 MR. SPERRY: Joshua Sperry, Engineers and Scientists of
25 California, Local 20, IFPTE. My information's on my business

1 card.

2 MR. NICHOLSON: Matthew Nicholson, NTSB, M A T T H E W
3 N I C H O L S O N, matthew.nicholson@ntsb.gov.

4 MR. CHHATRE: Ravi Chhatre, R A V I N D R A, last name
5 C H H A T R E, NTSB. Email is ravindra.chhatre@ntsb.gov, phone
6 (202) 314-6644.

7 MR. NARVELL: Rick Narvell, Human Performance
8 investigator, NTSB, Washington, D.C., phone (202) 314-6422, e-mail
9 narvelr@ntsb.gov.

10 MR. JAQUES: My name is Dane Jaques on behalf of
11 Mr. Kazimirsky, and my information is on the card.

12 MR. CHHATRE: With that, Karl, do you want to go first
13 or --

14 MR. GUNTHER: Yes.

15 INTERVIEW OF MARK KAZIMIRSKY

16 BY MR. GUNTHER:

17 Q. Mr. Kazimirsky, question, did you do an investigation
18 after the accident as to what went wrong in Milpitas?

19 A. Yes, I did.

20 Q. And could you please give us the results of your
21 investigation?

22 A. We don't have a conclusive result. We suspect two main
23 reasons. One was the failure of a power supply, a PSA and PSB.
24 The other potentially, somebody opened a breaker feeding AC power
25 to these two power supplies, but we could not come to a 100

1 percent conclusion.

2 Q. And what kind of diagnostic tests and what did you do?

3 A. We simulated failure of all power supplies related to
4 the control system. We simulated a failure of AC feeding the
5 (indiscernible), and based on these tests, we compared the reports
6 that we got after the simulated failures, with the reports that we
7 got after the September 9th failure, trying to pinpoint what
8 actually happened on the 9th, and we are the conclusions that we
9 came up with.

10 Q. And since your diagnostic tests, has the station power
11 supply been running?

12 A. No, they've been replaced as soon as we were allowed
13 access, well, to work on the system.

14 Q. And have you had any more problems with it since?

15 A. No, we did not.

16 Q. Okay.

17 MR. GUNTHER: Go ahead.

18 MR. CALDWELL: Geoff Caldwell, City of San Bruno.

19 BY MR. CALDWELL:

20 Q. You said that there were two things where you suspected
21 failure in the APSA. Is that correct?

22 A. There are two redundant power supplies, PSA and PSB.

23 Q. PSA, okay.

24 A. And there were suspicions. They were suspect from the
25 beginning of the investigation.

1 Q. Right. And then the other thing is that somebody opened
2 the breaker or turned off a breaker?

3 A. That's -- we tried that only because when we got the
4 statements from the crew working there, we couldn't get a clear
5 picture of whether somebody was still working in the back room or
6 not. So we just wanted to, to eliminate all possibilities. So we
7 checked all possibilities.

8 Q. Just to get a sense of what the definition of opening a
9 breaker means, what do you mean by that?

10 A. There is -- there's a UDP panel that feeds all control
11 system, well, several different control system loads. One of the
12 breakers was feeding power to the power supplies A and B. So
13 since the main problem, we kind of focused on losing power supply
14 to the pressure transmitters that were fed from the power supplies
15 A and B, we wanted to make sure or we wanted to try to determine
16 whether it was a failure of the failure supplies or power to the
17 power supplies.

18 Q. That's it for me. Thank you.

19 BY MR. FASSETT:

20 Q. To clarify, I'm a gas guy and it tends to work
21 differently on the electric side. When a breaker is open, that
22 means current is not flowing through the breaker, right? And
23 there's no power then going out.

24 A. There's no power to the power supplies that provide 24
25 volts.

1 Q. Right. To open the switch means no power.

2 A. Right.

3 Q. Us gas guys say a valve is open --

4 A. It's open.

5 Q. -- and energy is flowing. Thank you.

6 MR. CHHATRE: Are you done?

7 MR. FASSETT: Yeah, I said thank you.

8 MS. JACKSON: No questions.

9 MS. FABRY: No questions.

10 BY MR. SHORI:

11 Q. Mr. Kazimirsky, in terms of when that power supply,
12 excuse me, when the breaker -- Sunil Shori, California PUC. When
13 the breaker is open, would that be part of the process where the
14 backup generator then would feed?

15 A. No, these, these are distribution breakers. The
16 generators would feed the main power feed to the station in case
17 of a commercial power failure. So this breaker, opening this
18 breaker would have disconnected power to the control system
19 regardless of whether there was a generator running or there was
20 commercial power.

21 Q. So essentially this breaker, if you lost power upstream
22 of this breaker, and this breaker was closed, that's where the
23 generator would be able to pick this load up.

24 A. Not quite.

25 Q. How would this --

1 A. Not quite. The generator starts only on a loss of the
2 main power to a terminal, to Milpitas Terminal. This breaker was
3 way downstream from the main power.

4 Q. Okay.

5 A. There's a main power, main distribution, main power to
6 the terminal. Then there is a power distribution panel downstream
7 feeding the UPS. So the main power feeds the UPS system.
8 Downstream from that system is the UPS distribution panel.

9 Q. So as long as this break was closed and you didn't have
10 a disruption on your main supply to the facility, there would be
11 no back up kicking in. There would be no generator, back up
12 generator kicking in?

13 A. Well, the back up generator is -- there was no
14 disruption to the power upstream, whether it was utility power or
15 the generator, and this breaker stayed closed, we wouldn't have
16 lost power to the control system.

17 Q. You wouldn't have?

18 A. No, we would not have.

19 Q. Okay. And that's what I'm trying to figure out. So in
20 other words, if this -- if you lost power, the main power, the
21 generator kicks in, but in order for that generator to have gotten
22 power to these PSA and PSB, this breaker would still have to be
23 closed?

24 A. That's correct.

25 Q. And so with this open, there is no alternate source --

1 A. That's correct.

2 Q. -- for the PSA or PSB?

3 A. That's correct. But the power to that breaker was
4 supposed to come from the UPS. That's why that was
5 uninterruptible power. So this breaker normally --

6 Q. I'm sorry to cut you off. So let's back up a minute.

7 A. Okay.

8 Q. The power to the breaker was supposed to come from the
9 UPS?

10 A. The panel that the breaker was installed in, is the
11 distribution panel from the UPS.

12 Q. Okay.

13 A. So the main power provided to that panel comes from the
14 UPS. And the UPS would provide power either from the commercial
15 source, normal power source or from the generator. If we lose
16 commercial power for maybe a half a minute to a minute, the UPS
17 will draw the power from the battery bank until the generator
18 starts. It takes about a half a minute for the generators to
19 start. So we have commercial power, battery bank and then the
20 generator. During this transition from commercial power to the
21 generator, the batteries feed the load of the terminal. So that
22 panel, the UDP panel that we're talking about, where the breaker
23 is installed, would be continuously fed from one of these three
24 sources.

25 Q. And so all of those again, the commercial power, the

1 UPS, the generator and then finally getting to RPS PSA, PSB, these
2 are generally in series.

3 A. No, they're in parallel actually. One at a time, but in
4 parallel.

5 Q. Right. Okay. But any one of those three can be
6 supplying PSA, PSB depending on what's available?

7 A. That's correct.

8 Q. So in this particular case, there is no disruption to
9 the commercial power.

10 A. That's correct.

11 Q. To the facility.

12 A. Right.

13 Q. The UPS is not connected.

14 A. Right.

15 Q. In order for the one with breaker open, it's not seeing
16 the UPS.

17 A. That's correct. No. In order for the breaker to be
18 open, either somebody had to open it or the current on the circuit
19 of that breaker would be higher than the breaker's rating. Then
20 the breaker would trip or open.

21 Q. For one reason or another, the breaker opened.

22 A. We don't know that.

23 Q. Right. But you said it was open.

24 A. No.

25 Q. We don't know how.

1 A. No, I'm not saying it was open. I said that we suspect
2 one of two things, either somebody opened the breaker or power
3 supplies A and B both failed. And we can't say for sure which one
4 of those two reasons caused the loss of power to the pressure
5 transmitters.

6 Q. And the failure of PSA or PSB, that itself could have
7 been the trigger for the breaker to open?

8 A. No, the breaker could still be closed, but the failure
9 of PSA and B would result in a loss of 24 volts to the
10 (indiscernible).

11 Q. I wasn't sure if I was going to the location on Friday,
12 but after this I will. Hopefully these can be pointed out a
13 little better.

14 A. I can try to explain it again. The breaker --

15 Q. Hopefully we understand it --

16 A. I understand. The breaker feeds 120 volts AC to two
17 power supplies.

18 MR. CHHATRE: Can I make a suggestion? Can you draw
19 that thing?

20 MR. KAZIMIRSKY: Absolutely. This is commercial power
21 coming from the transformer (indiscernible). Standby generators,
22 actually we have two standby generators. If we lose commercial
23 power, the generator will start automatically, but for the
24 generator to start to get up to speed and start generating
25 electricity, it takes maybe 15 to 30 seconds. During that time,

1 the battery bank will provide that AC to maintain power to the
2 terminal. That's a battery bank. You've been to the back room
3 where the UPS is, maybe you remember, there's a couple of trays
4 with the large battery bank. That's what it was for. Once the
5 power is established, whether it comes from here, here or here, it
6 feeds several distribution panels. One of them is called the UDP,
7 and that's the power distribution panel. Now at the time, the old
8 panel had I believe eight breakers. One of those breakers was
9 providing AC power to power supply A and power supply B, with 120
10 volts AC coming in, 24 volts coming out. These 24 volts out of
11 these two power supplies was feeding a number of pressure, a
12 number of instruments including pressure transmitters that are
13 used for pressure controls. That's kind of what I have there.
14 What we know for sure is that power supply A failed. It failed
15 when we tested it, when we started the testing and it failed later
16 on the bench. We know that. Our supply D, when we tested it
17 after the incident when we had access to the terminals and started
18 testing it, instead of 24 volts, it was generating close to about
19 17 volts (indiscernible), and that was enough to maintain the
20 loads. But it was marginal. 17 volts is lower than the spec for
21 that power supply calls for. So that's where our suspicion was.
22 Either this one was failing or had failed and this one was
23 marginal. There is a chance that when they noticed the loss of
24 signals, maybe this one being marginal failed as well and maybe it
25 was intermittent on and off.

1 Short of that, somebody could have opened that breaker,
2 intentionally, unintentionally, but the result would be the same.
3 That would result, that would result in the loss of power supply,
4 one point to the power supplies and consequential to the loss of
5 24 volts (indiscernible).

6 MR. CHHATRE: Ravi Chhatre, NTSB.

7 BY MR. CHHATRE:

8 Q. How many UDP units you have making these?

9 A. It's not a unit. It's a panel.

10 Q. It's a panel.

11 A. That panel had, like I said, I think about 8 breakers
12 that fed different rows of loads, different parts of the control
13 system for the terminal.

14 Q. So the 8 breakers is telling me 8 outputs.

15 A. Correct.

16 Q. Okay.

17 A. I think it's 8. I don't remember the exact number.

18 Q. That's okay. And one of those goes to, is the current
19 AC or DC?

20 A. This is AC.

21 Q. You were still at AC at that time?

22 A. Yeah. It's one 120 AC, 120 AC here.

23 Q. Okay.

24 A. And 24 volts here.

25 MR. SHORI: Again, Sunil Shori, California PUC. Are we

1 on the record?

2 UNIDENTIFIED SPEAKER: Yes.

3 MR. SHORI: Is the normal intent of PSA and PSB to be
4 redundant supplies? Are they both required to provide --

5 MR. KAZIMIRSKY: No. One of them --

6 MR. SHORI: -- in order to get 24 volts?

7 MR. KAZIMIRSKY: One of them is only needed. We had two
8 just for reliability.

9 BY MR. CHHATRE:

10 Q. And each supplies 25 volts?

11 A. 24.

12 Q. 24 volts.

13 A. Correct.

14 MR. SHORI: And that's a continuous. They both, they
15 both supply 24. It's not one kicks in if the other fails or
16 anything. They're both --

17 MR. KAZIMIRSKY: That's right.

18 MR. SHORI: -- constantly supplying 24 volts.

19 MR. KAZIMIRSKY: That's right.

20 BY MR. CHHATRE:

21 Q. What does the PT stand for? Is it PT or DT at the
22 bottom?

23 A. Pressure transmitter.

24 Q. Okay.

25 A. There were pressure transmitters. There were position

1 transmitters. There's different devices (indiscernible).

2 Q. PSA and PSB, are they like a car battery or the thing
3 your computer back up on.

4 A. No, it's just a power supply. It's a simple device for
5 converting AC to DC and (indiscernible).

6 Q. Okay. It has no storage capacity. If it is coming AC,
7 then it will not last.

8 A. Right.

9 Q. It has to be as continuous as possible.

10 A. Correct.

11 Q. So it's different than like your computer back up system
12 where your computer will continue to work.

13 A. Well, if you have a battery, the laptop will continue to
14 work.

15 Q. Right.

16 A. The desktop will not.

17 Q. That's pretty much it. It needs a continuous supply.

18 A. That's correct.

19 MR. SHORI: And, again, I don't know to what level your
20 investigation has looked at the overall events at the station
21 versus just the electronics, but in the early event of the work
22 related to the UPS, there was a pressure drop from Milpitas. Have
23 you looked into what was the source of that or what would have
24 caused that?

25 MR. KAZIMIRSKY: I'm not aware of any pressure drop.

1 Well, we did get some readings at 0, but that happened when the
2 power was turned off for different parts of the controls, to
3 install the temporary UPS system. So during that time, pressure
4 readings were going to either 0 or even to a negative number.

5 MR. CHHATRE: Ravi Chhatre, NTSB.

6 BY MR. CHHATRE:

7 Q. The PSA, PSB are your UPS?

8 A. No, the UPS is here.

9 Q. Okay.

10 A. These are separate power supplies.

11 Q. I saw several small units.

12 A. That's part of the UPS. The UPS was a big cabinet in
13 the back room.

14 BY UNIDENTIFIED SPEAKER:

15 Q. I'm not an electrician and I (indiscernible). We talked
16 about or there was a discussion about 0 and perhaps even a
17 negative number. In the real world, is that really a 0 or
18 negative number?

19 A. No.

20 Q. It's just what the instruments would have been
21 displaying in the absence of power.

22 A. These instruments are scaled to a certain
23 (indiscernible) scale.

24 Q. Right.

25 A. In this case, all of the pressure transmitters at the

1 terminal are scaled 0 to 800 pounds. When they convert that
2 pressure to the electric signal --

3 Q. Right.

4 A. -- it's either 4 to 20 milliamps or 1 to 5 volts. And
5 that's the minimum. 4 milliamps or 1 volt corresponds to a 0
6 pressure. In case of a power loss, like if we lost both of these
7 or lost AC to them, instead of 4 milliamps or 1 volt, we would
8 need 0 milliamps and 0 volts. On the scale of 0 to 800, that
9 would be 20 percent, 25 percent of the scale and 4 volts on 800
10 pounds --

11 Q. Okay.

12 A. -- that's 200 pounds per volt. So a loss of signal
13 completely would mean minus 200 psi.

14 Q. All right. So that answers the electrical part of this.
15 In the real world, in the pipe, would the pressure be -- what
16 would the pressure be or can you tell?

17 A. The pressure would be whatever it was prior to --

18 Q. That's my question. It's not going to go to 0. It's
19 not going to go to 20.

20 A. It's not the actual process.

21 Q. That's what I wanted. Thank you.

22 BY MR. SHORI:

23 Q. Mr. Kazimirsky, okay, and basically this is in the
24 analysis at 16:20, we received multiple alarms from Milpitas
25 Terminal indicating changes to controller status between auto,

1 manual and local as well as pressure on the outgoing lines to a
2 low low, and valve position percentage low indicating closed
3 valves. So -- and again, with the loss of power, with a loss of
4 signal to the control valves, the indication was that they go wide
5 open and that's the way the station is designed. Why --

6 A. Only the regulators. Not the monitors.

7 Q. And I understand that, the regulators.

8 A. Correct.

9 Q. But again, the monitors are already sitting wide open
10 and assuming that we haven't reached the high point yet, they're
11 staying open.

12 A. Correct.

13 Q. So in this particular case, this is indication closed
14 valves, indicating low low alarm. So basically something --
15 things are closing down, not opening up.

16 A. Not necessarily, no. First of all, the, the regulators
17 are electrically operated valves and they are supplied with AC, I
18 don't even think from the UPS, but regardless of whether they come
19 from the UPS or not, they're not supplied from this panel.
20 They're supplied from (indiscernible). So a loss of the
21 regulators, no way would move the valves. However, if you lose
22 these signals, the valves would be driven to go wide open because
23 they still have power. Each valve is supplied with a position
24 transmitter. So a loss of 24 volts would result in the signal
25 from a position transmitter going to 0. So again the valve would

1 be moving to a wide open position but the transmitter on the valve
2 would be showing 0, closed. So the readings in SCADA, in the case
3 of power loss, the readings in SCADA don't necessarily, in fact,
4 in most cases would not reflect the actual position of the valves
5 and again are more likely to show (indiscernible) that's a
6 position transmitter. The valve is somewhere in the pipeline with
7 the electric monitor, and the position transmitter has a
8 mechanical link to the valve stem. So when the valve moves, the
9 position transmitter normally reflects the rotation of the valve
10 stem and converts it to electrical signals. However, it needs to
11 have that 24 volts to do the conversion. If there is no 24 volts,
12 the mechanical part of that instrument will still work. However,
13 conversion from 4 to 20 or 1 to 5 volts is not going to happen
14 because there's no instrument power. So when SCADA show closed
15 positions or low low, that was only the result of a loss of this
16 power because these instruments essentially became disabled.

17 MR. CHHATRE: Ravi Chhatre, NTSB.

18 BY MR. CHHATRE:

19 Q. The main breaker the tie UDP to?

20 A. No, there's several breakers. I just showed one.

21 Number 14 was feeding --

22 Q. Okay.

23 A. -- these power supplies. There are several more.

24 Q. Number 14 breaker was feeding only those two, PSA and

25 PSB --

1 A. As far as I remember, yes.

2 Q. Now how often -- how long you have been (indiscernible)
3 at Milpitas?

4 A. At Milpitas.

5 Q. At PG&E.

6 A. I've been at PG&E for 30 years. I've been working with
7 Milpitas ever since it's been rebuilt in 1989.

8 Q. Okay. Have you seen both power supplies went bad at
9 same time?

10 A. No. In fact, we've been using these power supplies for
11 the last 20, 25 years, and we keep using them because this is one
12 of the most reliable and most commonly used (indiscernible).

13 Q. And from your experience, do you know what a typical
14 life would be and what time you usually replace them?

15 A. There's no typical life for these power supplies. We
16 never had problems with them. After this incident, we contacted
17 the vendor and they told us that normally the expected life of
18 these power supplies is about 20 to 25 years. But that is not
19 mentioned in any manual nor in any conversation that we have had
20 with them in the past.

21 Q. How long those two have been in service at the time of
22 that --

23 A. About 20 years. They were installed in 1988, 1989.

24 UNIDENTIFIED SPEAKER: Is there ever any -- again, I'm
25 not an electrician. Is there ever any maintenance --

1 MR. KAZIMIRSKY: No.

2 UNIDENTIFIED SPEAKER: -- at all? Plugged in. That's
3 all. No periodic --

4 MR. KAZIMIRSKY: No, they don't require -- they don't
5 have any maintenance requirements. They're not recommended for
6 maintenance testing or anything else.

7 MR. CHHATRE: Okay. You can continue. I'm sorry to
8 have interrupted you.

9 MR. KAZIMIRSKY: That was one of the questions that we
10 checked with the manufacturer after the incident, whether they
11 would need to change our practice, to do some maintenance testing
12 and the answer is no. Perhaps when they reach the end of their
13 expected life, we will just need to start replacing them.

14 MR. SHORI: Just one or two last questions.

15 BY MR. SHORI:

16 Q. In terms of the pressure transducers or pressure -- PTs
17 basically that were lost, PSA or PSB are lost, again the operation
18 of the monitors, feeding the header, it's supposed to be they're
19 pneumatic. So that -- the loss of those shouldn't affect whatever
20 the setpoint on the monitors is.

21 A. Correct.

22 Q. And so even with that loss, you would expect them, if
23 they were set for let's say 386, you would expect those monitors
24 to control at 386?

25 A. Correct.

1 Q. Can you explain why --

2 A. Having said that, when the regs, in this case, when the
3 regulators opened, the pressure started rising. When it reached
4 385, I believe that was the setpoint of the monitors. The
5 monitors started reacting. They started closing. However, it
6 took them some short time to reduce the pressure. That's why
7 initially we had an overshoot of I think 392 or 94. That was the
8 time required for the monitors to take over the controls.

9 Q. Is that normal, a 6 pound overshoot?

10 A. It's normal especially if you consider the pressure
11 ranges, and it's not quite overshooting. When you say the
12 overshoot, that means when the, when the variable exceeds the
13 setpoint, the controller will take over but there will be some
14 overshoot. This was a different case because the regulators kept
15 open. So it wasn't quite the overshoot. It was the response time
16 that the monitors needed to start reducing pressure. So on that
17 range, 6 pounds is a very practical response.

18 Q. Thank you.

19 MR. KATCHMAR: Peter Katchmar, USDOT, PHMSA.

20 BY MR. KATCHMAR:

21 Q. Does it make sense to feed both PSA and PSB with the
22 same feed?

23 A. (indiscernible).

24 Q. Yes.

25 A. It's changed. In the new system, we provided two

1 separate breakers.

2 Q. Yeah. That just makes sense to me. And I guess, I
3 guess you said they're very reliable. You've never had any
4 problems with them.

5 A. But had it been done like that even initially, that
6 wouldn't make any difference because if they failed, they failed.
7 Whether they failed on the same breaker or not.

8 Q. True. If they fail.

9 A. Right.

10 Q. But if somebody, if it's number 2, and somebody pulled
11 the breaker --

12 A. If somebody pulled the breaker, having separate breakers
13 would have helped. However, if somebody pulled the breaker, that
14 should have been done -- that would have been a mistake because it
15 shouldn't --

16 Q. Right, but it wouldn't have -- having the PSA and PSB
17 functioning correctly, you pull the breaker for PSA and PSB is --
18 takes over.

19 A. Correct, but that's kind of Monday morning
20 quarterbacking.

21 Q. Well, it's hindsight.

22 A. Yeah.

23 Q. Have you changed any other setups like this at any other
24 stations? Have you changed it to the two breaker system now?

25 A. Actually this was probably an exception. In most cases,

1 we do have separate breakers. In many cases, we even have
2 separate panels.

3 Q. Okay. Okay.

4 A. So that's not typical for us. And frankly, this system
5 was installed 27 years ago. I frankly don't even remember what
6 choices we had at the time.

7 Q. Okay. That makes sense. Could you explain to me, this
8 whole setup of the monitor and the regulators, the control valves,
9 you're talking, you call regulators, is the monitor -- I know it's
10 set at 386. Doesn't it control on 386 all the time?

11 A. No, it does not.

12 Q. It does not. Could you explain that to me please?
13 You're welcome to turn the page.

14 A. Thank you.

15 MR. CHHATRE: Before you do that, would you mind putting
16 the date and your initials on there so we can identify the
17 document. And one more favor, if you go back to that chart, I
18 think you added another breaker in there but that really is --

19 MR. KAZIMIRSKY: (indiscernible).

20 MR. CHHATRE: Okay.

21 MR. KAZIMIRSKY: The setpoint here is less or equal the
22 MOP. The setpoint for this valve, and this is a monitor valve, is
23 actually not even (indiscernible). So we never allow these valves
24 to exceed MOP. So these valves never actually operate unless
25 there's a problem with these (indiscernible).

1 BY MR. KATCHMAR:

2 Q. Is there a control line to that valve downstream?

3 A. Oh, yeah. This valve, this is a pneumatic valve. These
4 two are electrical valves and monitor themselves.

5 Q. Okay. But where's the control line for that valve?

6 A. The same line would go --

7 Q. What's that UTC?

8 A. UIC is --

9 Q. UIC.

10 A. -- are the Siemens 352 controllers and actually in
11 reality they're two controllers, one for one valve and the other
12 for the other valve. That's (indiscernible).

13 Q. The flow is from right to left.

14 A. The flow goes this way.

15 Q. It goes this way.

16 A. It doesn't really matter. It can go either way. It
17 depends on -- actually the flow can go either way and the valve
18 arrangement doesn't have to change. It depends on where the MOP
19 break joint is. If the break is here, then the flow goes this
20 way. Otherwise, it would go the other way.

21 Q. Okay. I guess I'm just not familiar with this. I
22 thought I understood it when I was down at Milpitas and you
23 explained it, and I tried to explain it to Mr. (indiscernible).

24 MR. CHHATRE: (indiscernible) going there now?

25 MR. KATCHMAR: Yes.

1 MR. KAZIMIRSKY: Do you want the flow to go the other
2 way?

3 BY MR. KATCHMAR:

4 Q. I think that's the way it is down there, correct?

5 A. No, I think it's --

6 Q. It's not.

7 A. I think it's just -- I don't have the diagram.

8 MR. CHHATRE: I thought it flowed from right to left.
9 That's what I thought.

10 MR. KATCHMAR: That's what I thought, too.

11 MR. KAZIMIRSKY: No, I don't think so.

12 MR. KATCHMAR: Wow, I'm way off then.

13 UNIDENTIFIED SPEAKER: Imagine that.

14 MR. KATCHMAR: I'm not usually off that much.

15 MR. KAZIMIRSKY: Okay. You're not.

16 UNIDENTIFIED SPEAKER: It looked to me like the way I
17 understood it.

18 MR. KAZIMIRSKY: Some flows in Milpitas, some rounds at
19 Milpitas are bidirectional. Okay.

20 BY MR. KATCHMAR:

21 Q. I did notice that because you had like three lines --

22 A. Some of them are bidirectional but the outgoing ones,
23 the lines going to Peninsula are single directional and they are
24 arranged like that. The monitor is downstream from reg.

25 Q. What I understood on the big chart that you explained

1 it, what did you call that?

2 A. The mimic panel.

3 Q. The what?

4 A. The mimic panel.

5 Q. Mimic panel, right. Right. It appears to me the way I
6 remembered it, the lines incoming are on the right and they go up
7 and over and then down and off to the left, bottom left.

8 A. That's correct.

9 Q. And so this particular situation was in kind of a top
10 middle.

11 A. Yeah, you're right. The way the panel is arranged, it
12 kind of matches the physical layout of the plant.

13 Q. Okay.

14 A. But the bell sequence is like that. We have regs and
15 the monitors are downstream from the regs. They just appear --
16 the way the panel is laid out, they appear on this side but the
17 flow actually runs that way. The way the terminal is shown, these
18 are incoming lines.

19 Q. Right.

20 A. Then we have these (indiscernible) rounds, several of
21 them.

22 Q. Sure, the scribes and the --

23 A. And then they go through the header and when they come
24 out of the header, that's when they go to 132 or wherever else,
25 and I believe the monitors are downstream somewhere before the

1 header, somewhere here.

2 MR. CHHATRE: Is that helpful?

3 MR. KAZIMIRSKY: Absolutely. That's what I was looking
4 for. And right here, going through the terminal, that's where we
5 come into the terminal.

6 BY MR. KATCHMAR:

7 Q. You said you had one coarse, one fine control valve, and
8 then I thought upstream of that control valve you had these.

9 MR. CHHATRE: Sir, can you put that drawing
10 (indiscernible)?

11 UNIDENTIFIED SPEAKER: Yeah, 26.

12 MR. KAZIMIRSKY: They're upstream.

13 UNIDENTIFIED SPEAKER: They're upstream.

14 BY MR. KATCHMAR:

15 Q. Okay. That makes sense to me. Now would you explain to
16 me I guess or to the group in your scenario here, the flow's this
17 way. So these are upstream. So -- and, and usually when I'm --

18 A. If they're upstream, then they -- can I flip the page?

19 Q. Yes, that --

20 UNIDENTIFIED SPEAKER: The sensor is downstream. The
21 sensing line is downstream.

22 MR. KAZIMIRSKY: The flow is this way and the sensing
23 lines will be here.

24 MR. KATCHMAR:

25 Q. There you go. That makes sense. Okay. So my point was

1 I guess is that this thing is always --

2 A. This valve is always open.

3 Q. It's always wide open because it's sensing 375
4 downstream because those two valves are set at 375, the MOP, or
5 less --

6 A. Correct.

7 Q. -- depending on, you know, whatever you do. So then, so
8 then if these two control valves then --

9 A. Yes.

10 Q. -- the two downstream regulators don't control on MOP
11 any more, they fail open. Then the pressure is going to be
12 allowed to increase to the -- to where this one senses 386 down
13 there, and then it's going to stop. It's going to stop flow at 3
14 or the pressure to increase to 386.

15 A. It will control the flow.

16 Q. It will control --

17 A. The pressure, I'm sorry. It may still flow. In fact,
18 it will still flow but the pressure will be reduced --

19 Q. Right.

20 A. -- to the maximum of MOP plus 10 percent or lower
21 depending on what the setpoint for these valves are.

22 Q. Okay. Now we were also talking earlier today about
23 perhaps there's an adjustment on that valve that you can set it to
24 react faster or slower. Is that correct?

25 A. Yeah, that's correct.

1 Q. Okay. And I guess because it's a pneumatic valve, why
2 wouldn't you set it to the fastest reaction speed? Is there a
3 reason?

4 A. Yeah, there is a reason and what happens, if you make it
5 respond too fast, too quickly, then under normal conditions the
6 controller will become unstable. If it responds too fast, it will
7 start oscillating.

8 Q. Got you. Okay.

9 A. So you've got to --

10 Q. I've seen that.

11 A. -- find the balance where you allow some overpressure,
12 but not too much to reach the oscillation point.

13 Q. I've seen that. You're right. Okay. I've seen that.

14 A. That's how all the controllers are tuned.

15 Q. Okay. But there's no way that that valve could fail at
16 a higher setpoint than it is physically set.

17 A. Possibly there is but that would be a second failure and
18 we design all our systems for a single failure, for a single
19 failure. So for this valve --

20 Q. That's the second --

21 A. -- the overpressure, then these two need to fail and
22 then this valve needs to fail.

23 Q. Okay. And for those two to fail because they're
24 electric, you have to lose your UPS, your generator, and your
25 commercial feed --

1 A. That's correct.

2 Q. -- or your power supplies?

3 A. That's correct.

4 Q. Okay. Thank you, sir. Thank you very much.

5 MR. CHHATRE: Questions?

6 BY MR. SHORI:

7 Q. I wanted to clarify one more thing from this morning
8 just to make sure that it is the case. That regulating, the
9 monitor valve, has two modes of operation. One is pneumatic which
10 can't be altered. So once you've set it, that's where it will
11 control at. The other is, it does have remote capability to be
12 able to lower the setpoint on it, but you can't raise the
13 setpoint. Is that correct?

14 A. You can do both. You can raise and lower it. However,
15 it wouldn't allow you to raise it above MAOP. Gas control has the
16 ability to change the setpoints for these valves going both up and
17 down. They also have the ability to manually position valves but
18 even if they position them manually, once the pressure here
19 reaches the maximum, even in the manual mode, these valves will
20 start closing.

21 Q. So you're saying on the monitor you actually can
22 increase it?

23 A. Not the monitor, the regulators.

24 Q. Right.

25 A. This is the monitor.

1 Q. That's all I'm trying to, that's all I'm trying to get.
2 I fully understand as far as the (indiscernible). You can change
3 those around and set those to whatever it is you want to feed, but
4 on the monitor, you've got a pneumatic setting.

5 A. That's not accessible remotely.

6 Q. That's not accessible remotely, plus it's got a remote
7 setting which I thought could only be lowered, but you're saying
8 it could be lowered or increased.

9 A. What we have on the monitors in terms of remote, gas
10 control in some cases has the ability to limit the opening of the
11 valves. In other words, they don't change the setpoint but they
12 can say that this valve shall not be opened more than 50 percent.
13 However, if pressure here gets high, it will close more than 50
14 percent. It will keep closing, but it will not open more than
15 what gas control wants. In other words, that gives them the
16 ability to close the monitor at any time.

17 Q. And that's what I'm trying to get at is if you lower the
18 setpoint, if you lower --

19 A. The position setpoint. Not the pressure setpoint.

20 Q. Position setpoint. So basically you can close it but
21 you can't exceed the pneumatic setting of it --

22 A. Correct.

23 Q. -- in any case, in any event.

24 A. You cannot exceed the opening of the valve by more than
25 what the pneumatic control will call for.

1 Q. And that has to be manually, that has to be manually
2 changed at the valve?

3 A. Correct.

4 MR. CHHATRE: Any questions? Matt?

5 BY MR. NICHOLSON:

6 Q. The pneumatic setting on the monitor overrides the more
7 control what you just said.

8 A. It doesn't override more control. It overrides the
9 control of these valves.

10 Q. I'm sorry. I mean you said -- yeah, the controller has
11 the ability to change what percent of flows on the monitor, right?

12 A. Correct.

13 Q. But the monitor will always respond to the pneumatic
14 setpoint.

15 A. The pneumatic setpoint will override any other --

16 Q. That's what I thought.

17 A. -- control.

18 Q. So can anyone change the pneumatic setting on that valve
19 or is it locked? Can anyone walking by can have access to the
20 pneumatic setpoint?

21 A. I believe the cabinets are locked. Well, the
22 controllers are in the cabinets. I can't say with 100 percent
23 certainty that the cabinets are locked but they're definitely
24 closed and the controllers are not exposed to someone walking by
25 and accidentally, routinely change the setpoint.

1 Q. Can you go back to the first sketch? I have some
2 questions. Okay. So on that layout there, you've got normal
3 power generator and they both go directly into the UPS. There's
4 no automatic transfer switch?

5 A. Yes, there is.

6 Q. There is an automatic transfer switch.

7 A. Absolutely.

8 Q. And that UPS you're showing there, didn't it fail back
9 in March?

10 A. Yes, it did.

11 Q. So it's on bypass now or was.

12 A. Now there is a new one.

13 Q. Now there's a new one.

14 A. We installed a new one, yes.

15 Q. But on September 9th you didn't have a new one.

16 A. On September 9th, there was no UPS.

17 Q. So it was bypassed at that time?

18 A. Correct.

19 Q. So that's one failure. And then you're saying possibly
20 power supply A and B failed which is supposed to be redundant.
21 Okay.

22 UNIDENTIFIED SPEAKER: I'm sorry. Didn't you say PSA
23 did fail and B was at 17 percent.

24 MR. KAZIMIRSKY: A was in the failed state.

25 BY MR. NICHOLSON:

1 Q. On the 9th.

2 A. After the 9th. I don't know where it was on the 9th,
3 but when we tested it, it failed.

4 Q. I understand. B actually read 17 volts which is
5 dependent on the threshold control.

6 A. Right.

7 Q. Back at the cabinet, the circuit --

8 A. But, but after the failure of the power supply, we
9 installed several small temporary UPSes with a one hour capacity
10 at some critical moments.

11 Q. And where did those -- you plugged those in where? Back
12 to the main UPS panel.

13 A. They were spread over the -- several locations.

14 Q. And they were just plugged in.

15 A. They were just plugged in.

16 Q. That UPS you've shown up there, it's actually got its
17 own panel, right? It's circuit breakers?

18 A. Right.

19 Q. And what are those breakers equated at?

20 A. From here?

21 Q. Yeah.

22 A. The UDP and several other panels that --

23 Q. But how many amps are they rated to? 15 amp.

24 A. The UPS, no, it's larger than that. I don't remember
25 the rating, but it's larger than that.

1 Q. What's the rating of the circuit breakers at the panel,
2 the UDP panel?

3 A. 50, 20 amp, I can't remember that. That's the level of
4 details that you can only get from the drawings. I don't think
5 anyone can remember.

6 Q. You keep a panel schedule in the UDP, right?

7 A. Yes.

8 Q. And that's updated?

9 A. Yes.

10 Q. So the person that might have opened that circuit would
11 have known what was on that circuit from the panel schedule?

12 A. Should have known. Would have known? I don't know. I
13 don't know if it was opened. If it was, I would think if somebody
14 opened it, the person would know what he was doing. Otherwise, he
15 wouldn't open it.

16 Q. But there was a panel schedule there that he could have
17 referred to?

18 A. Yes.

19 Q. And have you checked that panel schedule?

20 A. Yes, we did.

21 Q. And it's got all those devices on it?

22 A. Yes.

23 Q. The two pressure transducers you show.

24 A. I show two, but in reality there's probably -- there's a
25 lot more than two.

1 Q. But the two you're showing there, you're saying those
2 are the controlling transducers to the two regulators? It's not
3 two there. There's 26 controllers in that panel.

4 Q. Okay.

5 A. Out of those 26 controllers, I'd say 15 or so have
6 pressure transmitters.

7 Q. But those transmitters, they're not put in with
8 redundancy as well, right? It's just one --

9 A. No. They're feeding off the algorithm.

10 Q. I understand but it's just one. So if you lose a
11 transducer, you've lost a transducer.

12 A. That's correct.

13 Q. You don't have redundant transducers.

14 A. That's correct.

15 Q. The shaft position, the encoder on the shaft that you
16 got, that gets feedback on position. There's no alarm on that, is
17 there? So if it immediately goes to 0, would the operator know
18 it?

19 A. They would see that the valve --

20 Q. They would see the position.

21 A. -- closed probably.

22 Q. But they would not see an alarm?

23 A. They would not see the alarm. However, in most cases,
24 and I can't say for sure they do it here, in most cases we use
25 bulb position transmitters and switches on the valves.

1 Q. Okay.

2 A. And generally we use limit switches for the valve status
3 closed because those are more reliable, more accurate. Position
4 transmitters are normally used to show open and it's common
5 knowledge that they're not very precise.

6 Q. All right. You showed -- on your other drawing, you
7 showed UIC. I didn't catch that. Was that the same as PLC?
8 What's that?

9 A. No, UIC is a symbol for multivariable controllers. It's
10 the ISA abbreviation for multivariable controller. What we have
11 in reality is Siemens 353 (indiscernible) controllers.

12 Q. That's got logic.

13 A. Yeah, it's got logic.

14 Q. So that's a --

15 A. It's what we call single (indiscernible) controllers.

16 Q. Uh-huh.

17 A. Now they're advanced. They have more than a single
18 (indiscernible), but essentially the same devices.

19 Q. So it's PID control, full PID control, P I D --

20 A. Yes.

21 Q. -- control on that?

22 A. Uh-huh. That's what they are. And they can run more
23 than one (indiscernible).

24 Q. Oh, they've got more than one channel on them.

25 A. More than one (indiscernible). In fact, in this case,

1 we control (indiscernible) with the same controller.

2 Q. You talked about the PSA and PSB failing and it seems
3 highly unlikely. Did you say they were installed at the same
4 time?

5 A. Yes, they were.

6 Q. Okay. And did you send one back to the manufacturer to
7 have it torn apart?

8 A. No, we did not. We have both of them in storage. We
9 tested them on the bench after we removed them and on the bench,
10 both of them failed.

11 Q. You said the monitors are pneumatic. Are they driven by
12 the gas or is there a compressor or --

13 A. There is a compressed air system.

14 Q. Is it backed up or is it on emergency power?

15 A. It's an emergency power. It's in the generator. So
16 during the transition, they're not fed on the (indiscernible).
17 They're not fed (indiscernible). But we have a large air tank and
18 that's for starting the generator and still having enough
19 compressed air to move the valves. We also have two generators,
20 like I said, so that's backed up as well. The UPS is critical
21 during that transition time.

22 Q. Sure. And the UPS is monitored. It's got alarms off of
23 it to tell you if it's failed or flipped to bypass?

24 A. The UPS?

25 Q. Your UPS, is it tied into SCADA?

1 A. Oh, yeah. It doesn't have to be the UPS. We normally
2 have an alarm on the loss of commercial power and a separate alarm
3 when the generator is running.

4 Q. Okay. So you don't have any maintenance on the power
5 supply A and B. You just pretty much run to fail with redundancy.
6 That's what it sounded like.

7 A. Correct. We do have an alarm, a power supply alarm
8 which we did see when -- after the fact. I don't know the alarm
9 came in. It could have been prior to September 9. It could have
10 happened on September 9.

11 Q. You did get an alarm?

12 A. It's a local alarm. They have an alarm like locally.

13 Q. For the power supplies?

14 A. Yes.

15 Q. Okay. And where does that show up?

16 A. On the panel, on the mimic panel.

17 Q. On the mimic panel.

18 A. You haven't been to the terminal yet.

19 Q. I haven't, no, and I want to go there. So I'll save
20 some of these questions for then. But if you lose your battery on
21 the UPS, you get an alarm through the UPS.

22 A. That's correct.

23 Q. That's all. Thank you.

24 MR. SHORI: Sunil Shori, I just wanted to follow up.

25 BY MR. SHORI:

1 Q. As far as on September 9th when the UPS was basically
2 bypassed, so in that regard did the generator kick in on that --
3 during that night? Do you know if the generator had to kick in at
4 all?

5 A. We didn't need the generator because we never lost
6 commercial.

7 Q. You never lost commercial. So there was no generator
8 that kicked in. Okay. Also there's --

9 MR. CHHATRE: Identify yourself.

10 MR. SHORI: Yeah, I'm Sunil Shori, California PUC.

11 BY MR. SHORI:

12 Q. There's also three other monitoring points, MMTPT00388.
13 Do you know what that refers to?

14 A. No, I can't remember the tags.

15 Q. May I show you the --

16 A. Sure.

17 Q. These three.

18 UNIDENTIFIED SPEAKER: Would you identify the document
19 if you're going to ask him questions about it?

20 MR. SHORI: It's NTSB Response 001-013-S1-Amendment.

21 UNIDENTIFIED SPEAKER: Can you read the question and the
22 answer?

23 MR. SHORI: The question is does he --

24 UNIDENTIFIED SPEAKER: No, for that response. What was
25 the question and the answer provided.

1 MR. SHORI: Sure. The question, provide the pressure
2 readouts four hours before rupture, four hours after rupture. The
3 pressure reads at Milpitas Terminal for lines 101, 109 and 132
4 have been added to a spreadsheet. Please see attached. The
5 pressure reads were recorded by SCADA and were unaffected by the
6 Milpitas clearance work. These SCADA data points are used for
7 calculations and operations at Milpitas. These data points are
8 inputs into the outgoing flow calculations and are not displayed
9 in gas control. The data points are embedded in the SCADA
10 historian. The data points were identified as part of the
11 incident investigation. Since Milpitas Station feeds the gas
12 transmission lines running up the Peninsula, the pressure reads
13 reflect the highest pressures that line 101, 109 and 132
14 experienced during the incident.

15 And what I am referring to are three locations or three
16 sensing points, MMTPT00388, MMTPT0031, MMTPT0032. These are all
17 indicated on respective lines 109, 132, 101 at mile point 0.00.

18 BY MR. SHORI:

19 Q. And I guess what I'd like to know is if these
20 transducers or these readings were still available at the station,
21 why were they not being used by the equipment?

22 A. I'm drawing the same sketch.

23 Q. Okay.

24 A. This is what they have at the terminal. Okay. It's
25 simplified. I didn't show all (indiscernible). I just showed one

1 valve for the sake of simplicity. It's the same monitor valve.
2 They don't use it in instrumentation. It's a direct connection to
3 the pipe, to the pipeline and then pneumatic control to the valve.
4 We have a pressure transmitter going through the UIC, the
5 (indiscernible) controller to control the regulator, and that's
6 the PT, that's a pressure transmitter that is displayed on the
7 SCADA screen. Additionally, they have flow meters on those lines.
8 Each flow meter has at least three transmitters, a pressure,
9 differential and temperature. Those are used strictly for flow
10 calculations. They are not used for controls, and because all
11 instruments have a certain specs, certain accuracies, it's very
12 difficult to have two transmitters next to each other showing the
13 same number. There's always going to be a little difference
14 between. In most cases, there will be a little difference. So
15 what we chose to do is we show these transmitters that are used
16 for pressure control on SCADA screens, so the operators can see
17 what the setpoint is and what they're actually controlling at. For
18 the flow measurements, we only display the result of flow
19 calculations, the actual flow rate. Individual instruments,
20 pressure, temperature, I didn't show the temperature. There
21 should be a temperature transmitter here. Those individual
22 transmitters are not shown on the SCADA screen. They still get
23 sent to SCADA. They still get stored in the historian but they're
24 not displayed, first of all, not to confuse the operators and the
25 screens are crowded as it is, not to display data that is not

1 really essential for operating the system. So these points that
2 you asked me about are here. They're in the middle. The way the
3 system is wired, the transmitters for the meters are not connected
4 to PSA and PSB. They are fed from a different power supply. So
5 when we lost these, these transmitters were probably still in
6 operation. When they did switch over, when they changed power,
7 power supplies that were feeding these, that's where they could
8 have seen 0 on the SCADA records.

9 Q. Okay. Thank you very much. And you said in this
10 particular case, I mean basically it's transmitting data but
11 there's no control for that reading?

12 A. Correct. This is data monitoring. This is data
13 monitoring. This is monitoring as well as what we use to monitor
14 the controls, not only monitor the (indiscernible) condition, but
15 also to do the controls.

16 Q. Thank you.

17 MR. CHHATRE: Any other questions?

18 Ravi Chhatre, NTSB.

19 BY MR. CHHATRE:

20 Q. Can you go back to the previous sketch? Can you
21 somewhere in there write down what RL and RT means?

22 A. I'm sorry.

23 Q. Can you write down what RL means? You can write it at
24 the bottom if you want.

25 A. This is (indiscernible). These two valves actually

1 (indiscernible) they set. One of them is in the trimmer and one
2 of them is a wall monitor.

3 Q. Okay.

4 A. At least that's the terminology that we use.

5 Q. But they both require juice, a signal of some sort.

6 A. Correct. I'm sorry. They both require AC. Not just
7 the signal, but AC.

8 Q. AC.

9 A. Correct.

10 Q. What about M?

11 A. Mapping monitor valve. It (indiscernible) the controls.

12 Q. Now those small areas that we saw during our last visit
13 at Milpitas, small UPSes --

14 A. Uh-huh.

15 Q. -- why put them up? I don't remember.

16 A. That's for the UPSes.

17 Q. And if you go back to your previous sketch.

18 A. The next one.

19 Q. No, the previous one.

20 A. Oh, yeah.

21 Q. And that was because the UPS failed.

22 A. Correct.

23 Q. Those -- I forget your (indiscernible). What they were
24 feeding power to?

25 A. They were supposed to feed the power to PSA and B --

1 Q. That's what I thought they were doing at that time.

2 A. -- and several other loads. They were supplying power
3 to the station PLCs.

4 Q. Okay.

5 A. They were supplying power to the Siemens controllers. I
6 frankly don't remember how else (indiscernible).

7 Q. Does that mean they're bypassing your UDP, the UDP or
8 UDD?

9 A. Correct.

10 Q. Is that UDP or UDD?

11 A. UDP.

12 Q. UDP. Okay. Now if they were bypassing UDP, why would
13 the breaker become an issue?

14 A. That's what (indiscernible) wanted.

15 Q. Okay.

16 A. Originally we had the UPSes there, as the work is being
17 done, we don't know if the UPS was still left in place or if
18 somebody (indiscernible) tried to rewire it back (indiscernible).
19 That's the part that was questionable and that's why I more
20 personally, that's (indiscernible) conclusion. Personally, I'm
21 more suspicious about (indiscernible).

22 Q. Those UPSes were supplying power to PSA and PSB,
23 breakers merely (indiscernible) power supply at that time?

24 A. It becomes available.

25 Q. So (indiscernible).

1 A. That's like I said. That's why personally I'm more
2 suspicious about these three devices than anything else, but like
3 I said, there's still a potential of somebody turned the breaker,
4 and that's why I mentioned it.

5 Q. This sketch is a lot clearer than just listening to you,
6 but now I'm thinking if that is the situation, (indiscernible),
7 somebody accidentally turned the breaker off, PSA and PSB still
8 should be supplying power.

9 A. Oh, if there was a temporary UPS?

10 Q. Yes.

11 A. Yes, it would.

12 Q. If there was a UPS at the time of the incident.

13 A. Absolutely. Absolutely. You're absolutely right.

14 Q. Now PSA and PSB, how many of those do you have of that
15 type, power supply do you have?

16 A. At the terminal?

17 Q. At Milpitas Terminal.

18 A. We have, that particular type, these were the only two
19 we had. We had two other ones of the same brand but different
20 type.

21 Q. Same vintage, same age?

22 A. Yes.

23 Q. Do you have any of these type at other locations
24 someplace?

25 A. I'm sure we do.

1 Q. Same vintage, same age?

2 A. I can't say. We have different vintages. We --

3 Q. Okay. My question then is with USPes and
4 (indiscernible), has PG&E to your knowledge informed other
5 locations that take a look your PSA --

6 A. We are doing that as we speak.

7 Q. But the process has not been completed?

8 A. That's one of the lessons.

9 Q. To your knowledge, has any of those power supplies at
10 other locations have been replaced as a precautionary after
11 September 9th?

12 A. I'm sure some of them have been replaced over the years
13 but when they were, that would be part of the maintenance work
14 that I'm not directly involved with. If the power supply fails,
15 we may be contacted, my group may be contacted asking for advice.
16 In most cases they would simply buy an identical power supply and
17 install it on an as needed basis.

18 Q. So that is an off-the-shelf item that you store those
19 like any other supplies?

20 A. Not that I'm aware of and I don't think it's really
21 practical because they don't fail very often. If we buy spares,
22 they're going to be sitting somewhere on the shelves --

23 Q. That's right.

24 A. -- and nobody would even remember that they're in
25 existence.

1 Q. Right.

2 A. And these things are generally available within two to
3 three days, maybe overnight under certain conditions.

4 Q. Okay.

5 A. I'm sure we have some spares somewhere. I know I have
6 some in my office.

7 Q. Okay. Now again going back to the last sketch that you
8 had, we're told that like 8 or 16 wires coming out of that
9 portable UPS was moved or somebody was, you know, tweaking those
10 wires (indiscernible). Do you have any knowledge of that?

11 A. It wasn't in the UPS. It was in that large control
12 panel.

13 Q. Which is the UDP?

14 A. No, that was the mimic panel.

15 Q. Okay.

16 A. We did find some loose wires. It's hard to say if they
17 were the cause of the problem. I doubt it because generally a
18 loose wire becomes a problem if you move it. Once it's in place,
19 generally it maintains contact.

20 Q. Remains like that. Now where those wires were, which
21 unit you are talking about on your sketch, those wires you just
22 mentioned?

23 A. I didn't show that but if you remember the arrangement
24 of the panel, as you walk in, there was a distribution panel right
25 across the door in the back room. That was the UDP.

1 Q. Okay.

2 A. These were sitting down below the console, beside that
3 panel. That's where the loose wires -- that's where we found
4 loose wires.

5 Q. Okay.

6 A. Within the same panel.

7 Q. Okay. I don't want to crowd that sketch any more. The
8 loose wires, were those feed PSA and PSB or they're not feeding
9 it?

10 A. No, they were not feeding PSA and PSB. They were
11 feeding different loads. I can't say now how related they were to
12 PSA and B. I know we found some loose wires in the AC
13 distribution logs. So conceivably that could have been found, but
14 again since nobody touched it, when the problem occurred, I doubt
15 if that (indiscernible).

16 Q. So (indiscernible) the loss of power (indiscernible)
17 that trip the valves related to PSA and PSB --

18 A. That's absolutely correct. Some were here when power
19 was lost. Whether it was here or here, but the bottom line is
20 that's where the problem started probably.

21 Q. So the PSA and PSB were fed by the portable units then.

22 A. I'm sorry.

23 Q. The PSA and PSB were supplying -- were supplied juice by
24 the portable UPSes. I guess -- can you do that on the same thing?
25 Beyond that, before (indiscernible)?

1 A. I can't answer that because when it happened, I really
2 don't know if A and B were given power from the (indiscernible)
3 UPS or from here. I don't know. I can't tell you about that.

4 Q. Is there any way to (indiscernible) that or --

5 A. We've been trying to but I don't think we came to a
6 solid conclusion.

7 Q. What kind of information will confirm it? This is
8 making it very interesting as to what could have happened. So --

9 A. Again, even if it was a temporary power supply, a
10 temporary UPS here, especially if it was a temporary UPS here,
11 then these two power supplies become even more suspect.

12 Q. That's what I'm saying. To me, if I remember correctly,
13 I thought I was told, I believe we were told in the last visit
14 those portable units were feeding -- right. That's my
15 understanding.

16 A. I believe you are correct. I think that's how it was
17 when the --

18 Q. When the event occurred.

19 A. -- when the event occurred. I believe you're correct.
20 In which case, that breaker becomes irrelevant.

21 Q. I think everything before that becomes irrelevant at
22 that point.

23 MR. CHHATRE: Go ahead.

24 BY MR. NARVELL:

25 Q. This has been interesting on electricity. I have kind

1 of one bottom line question that goes back to the --

2 MR. CHHATRE: Identify yourself for the record.

3 MR. NARVELL: I'm sorry.

4 MR. CHHATRE: Identify yourself.

5 MR. NARVELL: Oh, Rick Narvell, sorry.

6 BY MR. NARVELL:

7 Q. I believe this was conveyed (indiscernible) to the
8 incident, but at any point, did the pressure in that line to your
9 knowledge exceed what it was supposed to?

10 A. No, and that I can say with 100 percent certainty.

11 Q. Thank you. That's all I have.

12 BY MR. SHORI:

13 Q. Just one follow up. I think earlier in my question,
14 maybe one sketch down --

15 MR. CHHATRE: Identify yourself.

16 MR. SHORI: Sunil Shori, California PUC.

17 BY MR. SHORI:

18 Q. -- the three transmitters that you had on the flow
19 meter, you have the pressure --

20 A. I'm sorry.

21 Q. The three transmitters, you have pressure, temperature
22 and what was the --

23 A. Pressure, differential and temperature are displayed.

24 Q. Thank you. That's all.

25 MR. KATCHMAR: Peter Katchmar, PHMSA.

1 BY MR. KATCHMAR:

2 Q. Mark, you said a couple of times in your answers that
3 someone could have pulled the breaker or somebody could have done
4 this, somebody could have done that. Did you ask the people that
5 had opportunity to do that specifically if they did that?

6 A. Yes, we did but we didn't get -- we had some disconnect
7 in the answers and as more time goes by, obviously the worse their
8 recollections are. So that's why I'm saying I can't say.

9 Q. I just wanted to get that on the record --

10 A. We did ask.

11 Q. Yeah, that you had actually asked.

12 A. I'm still more suspecting that somebody did something,
13 but like I said, seeing both power supplies fail on the bench,
14 that's what I tend to lean towards.

15 Q. Right, and bottom line is, like you say, the pressure in
16 the pipeline went up 21 to 27 pounds.

17 A. I looked at the pressures. I said (indiscernible). I
18 looked at the pressures, not at the terminal, but at every station
19 downstream from the terminal, all the way up the Peninsula and in
20 no place at any time did we see a pressure greater than 392 or 94,
21 something like that which is still below MOP --

22 Q. Right.

23 A. -- let alone MOP plus 10 percent.

24 MR. CALDWELL: Geoff Caldwell, City of San Bruno.

25 BY MR. CALDWELL:

1 Q. How many times to your knowledge has line 132 been
2 filled with greater than 392 or 94 pounds?

3 A. I have no idea.

4 Q. Has it ever?

5 A. I can't answer that. That is something that perhaps we
6 can look at the records over the years, and I'm not even sure
7 those records exist.

8 MR. FASSETT: This is Bob Fassett. For clarity, that's
9 been provided in one of these NTSB reports, responses, but I can't
10 remember which one.

11 BY MR. CALDWELL:

12 Q. One other question, Mark. When PSA and PSB failed or
13 when the power failed, did all of the pressure regulators go full
14 open at the station, all of them? All that were controlled by
15 those?

16 A. I would say yes, but again I need to -- I would need to
17 look at the schematics because most of the pressure transmitters
18 used for controls were fed off these two power supplies but there
19 are other transmitters that are fed from different sources. So
20 maybe some of them were not impacted.

21 Q. But the ones that were controlled by this, would have
22 gone full open?

23 A. (indiscernible).

24 Q. Thank you. That's all I have.

25 UNIDENTIFIED SPEAKER: I've got a question.

1 BY UNIDENTIFIED SPEAKER:

2 Q. The pneumatic actuator on the monitor, is that double
3 acting or single acting?

4 A. I (indiscernible).

5 Q. Okay. You're saying they're double acting but they
6 don't fail (indiscernible).

7 A. (indiscernible). In the case of a valve actuator, yeah,
8 (indiscernible). In the case of a (indiscernible).

9 Q. Okay. And then the actuator, just to clarify, the
10 actuator is on the regs (indiscernible)?

11 A. Correct.

12 Q. So they're (indiscernible).

13 A. (indiscernible).

14 Q. That's it.

15 BY MR. CHHATRE:

16 Q. Going back to your monitoring valve (indiscernible)
17 there is some overshooting of the pressure because the pressure
18 sensor keep kicking in and out. Is that --

19 A. Because the controller has set a response time.

20 Q. Do you have an idea as to how much play or how much
21 overshooting the valve will do?

22 A. There is really no single answer to that. It depends on
23 what the pressure is and how fast the pressure changes. That
24 response time will change depending on process conditions.

25 Q. But neither the manufacturer or PG&E has done anything

1 to develop an estimate on that or --

2 A. Well, like I said, there's no estimate. What we do is
3 we tune the controller to get the fastest response without going
4 into oscillation.

5 Q. Okay.

6 A. That's how every controller is tested.

7 Q. So individually tweaked?

8 A. Yeah.

9 Q. Now I believe at some location we saw a reading that was
10 close to 390 psi.

11 A. I'm sorry.

12 Q. We saw a number about 390 psi --

13 A. You mean at Milpitas?

14 Q. Not at Milpitas. I think it was further downstream very
15 close to Martin Station I think.

16 A. Right.

17 Q. Somewhere in there. Way downstream of Milpitas.

18 A. Correct.

19 Q. Again, going back to that pressurization, if your
20 monitoring valve will take some time, has been done any
21 calculations as to how much volume or what pressure has to be for
22 the downstream pressure to be around 390?

23 A. I don't know if PG&E has done any calculations, but
24 again for that pressure to propagate, there's no single number or
25 time. It depends on the flow at the time. If you have a high

1 flow in the line, the pressure may never actually get to a high
2 point downstream because it's going to dissipate along the way.

3 Q. Correct.

4 A. If you don't have any flow and the line is packed,
5 that's going to be a fairly quick pressure rise, even farther away
6 from the station. So you can't really do any calculations if it
7 changes. It changes continuously.

8 Q. So is there a history that you are aware that -- of the
9 packing of line 132?

10 A. I don't know. That's part of the operations. Perhaps
11 they --

12 Q. That's operations. Okay.

13 A. I wouldn't know.

14 Q. Okay.

15 MR. CHHATRE: No further questions. Anybody has any
16 questions?

17 Thank you so much for the --

18 UNIDENTIFIED SPEAKER: I've got one more question.

19 MR. CHHATRE: Okay.

20 BY UNIDENTIFIED SPEAKER:

21 Q. I could save it for when we go to the station but the
22 parallel regs that are run, you called one a load and one a
23 trimmer. Are they redundant regs?

24 A. No.

25 Q. They're not.

1 A. The way they operate is the load valve is a larger size
2 valve. A trimmer is a small size value, and their characteristics
3 actually overlap. So when the controls say pressure downstream,
4 the first response is by the trimmer valve, by the small valve.
5 It's like the (indiscernible) controller.

6 Q. Okay.

7 A. So the pressure is higher than the setpoint and the
8 trimmer valve starts closing. If the small valve, closing that
9 small valve is sufficient for bringing the pressure back to the
10 setpoint, at some point that small valve is going to start moving.
11 If that valve gets below 20 percent open, that's when the large
12 valve starts closing. As soon as the large valve starts moving,
13 the pressure will drop below the setpoint, and the small valve
14 will start opening up again. As soon as the pressure comes within
15 a setpoint, and the small valve is above 20 percent open, the
16 large valve will stop moving. The same goes in the opposite
17 direction. So it's like a --

18 Q. That makes sense, yeah. And earlier you said when you
19 would have lost power to the transducers, they're 4 to 20 output
20 you said?

21 A. Yes.

22 Q. They're not 0 to 5?

23 A. No. They don't use 0 to 5 for that very reason. You
24 want 0 to be an invalid signal.

25 Q. Well, that's where I'm going. So they're 4 to 20 out,

1 but if you lost power to them, wouldn't they have gone invalid
2 because they would have dropped below 4 which is --

3 A. As far as interpreting it, yeah, you're absolutely
4 right. Minus 200 pounds is not a valid reading.

5 Q. Isn't that what the operators would see?

6 A. What the operators would see?

7 Q. Yeah.

8 A. They may see 0. They may see minus 200 and as far as
9 operators are concerned, 0 or minus 200 is equally invalid. You
10 cannot have 0 pressure in the pipes. As far as the controllers
11 are concerned, they don't know figures. They'll just respond to
12 that low pressure and they'll try to increase the pressure to
13 bring it to the setpoint. That's why the valves (indiscernible).

14 MR. SHORI: Sunil Shori, California PUC.

15 BY MR. SHORI:

16 Q. One last question I promise. Are you, are you making
17 modifications to the monitor valves at this stage to have them
18 respond faster or make any kind of a response change?

19 A. No, we're not, and I don't think we should or we can
20 because like I said, we always tune them to be as responsive as
21 they can be but we can't make them too quick because that would
22 bring the system to instability. We periodically check them. We
23 verify that the controls work. I really can't say how frequently
24 we do that but normally once you tune it, once you set it up,
25 there is no need to change it. You can change the operation of

1 the valve, if it's not working correctly, but as far as tuning is
2 concerned, once it's set, it's set. You don't need to change it.

3 Q. Not so much the setting but the response. That's all
4 I'm --

5 A. That is prior to the setting.

6 Q. -- like a booster or anything else?

7 A. That's prior to the setting. The response time
8 (indiscernible).

9 Q. Okay. Thank you.

10 A. The only time you would change it if there are pipeline
11 modifications, then we may look at the controls. Otherwise,
12 there's no need to change them.

13 MR. CHHATRE: Anybody else?

14 MR. KATCHMAR: Peter Katchmar, PHMSA.

15 BY MR. KATCHMAR:

16 Q. Mark, one thing. We talked to a controller this morning
17 and I asked the question --

18 A. You mean the operator.

19 Q. Operator. I'm sorry. Pipeline controller, the pipeline
20 operator, right. It was a gas system operator I think is what his
21 title was. And I asked the question, if the clearance was for the
22 whole Milpitas station, why didn't it include just turning off the
23 SCADA to that whole, that whole station? Because if they couldn't
24 rely on it, and they were relying on communication by phone or
25 radio or whatever, and I knew nobody knew there was going to be a

1 release, but it tends to confuse the issue perhaps by having data
2 that's wrong or that's not reliable, and I'm just wondering if
3 there's a reason that that wasn't -- the communication just wasn't
4 shut down from Milpitas Station to --

5 A. I can't speak for gas control, but I can give you my
6 guess. First of all, some of the data was invalid, some at the
7 time, but at no time they lost all the data. So a lot of data was
8 still valid. That's number one. Number two, when they did the
9 work, like that example that you showed me in the table, at some
10 point they were reading 0s. When the system was put back
11 together, they were able to right away tell the construction crew
12 that, yes, we've got the data back. Milpitas has, I don't know,
13 dozens and dozens of points. It would be very time consuming to
14 override these points to take them off the SCADA and the make them
15 ride again. So --

16 Q. That makes sense.

17 A. But there's also a chance that once they override
18 something, they may leave it overridden and not realize that.

19 Q. Right. All right. That makes sense, too.

20 BY MR. FASSETT:

21 Q. Just so I understand that a little. It's still
22 communication, right? So if you're playing a piano and you have
23 some sour notes, you're still playing the piano. It's still
24 telling you something, and you're able to communicate and make
25 sure that you can get that piano back in tune and therefore the

1 system is working again.

2 A. Uh-huh.

3 Q. So to ignore communication that you've already trained
4 your people to understand, when it's valid or not valid, is
5 probably not a prudent thing to do for an operator. Would you
6 agree with that?

7 A. Yes.

8 Q. Also, could you explain again that the flow data
9 pressures aren't seen by the GSOs necessarily on their screens but
10 SCADA, you can -- SCADA is still collecting that.

11 A. Not all data sent to SCADA are displayed on the
12 graphics. Some of the information is sent to SCADA and logged on
13 the historian. It's like a big archive. It's not necessarily
14 visible for the operator on the screen. It's more of a
15 troubleshooting tool, more of what we're doing today.

16 Q. Right. So when we say SCADA, check me on the acronym,
17 but SCADA is supervisory control automated data acquisition.

18 A. And data acquisition.

19 Q. And data acquisition. The supervisory part of that does
20 not necessarily mean the GSO that's staring at the screen.

21 A. No, the supervisory part means that the GSO has the
22 ability to remotely provide control for some of the facilities and
23 that includes sending command to open and close a valve for
24 example, or put a valve in a specific position, change setpoints
25 and stopping and starting units at the compressing stations and so

1 on. That's the supervisory part. That's called supervisory
2 points. That's the commands that gas control has the ability to
3 send to the local controls.

4 Q. And the data acquisition part means not just what the
5 GSO is going to be seeing. It is data acquisition for a database
6 of various --

7 A. Correct.

8 Q. -- items that you want.

9 A. It's collecting whatever data we think we're going to
10 need for whatever purposes we may need it. It's not necessarily
11 running the system on a daily basis. It may be for condition
12 based maintenance. It may be monitoring the state of the
13 equipment. It may be, like I said, what we're doing to day.
14 Maybe it's some backtracking, some troubleshooting. So not all
15 these data are needed by the operators to run the system, and if
16 we try to display it all on the same screen, it's going to be a
17 little difficult for them to handle.

18 Q. Okay. Thank you.

19 MR. CHHATRE: Any other questions?

20 MR. NICHOLSON: Matt Nicholson, NTSB.

21 BY MR. NICHOLSON:

22 Q. While we're talking about data collection, is SCADA
23 running -- is it collecting data by exception or is it --

24 A. No, it's, it's collecting data continuously. We have
25 (indiscernible) locations that are continuously scanned by

1 different means of communications.

2 Q. At what frequency?

3 A. An average, 10 to 15 seconds per site. What goes in the
4 exception base is supervisory control.

5 Q. Okay.

6 A. If the gas control operator issues a command that would
7 interact the normal scan, send the command to the appropriate
8 remote site, and then it will resume its scanning.

9 Q. Were you involved in the clearance that was written?

10 A. No, I was not.

11 Q. And when they put the regulators in manual, there was
12 some testimony about putting them in manual? Is there a handoff
13 on the switch? How does that work?

14 A. The work on the Siemens controllers, there's mode
15 selection. So they can put them in a manual mode meaning that
16 they go and do the PAD control. The valves also have local, I
17 forget what the switch is called, I think it's local remote
18 switch, that can also be put in local control in which case the
19 valve is not going to take a command coming from the outside.

20 Q. So which would they have used?

21 A. Probably both. I didn't see the clearance and I can't
22 recall. I know one was for sure. Most likely at least on the
23 controller so they don't wind up with (indiscernible).

24 Q. You're saying they would have gone to the Siemens to
25 make the change?

1 A. No, no. I'm saying that the Siemens controls were put
2 in manual.

3 Q. Okay.

4 A. And whether they did it at the valve itself or not, I
5 can't say for sure but they will start with Siemens and after
6 that, they could have went to the valve itself.

7 Q. Okay. That's all I have. Thank you.

8 MR. FASSETT: No more questions.

9 MS. JACKSON: I just have one question. Connie Jackson,
10 City of San Bruno.

11 BY MS. JACKSON:

12 Q. I think you indicated that the window disruption -- that
13 the disruption caused some of the data to be inaccurate. Is there
14 any way that the operator who's using this SCADA information can
15 distinguish between the data that might be accurate and the data
16 that's not accurate?

17 A. Yes, several reasons. If the site loses communication,
18 then the color of the data coming from that site will change. In
19 this case, we didn't lose communication. So the data remained, at
20 least it appeared, valid on the screen.

21 Q. So that didn't happen in this case.

22 A. No. But in addition to just changing color, they can
23 look at the value and as I said, if the pressure in the pipeline
24 all of a sudden becomes a 0, they know it's not going to happen.
25 Even if the line ruptures, it remains pressurized but we're going

1 to see a sudden pressure drop, but it's not going to go down to 0.
2 We also saw during that incident that some of the pressures went
3 over I think 600 pounds, something like that, and they also knew
4 that that's impossible because you cannot have 500 or 400 pounds
5 coming in and 700 pounds coming out. So by some analysis, your
6 basic analysis, then you will be able to determine which data is
7 valid and which is not.

8 Q. Thank you.

9 MR. CHHATRE: Anybody got any questions? Before we
10 close the record, I've got two questions for you.

11 BY MR. CHHATRE:

12 Q. One is has anything been done since September 9th,
13 (indiscernible) of the accident, with Milpitas and San Francisco?

14 A. Yeah, a lot of things have been done. We installed a
15 new UPS. We replaced three power supplies including obviously A
16 and B. We did a lot of clean up work.

17 Q. Can you repeat that again? Because the recorders are
18 sensitive to the noise. We may lose you.

19 A. Okay. A new UPS has been installed. The power
20 supplies, A, B and I believe power supply 1 have been replaced and
21 new power supplies have the addition redundancy models available
22 to us (indiscernible) predesigned model to monitor both of them
23 and switch from one to another. We cleaned up the wiring inside
24 the panels. We checked essentially all the wiring inside the
25 panels. We found all places where the wires were loose or we have

1 more wires per terminal than should have been there. We corrected
2 all of that. We updated all drawings to reflect either as-built
3 or as is condition and the drawings are being issued as we speak.
4 We replaced the battery bank. The batteries that you saw have
5 been removed and a new battery bank is being actually installed
6 today. We also have a list of some of the things that we would
7 like changed at Milpitas unrelated to that. We can think of some
8 things that we can make better, and that's about it, and I believe
9 we have a project for doing some control system upgrades at
10 Milpitas as a preventative measure relating to any problems there.

11 Q. Is Milpitas Station still operational or you are still
12 running it from San Francisco?

13 A. Yes, it is.

14 Q. It is not back.

15 A. Yes.

16 Q. Is it still unmanned?

17 A. Yes, it is.

18 Q. Any personnel change since September 9th? Promotions,
19 change.

20 A. A new district supervisor there. Other than that, I
21 know there's a permanent supervisor (indiscernible).

22 MR. CHHATRE: If we have no questions, thank you so much
23 for your time and patience. Thank you so much. Off the record.

24 (Whereupon, the interview was concluded.)

25

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF: PACIFIC GAS & ELECTRIC COMPANY
 SEPTEMBER 9, 2010 ACCIDENT
 SAN BRUNO, CALIFORNIA
 Interview of Mark Kazimirsky

DOCKET NUMBER: DCA-10-MP-008

PLACE: Burlingame, California

DATE: January 4, 2011

was held according to the record, and that this is the original,
complete, true and accurate transcript which has been compared to
the recording accomplished at the hearing.

Kathryn A. Mirfin
Transcriber