



NATIONAL TRANSPORTATION SAFETY BOARD
Investigative Hearing

Washington Metropolitan Area Transit Authority Metrorail train 302 that encountered heavy smoke in the tunnel between the L'Enfant Plaza Station and the Potomac River Bridge on January 12, 2015

GROUP	
EXHIBIT	

Agency / Organization

Title

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

* * * * *

Investigation of:

*
*
*
*
*
*

WMATA INCIDENT AT L'ENFANT PLAZA
STATION, WASHINGTON, D.C.
JANUARY 12, 2015

* Docket No.: DCA-15-FR-004

* * * * *

Interview of: RAFAEL SA'ADAH

D.C. Fire and EMS - Fire Operations
Center
500 F Street, N.W., 2nd Floor
Washington, D.C.

Monday,
February 2, 2015

The above-captioned matter convened, pursuant to notice.

BEFORE: RICHARD M. DOWNS, JR.
Survival Factors Investigator

APPEARANCES:

RICHARD DOWNS, JR., Survival Factors Investigator
Chairman, Survival Factors Technical Working Group
National Transportation Safety Board

RUBEN PAYAN, Railroad Accident Investigator
National Transportation Safety Board

KIMBERLY BURTCH, Senior Program Analyst
Office of Transit Safety and Oversight
Federal Transit Administration (FTA)

DENTON ROURKE, Operations Manager
Office of Emergency Management
WMATA

DERRON HAWKINS, Deputy Fire Chief
D.C. Fire and EMS
Homeland Security & Special Operations Division

I N D E X

<u>ITEM</u>	<u>PAGE</u>
Interview of Rafael Sa'adah:	
By Mr. Downs	6
By Mr. Rourke	26
By Ms. Burtch	28
By Mr. Hawkins	30
By Mr. Downs	34
By Mr. Rourke	42
By Ms. Burtch	45
By Mr. Downs	48

I N T E R V I E W

1
2 MR. DOWNS: Today's date is February 2, 2015, and the
3 following is an interview being conducted in reference to NTSB
4 investigation number DCA-15-FR-004, which relates to an accident
5 involving a heavy smoke release and train evacuations that
6 occurred in and near the L'Enfant Plaza Station of the WMATA
7 Metrorail System in the District of Columbia on the afternoon of
8 January 12, 2015.

9 This interview is being conducted with a member of the
10 District of Columbia Fire and Emergency Medical Services
11 Department, as conducted by the NTSB Survival Factors Technical
12 Working Group of the investigation.

13 My name is Richard Downs, Jr., and I'm a Survival
14 Factors Investigator with the NTSB, and which I also serve in the
15 role as the Survival Factors Technical Working Group Chairperson.

16 I will preside over this interview which is being
17 recorded for the record, and which a transcript may also be
18 compiled of the recording as a permanent docketed record of the
19 interview.

20 Additionally, I'd like to mention that the purpose of
21 the investigation is to increase safety and not to assign fault,
22 blame or liability, and that the NTSB cannot offer any guarantee
23 of confidentiality or immunity from legal or certificate actions.

24 Further, pursuant to the criteria under 49 C.F.R. 831.7,
25 the interviewee may have one representative of the interviewee's

1 choice accompany him or her at this interview, in which the
2 representative may not testify for the interviewee. It's also
3 requested that comments of the interviewee's representative should
4 be limited and objections expressed by the interviewee's
5 representative are not grounds for the NTSB to refrain from asking
6 questions.

7 I'll now ask that our interviewee, the witness, please
8 identify themselves, their employment affiliation and job position
9 title for the record.

10 MR. SA'ADAH: My name is Rafael Sa'adah. I'm an
11 employee of the District of Columbia Fire and Emergency Medical
12 Services Department. My rank is Battalion Fire Chief. I am
13 currently assigned to the training division; however, I am
14 detailed to the Office of the Medical Director at fire department
15 headquarters.

16 MR. DOWNS: Very good. Thank you, sir. And today are
17 you accompanied by any representative?

18 MR. SA'ADAH: I am not.

19 MR. DOWNS: Thank you. At this point, I'd like to
20 request that the participants of the interview who will also have
21 an opportunity to present questions to the witness, to please
22 individually identify themselves, their employment affiliation and
23 job position title for the record.

24 MR. ROURKE: Good morning, Chief. My name is Denton
25 Rourke. I work for WMATA. I am the Operations Manager in the

1 Office of Emergency Management.

2 MR. PAYAN: My name is Ruben Payan, P-a-y-a-n, and I'm
3 with the NTSB out of D.C. here.

4 MS. BURTCH: I'm Kimberly Burtch of the Federal Transit
5 -- it's B-u-r-t-c-h -- of the Federal Transit Administration, and
6 I'm in their Office of Transit Safety and Oversight.

7 MR. HAWKINS: Good morning. I'm Derron Hawkins, Deputy
8 Fire Chief, D.C. Fire and EMS, Homeland Security Division.

9 MR. DOWNS: Thank you.

10 INTERVIEW OF RAFAEL SA'ADAH

11 BY MR. DOWNS:

12 Q. And as my first question for the witness, would you
13 please briefly describe for us your role or involvement in this
14 event?

15 A. Certainly. My involvement in this event was to assist
16 the medical director of the D.C. Fire and EMS Department, who
17 holds the rank of assistant fire chief, with the strategic
18 management of the medical desk at the Fire Operations Center,
19 which is where we are actually sitting now. So when there is a
20 major event or an emergency mobilization of the department, the
21 Fire Operations Center is normally stood up as it was in this
22 instance.

23 Q. Activated?

24 A. Yes. And the -- I am the -- in this case, I happened to
25 be the first person in the Fire Operations Center, anticipating

1 that it would be activated, and was already beginning to implement
2 strategic actions, which I'll discuss in greater detail as we get
3 further into the interview, when the second official walked in,
4 who was Assistant Fire Chief Dave Foust, and formally activated
5 the Fire Operations Center.

6 And I stood up the medical desk in advance of the
7 arrival of the medical director, notified him of the evolving
8 event and then worked with him staffing the medical desk past the
9 termination of the incident. In fact, I stayed here a bit after
10 everybody working on some patient tracking issues which I'll also
11 discuss in greater detail as we get further into the interview.

12 So our focus up here is not so much the tactical
13 management of the incident itself, but the impact of the incident
14 on the rest of the city, serving as a point of contact for
15 communications with the broader medical system, the hospital and
16 so on, and then thinking about the needs of the rest of the city
17 because obviously it's not like normal demand stops just because
18 there's a major mass casualty event going on. And in this case,
19 it was a very busy day in the city completely independent of this
20 event. We had to make sure that adequate resources existed just
21 to meet normal demands. So that's what we did.

22 Q. Very good. Thank you, Chief. And could you please
23 describe for us, in your own words and to your best recollection,
24 what occurred on the day of the event relative to your specific
25 actions and involvement at the L'Enfant Plaza Station, commencing

1 at the time that you were alerted to respond to the site?

2 A. Sure. And I'll try to just hit the highlights and then
3 if you want me to drill down in further detail. I like to talk,
4 so --

5 Q. Quite all right. And let me correct myself. You
6 actually didn't respond to the site, correct?

7 A. I did not respond to the site, yeah. I --

8 Q. You were actually here at the operations center?

9 A. I was here at the operations center.

10 Q. Very good. Go ahead, Chief.

11 A. In my current position, I don't have operational
12 response responsibilities unless there's a contingency and I need
13 to. So, in this case, I happened to be already at Fire
14 Operations. I was up here just working. This is just one of the
15 satellite office spaces that I use. And my recollection is that
16 we keep the radios on in here, and I usually keep my own radio on
17 as well, and I was listening to what I recall as a series of Metro
18 type incidents or smoke type incidents that were in the close
19 vicinity of here. They were actually sort of staggering down the
20 street towards L'Enfant.

21 Q. So that was kind of a background monitoring?

22 A. That was the background noise, exactly, yes.

23 Q. Nothing jumped out at you at that point?

24 A. No, something -- they were, and you just sort of get a
25 sixth sense about these things so I really can't quantify it. But

1 I'll put it to you this way. When Chief Foust walked in the door,
2 I was already on the phone with the Emergency Healthcare Coalition
3 Notification Center. So I was already pre-alerting them of an
4 evolving event, which at this point there was no information that
5 there were any casualties, but certainly there was the potential
6 for there to be casualties and I wanted them in a forward leaning
7 posture.

8 So -- no, so my recollection is that the background
9 noise was significant that I shifted focus from what I was doing
10 and put my work to the side and made the strategic decision at
11 that point to simply stand up the desk and begin making
12 notifications, anticipating that other department officials would
13 begin to arrive.

14 We were fortunate in that there's only one EMS
15 operational command position in the department right now. It's a
16 position we call EMS 8, which is an operations battalion chief who
17 is on day work, and that particular day happened to be the first
18 day that that person was back at work after having been off for
19 the past three months. The department had chosen not to backfill
20 that position. So there was no operational EMS command officer to
21 respond on incidents during that three-month gap. If he had not
22 been back that day, I might have had to make the decision to
23 respond to the scene, but as he was back that day and I knew that,
24 it made my decision a lot easier. So I said, as fun as it would
25 be to go down and get involved in this major event, where I'm

1 going to add the most value, and I have to think about what's best
2 for the agency, is to get this desk stood up and start getting the
3 hospitals geared up for what could be a mass casualty event.

4 Q. And, Chief, who was the operational EMS command officer
5 that particular day?

6 A. That was Andre Spriggs.

7 Q. Spriggs?

8 A. Yeah.

9 Q. Very good. Please proceed.

10 A. Okay. So as Chief Foust walked in, I was -- my
11 timestamp, and I -- you know, I've been doing this for a long time
12 so I usually keep a little log going because my experience with
13 mass casualty events or with major events, which I've been on
14 many, has been that's often difficult to reconstruct timelines if
15 you don't start tracking right away. So I kept a little log, and
16 I still have those time points here.

17 I made a note at 15:45 that I pre-notified Gail Jackson
18 at the coalition notification center, and I believe that was about
19 20 minutes after the original dispatch of the first fire
20 department dispatch of resources. And that would have been about
21 the time that Chief Foust came in because I was actually on the
22 phone.

23 So let me explain what the coalition is, and if you know
24 this, that's great, but we do need to get it on the record. So
25 essentially the Emergency Healthcare Coalition is -- it's not a

1 governmental organization, at best quasi-governmental. It's a
2 hybrid that they do get some grant funding from the government,
3 but they are staffed and the infrastructure exists within the
4 hospitals itself. And what it is, it's a group that takes the
5 emergency preparedness managers and the ED directors of all the
6 hospitals in the District and focuses them on management of
7 emergency incidents, both whether they're incidents at the
8 hospitals themselves or how a major citywide incident would impact
9 the hospitals.

10 One of the functions that they perform is they have a
11 coalition notification center which rotates among three sites,
12 which serves as a single point of contact for pushing out
13 information to the hospitals and requests from us for bed status,
14 so that we don't have people calling all over the place or having
15 to call individual hospitals.

16 So I determined that the location of the notification
17 center for this particular rotation was at Providence Hospital,
18 and then I identified the desk operator who was Gail Jackson. I
19 called her, identified myself and I said, I have no information on
20 casualties yet, we don't even know what this incident is, but I
21 want you at your desk. I want you alert. There's a possibility
22 we're going to have to start getting bed statuses and push out
23 notifications, and I'm pre-alerting you.

24 And I made a parallel phone call to the duty officer for
25 the coalition, Ali Abdul-Barr, and actually caught him on his cell

1 phone while he was driving home. Because it's a volunteer
2 position, the duty officer position rotates and there's always a
3 volunteer from one of the hospitals. He said thanks for the heads
4 up, I'm going to be at my house shortly and I'll start, you know,
5 I'll start getting my computer geared up and so on and so forth.

6 So I got them stood up, and I'll just hit some of the
7 other significant time points. At 1615, based on what I was
8 hearing over the radio, I had not heard anybody voice a concern
9 that this was a potential terrorist event, but I was seeing enough
10 red flags that I had significant concern based on the color of the
11 smoke and, you know, the casualties and so on. So I wanted to
12 make sure that the FBI was aware of the evolving event, and with
13 events like this, redundant overlapping notifications are a good
14 thing because one of the operational commanders may be too hands
15 on with the incident to actually think, let me make sure that the
16 special agents are aware. So I've got Adan Garcia on speed dial.
17 He's our terrorist liaison with the FBI. I called him.

18 Q. Your normal contact?

19 A. My normal contact. I call him anytime I'm involved in
20 an event that I want to make sure he's aware of or that we might
21 need their assistance. And Chief Hawkins would make the same type
22 of notification; other chiefs would also, and sometimes we all may
23 make overlapping notifications. But in this case, I think I was
24 the second person to reach him. He had -- my recollection from
25 talking to him, he had either just jumped in his car or he was

1 getting ready to start heading down. So that was at 1615.

2 Q. Heading to the site.

3 A. Yeah. Yeah. So that was 1615.

4 At 1618, at this point, I've booted up multiple
5 dashboards on the computers here. So I'm booting up what we call
6 our situational awareness dashboard. What that lets me see is in
7 real time how many transport units do we have at each hospital,
8 what length of time have they been there.

9 Q. Transport units meaning ambulances?

10 A. Ambulances, that's correct.

11 Q. Okay.

12 A. Okay. And then how many do we have left available to
13 respond either to this incident or to any incident.

14 We were working on booting up the CAD system. There's a
15 new interface for that, and they were experiencing some technical
16 difficulties, but we eventually got everybody logged into the
17 iNet, what's called the iNet Viewer, so we could look at the
18 citywide activity. And so I'm pulling up all these different
19 dashboards.

20 And at 1618, I have a note that I wrote where I've let
21 the ELOs -- the ELOs is our EMS liaison officers. That's
22 essentially a paramedic supervisor that sits in our Office of --
23 at the Office of Unified Communications, and their job is the
24 citywide management of the EMS resources from the phase of
25 transporting from the scene to the hospital to getting them

1 returned into service. So they're essentially managing the
2 interface with the hospitals. And what I told the ELOs was we
3 have an evolving event, we have very few transport units
4 available, you need to take all these units that are at the
5 hospitals right now and return them to service as quickly as
6 possible.

7 So essentially when we're doing that, we're -- the main
8 thing we're concerned of has transfer of care been completed?
9 Have we actually transferred care of the patient? And have they
10 decon'ed and re-supplied the units? And we may have to cut some
11 other things short. So if they're still working on their
12 documentation, we're in a contingency situation now, let's get
13 these units turned around.

14 Q. Let me --

15 A. Yeah.

16 Q. -- intercede here for a moment, Chief. Was it a
17 particularly busy day up to the point of the event with other
18 unrelated medical responses occurring?

19 A. Yes.

20 Q. So that would explain why all these ambulance units
21 would be at various hospitals.

22 A. Yes. This time of day would normally be -- it's peak
23 time and it would, even under normal operations, and my
24 recollection is it was a particularly busy day independent of
25 anything else that was going on.

1 Q. Would you let me interject here as a thought. Would you
2 say that you were short of ambulance units on that day or just --
3 had just enough or what would you characterize availability?

4 A. I couldn't respond to the question framed as it is
5 because it's too subjective.

6 Q. Okay.

7 A. What I can say is that under normal demand surge, which
8 we experience all the time so it's about the rate of rise, if you
9 will, as a term that some of you may be familiar with from the
10 fire propagation curve, so -- but under rate of rise, if we start
11 having, you know, 10 or 20 incidents within a 1-hour period -- we
12 have 39 transport units, but you look at your cycle time for a
13 medical call can be up to 2 hours from, you know, getting to the
14 scene, performing care, transporting to the hospital, transferring
15 care, you could very easily exhaust 39 transport units just based
16 on rate of rise during normal surges and during peak demand.

17 So peak demand for us could be, say, 10 a.m. to 10 p.m.,
18 and it's very common for us to have no available transport units
19 or a margin of 1 to 2 or 3 during this time period, and it's very
20 volatile. So we could have no transport units for 5 minutes and
21 then all of a sudden six available. So the number is very
22 dynamic, which is one of the reasons we created the dashboard, and
23 the deputy fire chief of operations is responsible for those
24 operational assets at the citywide level and is constantly
25 monitoring that. So it would be very common that we would not

1 have as much surge capacity as would potentially be desired during
2 this time of day independent of a mass casualty incident.

3 Q. Could you -- would you say though that having extra
4 surge capacity would be a good thing, if the city had that
5 availability?

6 A. I think that the -- I can only speak for myself because
7 I'm not --

8 Q. Given your experience and your position.

9 A. Yeah. Yes, of course. Of course.

10 Q. Okay. Very good.

11 A. And I believe that the agency has argued the same.

12 Q. And is there a funding issue right now with availability
13 of units --

14 A. I think that --

15 Q. -- would you say or is that a bigger city question?

16 A. Yeah. I think in my current rank and position, that
17 that question is more appropriately addressed to the people who
18 are strategic decision makers.

19 Q. Very good. Okay. Thank you. We have testimony from
20 other witnesses to the effect that there were two medical buses
21 that responded to the event site.

22 A. Um-hum.

23 Q. Is that part of your ambulance roster, equipment roster?

24 A. Yeah. So the vehicles in question are a part of our
25 mass casualty taskforce. So as I think you probably know by now

1 if you've done enough interviews, we have two mass casualty
2 taskforces specific to the District and, of course, then there's
3 additional capacity which exists in the surrounding jurisdictions
4 which is similar.

5 Q. Mutual aid, mutual aid response?

6 A. We'll get to mutual aid in a second, but I'm actually
7 speaking specifically about the medical ambulance bus. So the
8 surrounding jurisdictions also have similar set-ups for their
9 medical ambulance buses and mass casualty support units. We have
10 a standardized inventory so that one jurisdiction's medical
11 ambulance bus is much the same as another jurisdiction's.

12 Q. And you know pretty much what the other jurisdictions
13 would have in terms of resources, and you can call at a moment's
14 notice and get them to support?

15 A. That's definitely an option when one's dealing with a
16 major incident. So -- and on this day in question, the North Mass
17 Casualty Taskforce has two buses and South Mass Casualty Taskforce
18 normally has one bus. It's my understanding that on the day in
19 question, the South Mass Casualty Taskforce's bus itself was out
20 of service for mechanical reasons but the support unit was
21 available, and then, of course, the two buses from the North group
22 and their support unit were available. It's my understanding that
23 they responded. Keep in mind once again, I was not involved in
24 requesting those resources or the actual tactical management of
25 those resources.

1 Q. So to your understanding, all three of the buses
2 responded?

3 A. No, my understanding is that the South Mass Casualty bus
4 was not available to respond.

5 Q. Okay. So there were two buses available?

6 A. Two buses.

7 Q. Okay.

8 A. Okay.

9 Q. As well as how many -- roughly how many ambulances
10 available to respond or whatever?

11 A. I would have to -- I don't have that information in
12 front of me. The total number of transport --

13 Q. That would be documented someplace else; we could find
14 that?

15 A. That would be very easy to reconstruct --

16 Q. Very good. Okay, let's continue.

17 A. -- from multiple data sources.

18 Okay. So at 1618, I'm on the phone with the ELO making
19 sure that we're pushing the ambulances out of the hospital,
20 pointing out hospitals where we have in particular five units at a
21 hospital, just working with them. And at 1619, I made sure that
22 the medical director was aware of the incident. My recollection
23 is that I reached him at fire department headquarters at the Reef
24 Center. He said I'll be there in 15 minutes, and he was. He got
25 right down here.

1 1627, I gave an update to the coalition notification
2 center. 1633, the coalition notification center was formally
3 requesting the bed status update, which is where the hospitals
4 actually go into a dashboard that they share and begin updating a
5 matrix with their bed availability. Now, that information's not
6 required in terms of us deciding where we take patients. It's
7 just value added. It's just additional information.

8 At 1715, we called -- we're looking now at what
9 additional resources can be activated to both create surge
10 capacity demand for this event as well as just what was going on
11 in the city. At this end of the Fire Ops Center and for the
12 purposes of recording, I'm pointing to the south end of the Fire
13 Ops Center. They were notified -- they were requesting mutual aid
14 resources through the Office of Unified Communications, which
15 would be normal procedure. It's my understanding that we did get
16 transport resources from other jurisdictions, PG and Fairfax, I
17 believe, but I don't have the specific units.

18 Q. We could always recover that --

19 A. Yeah.

20 Q. -- from the documentation later on.

21 A. That was happening down at the -- yeah.

22 Q. Okay, go ahead.

23 A. What I did was I called -- George Washington University
24 has their own student-run ambulance service. It's called EMERG,
25 E-M-e-R-G, and they have two transport units. And I called their

1 coordinator and said we're going to activate your units for
2 citywide use, and they said that's great, we're ready to go.
3 Called OUC to make sure that they were loaded in the CAD system
4 and could be deployed anywhere that they were needed.

5 At 2021, we forwarded the final patient distribution
6 based on the information available at that time by unit and
7 hospital to the coalition, and this is just a count of -- a
8 headcount of how many patients we believe we took to each hospital
9 by which conveyance.

10 Q. It's a running tally count you would keep?

11 A. Yeah, yeah. And then we sent the -- that was pushed out
12 to the coalition through their notification system. It's called
13 DCHIS. And then at 21:52, I have a note that I pushed out the
14 patient transport log with EPCR reconciliation verified for the
15 transport unit transport. So let me translate that into plain
16 speak.

17 One of the biggest concerns with an incident of this
18 type is having as accurate a count as possible of who were the
19 patients we touched, where did they go, how did they get there and
20 do we have good medical documentation for the care that was
21 provided to them. So I just -- this is just something that's of
22 particular concern to me having been involved in so many major
23 incidents, and we know there's going to be many, many requests for
24 that information -- lawsuits, NTSB.

25 Q. Later on.

1 A. Yeah, whatever, whatever. So if you don't get ahead of
2 that on the front end, you're going to be chasing that information
3 for a long time. So I was particularly concerned to make sure
4 that we had an electronic patient care report for every single
5 individual that went by transport unit.

6 Q. Who would connect -- who would collect that data? Would
7 that be collected in the field by the -- by the medical command in
8 the field?

9 A. Well, this is the advantage of having electronic patient
10 care reporting system, is that actually the information goes
11 electronically directly from the tablet that are used to input the
12 information to a server. And so I'm going into the backend, into
13 the Enterprise System, the server, and actually looking at the
14 information in real time. So I'm looking at -- essentially what
15 I'm doing is I'm cross-referencing these are the units that
16 operations is reporting to Fire Ops who are involved in
17 transports. Then I'm taking those unit numbers, I'm going into
18 our server -- the system's called SafetyPAD -- and I'm looking to
19 make sure that I see an EPCR. If they say ambulance 9 had three
20 patients, I want to see three EPCRs for ambulance 9 and so forth.

21 Okay. So at 2152, I verified that an EPCR was in, and
22 then, you know, there's a lot of back and forth with that. You
23 have to make sure that the tablet's connected to the server, that
24 it was successfully transmitted, that it's not hung up, and so on
25 and so forth. So that was done and we had at that point an EPCR

1 for every patient.

2 Now the second piece, which you had started to ask,
3 which was, well, then what about the folks on the buses? So the
4 folks on the buses are under a different system. Okay. Sometimes
5 you'll have the luxury if they're being few enough patients that
6 you can actually put them in to SafetyPAD, but more commonly, and
7 this would be the case here, you're executing disaster tags which
8 are also known as triage tags. And in that case then what's done
9 is the EMS command officers that were involved in the tactical
10 management of the incident will go and collect all that
11 information, will pull it together, and then we'll create a
12 transport log manually and also input the information into
13 SafetyPAD based on what the tag says. But that's done after the
14 incident.

15 So at that point I also made sure that Spriggs, who's
16 involved in the actual hands-on tactical management of the
17 incident, had sent -- was either personally or through the
18 supervisors, making sure that those physical tags and any other
19 documentation specific to transports was being collected so we
20 could then collate all the information. And then since then, I've
21 taken those logs, made sure that our records management clerk has
22 entered the information into SafetyPAD, and then I have a
23 spreadsheet which contains those data sources as well as data that
24 we got from the hospitals, and is what I would call the closest
25 thing we have to a master transport log, and is designed --

1 there's actually patients on that that may not have even been
2 transported by us, but it's designed to be the largest picture
3 possible of patients that we either know we touched or we think we
4 might have touched.

5 Q. Very good. And top of your head, were you successful in
6 terms of getting all the data boxes in your spreadsheet correctly
7 filled?

8 A. I'm confident that we have a line for every person. We
9 still have a handful of John Does, and it's not a large number and
10 I can actually -- I can go through. It's a living document.

11 Q. Right.

12 A. So when we have John Does -- so an example, there's very
13 few hospitals where I have John Does left, but I'll use Howard
14 University Hospital as an example. So for Howard at this point in
15 time -- I'll just pull up their sheet -- I see -- no, you know
16 what? I've got a name for everybody at Howard. I don't have
17 dates of birth for everybody.

18 Q. Okay. So that's not critical information at this point.

19 A. I like to be as precise as possible.

20 Q. But you don't need it on that particular evening, the --
21 when you're finishing up that particular evening --

22 A. No, the longer you wait to get the information, the
23 harder it is to get.

24 Q. Very good.

25 A. So I was -- I -- even after the incident had terminated,

1 I was working from home at 2:00 in the morning, interfacing with
2 the hospitals just trying to make sure that they were putting
3 their own logs together, that we were setting up mechanisms to
4 exchange the information and --

5 Q. Finalizing as much data --

6 A. Yeah.

7 Q. -- as you could get.

8 A. So it was actually the Washington Hospital Center, which
9 was the Metro bus. We had a Metro bus that made two stops, and it
10 stopped at Howard and then it made a second stop at Washington
11 Hospital Center. The patients, my understanding, were taken in
12 through the -- there's two different number designators for the
13 Washington Hospital Center Complex. So there's MedStar, the
14 trauma center, which we call Hospital 4, and there's Washington
15 Hospital Center DED, which we call Hospital 13, but it's
16 essentially the same building. They went in through the Hospital
17 4 entrance -- my understanding is that the hospital center triage
18 in there, but they were actually treated at Washington Hospital
19 Center Hospital 13.

20 Q. I see.

21 A. And I have 1, 2, 3, 4, 5, 6 John Does that I don't have
22 names for that got off that Metro bus and, for whatever reason, we
23 were not able to reconstruct or capture their names. Also my
24 understanding anecdotally from -- secondhand from a supervisor
25 talking to Spriggs who then reported the information to me, that

1 at least one or two patients that were taken to that ramp may have
2 actually left and just walked away on the ramp without ever even
3 making it into the hospital.

4 Q. We've seen this before where you have people that have
5 been transported and then when it actually gets time to treat
6 them, they have second thoughts, they're not really injured, and
7 they --

8 A. Yes.

9 Q. -- and they tend to walk off, and there's no way to
10 account for them because they just basically disappear. Would
11 that be an accurate characterization?

12 A. I can't say what was going through their heads, but
13 clearly in this case there appeared to be a couple folks that just
14 weren't interested in going through the process.

15 Q. And you've had this kind of occurrence before in major
16 events where you might lose somebody like that where you can't
17 control them if they want to walk off?

18 A. You certainly can't control somebody from walking off.

19 Q. Very good. Okay.

20 A. And then I also heard anecdotally that some of the
21 patients that we transported were reluctant to surrender their
22 disaster tags, and it was reported anecdotally to me that they
23 wanted to make sure that they had some receipt, if you will,
24 proving that they had actually been involved in the event, and we
25 can understand the psychology behind that. So these are the

1 challenges that we faced in terms of trying to reconstruct good
2 patient logs, but I think we have as comprehensive of a log as
3 possible, and it's a living document and we -- if we get
4 additional information, we update it as we go.

5 Q. Very good, Chief. Is there anything further you'd want
6 to add in terms of the steps of your process you were going
7 through there? Are you pretty much concluded as to that was your
8 activities for the day?

9 A. I think that's the highlights, and then if you have
10 specific questions, I'm happy to answer them.

11 Q. Very good, Chief. Thanks so much.

12 MR. DOWNS: I'm going to turn it over to our next
13 questioner.

14 BY MR. ROURKE:

15 Q. Chief, Denton Rourke from Metro. I just want to ask you
16 some basic questions about Metro training. What Metro training
17 have you participated in, either with Metro or at the firehouse
18 battalion level, whatever?

19 A. I went -- when I went through recruit school, which was
20 24 years ago, we went through Metro, the standard Metro
21 orientation, and that included, you know, walking through cars and
22 understanding the system, and that curriculum was also a part of
23 our recruit training curriculum. Since then, I've -- you know,
24 with a 24-year career, it's probably going to be difficult for me
25 to reconstruct every Metro drill I've ever participated in.

1 Q. Um-hum.

2 A. I've certainly participated in many, and there have been
3 cycles where the department was formally taking all operational
4 members of the department back out to one of the train yards, and
5 the site would vary depending on where the Metro liaison was and
6 who the Metro liaison was, and doing hands-on drills. So I'm sure
7 I've done at least four or five of those over the course of my
8 career. And then, of course, I've been -- I've been a battalion
9 chief since 2005.

10 Q. Okay.

11 A. So I'm not managing on the company level. So I would
12 probably be less likely to be going out and doing hands-on Metro
13 station inspections.

14 But certainly when I was a company officer, I would take
15 my personnel down independent of any scheduled training and make
16 sure that we were regularly visiting the Metro stations in our
17 response area. Sometimes that was formally mandated by the
18 department and sometimes it was just part of our normal
19 informational inspections that we would do. Particularly if you
20 had a newer member, you wanted to make sure they understood where
21 the ancillary rooms were, where the E-tech cart was, what a blue
22 light station is and so on and so forth.

23 Q. Okay. Thank you. Have you ever participated in a full-
24 scale drill with Metro? It could be something that happened in
25 the overnight hours or early on a weekend morning.

1 A. I know that there have been some and, you know, once
2 again, over 24 years, it's a -- things start to blur together --

3 Q. Sure.

4 A. -- just to be frank with you. So I have some
5 recollection of some large-scale drills. I can't, to be honest
6 with you, remember what my role in those drills was. A lot of the
7 work that I've done is strategic and administrative in nature so I
8 would have been less likely than some chiefs at various points in
9 time to actually be deployed. It was probably more focused
10 towards the chiefs that were actually assigned to the operations
11 division at the time. But I've certainly done a lot of large-
12 scale drills for mass casualty incidents.

13 Q. Okay.

14 A. And one of our primary scenarios for any mass casualty
15 incident, of course, is something involving Metro.

16 MR. ROURKE: That's all I've got right now. Thank you.

17 MR. DOWNS: Very good. Ms. Burtch.

18 MS. BURTCH: Yes. Kim Burtch.

19 BY MS. BURTCH:

20 Q. Were you in contact with Chief Spriggs during this
21 activation period?

22 A. I did not have any -- to the best of my recollection, I
23 didn't have any operational contact with him during the early
24 phases of the management of the incident. But he came -- and I do
25 believe he was communicating with the other end of the room. The

1 other end of the room here was much more involved in monitoring
2 the tactical channels and getting information from the scene and
3 communicating with incident commanders.

4 He was not -- my understanding, and I don't have full
5 information so I'm just going on the information available to me,
6 is that he was transport coordinator. So he could have been
7 plugged in, in many places in this incident. As it turned out, my
8 understanding is that he was ultimately plugged into the transport
9 group as the transport coordinator working under a medical branch
10 director, which I believe was a shared responsibility with
11 Chief Dean and Chief -- Battalion Chief Dean and Battalion Chief
12 Sollers, who were then in turn were reporting to the incident
13 commander.

14 But I don't -- like I said, I myself have not had the
15 opportunity to listen to the audio files or do a detailed tactical
16 analysis of this incident. I hope to at some point because you
17 have to use these incidents as learning experiences. They're
18 incredible learning tools, and there's not been a single mass
19 casualty -- and I've responded to pretty much every mass casualty
20 incident that this agency has had, you know, over the past decade,
21 and no matter how well they go, there's always something that you
22 can take and learn from and you must use these as learning
23 experiences. So my hope is that we'll do that detailed drill-down
24 in the hotwash and the after action and so on and so forth, but at
25 this phase, we're still in the phase where we are.

1 I'm sorry, just circling back around to your question, I
2 don't recall communicating directly with him early in the
3 incident, but he actually came up to Fire Ops once the operational
4 component was concluded, and we had extensive communications since
5 then including the night of the incident.

6 Q. Thank you.

7 A. Yeah.

8 MR. DOWNS: Chief, questions?

9 MR. HAWKINS: Ron Hawkins, D.C. Fire and EMS.

10 BY MR. HAWKINS:

11 Q. Chief Sa'adah, I have a question regarding Metro
12 training, and more or less about, I guess, about the agency in
13 terms of responding to Metro incidents. We do in-service
14 training. There's inspections that takes place. Occasionally we
15 participate in full-scale exercises. What do you -- how do you
16 feel about the agency's ability to respond to Metro incidents?

17 A. I think due to the uniqueness of this particular target
18 hazard, no amount of training would be too much. So unfortunate
19 operationally, in that as a chief officer I've responded to lots
20 of mass casualty incidents, I feel comfortable, very comfortable
21 in the management of such, and that's experience and training
22 together. Okay. You can train all you want, but experience comes
23 into play as well.

24 Operationally I've also been assigned to the 6th
25 Battalion, which is the area that covers downtown D.C., and that's

1 a chief that responds to lots and lots of Metro incidents. So I
2 feel comfortable on my own command understanding, but where the
3 rubber hits the road is at the tactical level. It's people that
4 are actually going down into tunnels and can they operate safely
5 and can they deal with communications contingencies, because there
6 will always be challenges to communications no matter how
7 perfectly the system is working.

8 So I think more training would be better, and then
9 there's training for mass casualty incidents which is a more
10 global issue than just Metro. And I think while we do much
11 training for mass casualty incidents, and I think we probably do
12 as much as anybody in the region, and I don't know if anybody else
13 has mentioned it, but the actual -- the Mass Casualty Taskforces
14 themselves drill on a weekly basis is my understanding with actual
15 hands on of their -- of the support unit and the equipment and so
16 on and so forth. I think that more would be better there as well,
17 even though I think we probably do as much as anybody in the
18 region. So that's a broader issue than just Metro training, which
19 is we always need to be prepared for a mass casualty incident.

20 And then one of the most challenging things is the mass
21 casualty incident that's presenting at multiple locations.
22 Because, you know, the paradigm for a mass casualty is you assume
23 your patients are coming in this narrow funnel and then you're
24 triaging them and you can set up a neat casualty collection point.
25 Reality is not like that, and we see this -- we saw this with --

1 well, we see this with almost any incident.

2 In an active shooter incident, which is another scenario
3 I think that many of us are very concerned about, you're not
4 necessarily going to have neat distribution of patients. You have
5 multiple sites. You will always have patients self-evacuating, as
6 we saw in a small scale with this incident. I've been involved in
7 Metro responses where there was mass self-evacuation, one down by
8 the Anacostia Metro that I remember particularly as battalion
9 chief, and this was just in the past few years, where we had
10 people literally popping up in the bushes and, you know, self-
11 evacuating. And we actually had to send up a helicopter because
12 we were concerned that there might still be people wandering
13 around the park that were unaccounted for that had self-evacuated
14 from this tunnel. So these aren't easy to control.

15 And unfortunately in the wake of this incident, I think
16 the riding public, which includes myself -- I use Metro to commute
17 to work -- is going to be even less likely to trust us, the
18 government and/or Metro, and I don't know that they necessarily
19 see those two entities as being separate entities, authority, if
20 you will, as seeing the instructions given by authority as
21 reliable.

22 So I think unfortunately one of the challenges for us,
23 as Metro and the city working together, is people are going to be
24 less likely to trust the emergency instructions that are given. I
25 think we're going to see a propensity for more self-evacuation,

1 which is going to make the job of first responders and Metro that
2 much harder because we're going to have people wandering through
3 tunnels potentially and that's going to make management of the
4 incidents really difficult. So we've got an uphill task.

5 So, yes, more -- that's a long-winded answer to your
6 question. So more training would be better, yes.

7 Q. Next follow-up question. You stated that you had a lot
8 of experience as 6th Battalion chief running Metro incidents. So
9 regarding -- and you also mentioned that you have this mindset
10 that we will always have problems with Metro, it will never be
11 perfect. So what do we have as an agency to help with
12 communications when we have problems in Metro system? Are there
13 like relay systems to be set up? What do we have in place when we
14 experience problems inside a Metro station as it relates to
15 communications?

16 A. Well, we saw some of the contingency mechanisms used on
17 this incident, which is reverting to cell phones and using
18 runners. Okay. And the -- I think what is a big operational
19 challenge for us is no longer having -- nothing you can do about
20 that. What's a big operational challenge is no longer having the
21 Metro operations center 50 feet from this building where you could
22 walk across and have your liaison right there. So I think the
23 most critical thing we could do is perhaps consider having that
24 operations liaison position -- not necessarily staffed just by our
25 agency, but I'll throw out an idea.

1 All of the COG jurisdictions could have a rotating duty
2 officer with a full de-encrypted radio console on duty at all
3 times at Metro's OCC that would be immediately plugged into our
4 command structure. So we wouldn't need to dispatch somebody to
5 Pennsy Drive; they would already be there and they would just
6 answer up on the radio and be immediately involved in the
7 management of the incident. Because Metro has the best handle on
8 what's going on -- they've got the cameras; they've got the direct
9 information -- and getting that information to the incident
10 commander as quickly as possible.

11 I've been on the phone with Metro OCC trying to liaise
12 and it's a nightmare. It's an absolute nightmare. It's very
13 inefficient. And it would certainly be helpful if that person was
14 pre-deployed and already in place.

15 MR. DOWNS: Anything further, Chief?

16 MR. HAWKINS: No, no further questions.

17 MR. DOWNS: Very good.

18 BY MR. DOWNS:

19 Q. Some follow-up questions that I have, Chief. Your
20 personal work history, you mentioned you were with the fire
21 department 24 years.

22 A. Yes.

23 Q. Can you give us the bullets, highlights of that?

24 A. Sure. I came up through the ranks as a firefighter, but
25 -- not unique, but almost unique in that I've also been a

1 certified paramedic the entire time. So I'm the first firefighter
2 with a paramedic credential to actually go all the way through the
3 fire officer promotional ranks up into the chief officer ranks.

4 And so as a consequence of that, although I consider
5 myself, you know, an all hazards employee and I've a lot of
6 experience with managing fires and hazmat incidents and technical
7 rescue and so on, by virtue of that specialization, I've often
8 been in a role where I've either been an operational EMS chief or
9 dealing with the strategic management of EMS. And that included 4
10 years as the assistant fire chief of Emergency Medical Services in
11 the Fenty administration under Chief Rubin. But that position was
12 eliminated by the Gray administration 4 years ago, so I reverted
13 to my previous career service position of battalion fire chief
14 because there was no more assistant fire chief for EMS. But as
15 the assistant fire chief for EMS, I was responsible for overseeing
16 the implementation of the recommendations of the Mayor's taskforce
17 on EMS and the EMS reform effort.

18 So -- and other than that, as I said, particularly
19 during those during 4 years that I was an assistant fire chief, I
20 was integrated into the emergency mobilization plan and responded
21 normally to the scene for every single second alarm, complex
22 incident, mass casualty incident and so on. So I've been to most
23 of them for a pretty long period of time. I was also the medical
24 branch director for the first Obama inauguration, which was the
25 largest planned special event in U.S. history, and I've served in

1 that role for many, many, many large special events including the
2 inaugurations and 4th of July and so on and so forth.

3 Q. Very good. Thank you, Chief. And I see you brought
4 with you some notes of the event. Would they be available to be
5 shared with your command in terms of putting together some of the
6 notes of our response to the event?

7 A. Yeah, I was not invited to the original -- the first
8 after-action review, but since then there have been at least two
9 after-action review sessions that I have participated in and I've,
10 of course, provided this information in the context of informing
11 the after-action effort. And, of course, the patient log which
12 contains protected health information is absolutely a document
13 that I anticipate the review board will want to look at. We just
14 have to go through the proper protocols because of the PHI.

15 So this is, as I said, is a living document and I make
16 sure that the version of record is on file with our information
17 and privacy officer, Ms. [REDACTED] (ph.). Anytime I update it,
18 I send her an updated copy. So I've already advised Chief Hawkins
19 of the protocol for this. All you guys need to do is just format
20 the request, explain why you need it, and she'll get that to you.

21 Q. Yep. And we certainly will respect the confidentiality
22 of the personally identifiable information. I'm talking about the
23 other notes --

24 A. Yeah.

25 Q. -- that you had compiled might be helpful in terms of

1 establishing our timeline, things like that.

2 A. Yeah. And that's essentially -- I think I gave you
3 every single time point, but let me just see if there's anything
4 else here. January 14, I made a note that I transmitted the
5 patient transport log previously discussed to MTPD homicide
6 investigators upon formal request and with the approval of the
7 HIPAA privacy officer. Then on January 20th, was my first
8 opportunity to participate in an after-action review.

9 I think it's probably these -- these time points here
10 that you're requesting, I personally don't have any problem with
11 just giving you this sheet but whatever works for you.

12 Q. Well, we can work through Chief Hawkins on that.

13 A. Yeah.

14 Q. The point is that would be helpful in terms of putting
15 our integrated timeline together with WMATA --

16 A. Yeah.

17 Q. -- and with the fire department.

18 A. Yeah.

19 Q. That would be helpful. Okay, thank you.

20 A. Of course.

21 Q. Radios, we've had testimony from the fire department and
22 WMATA to the effect that radios were a challenge in this event.
23 Do you have experience firsthand on that?

24 A. Well, I have not managed -- just going from memory, I
25 work fairly frequently out in operations division. I work

1 overtime and just go out like a, quote, "regular" battalion chief.
2 You know, I'm in a -- currently in a day work position so my work
3 is administrative and strategic. But I get out there in
4 operations, so I'm fairly in touch with the ground and reality.
5 But off the top of my head, I don't think I've been on a Metro
6 response with the brand new radios yet. I find them difficult to
7 understand just on structure fire incidents, but I don't have any
8 empirical experience that I can share with you as to how well they
9 work on Metro. And as I said, in this particular incident, I
10 wasn't in a position to monitor the tactical traffic because I was
11 monitoring other data sources and trying to communicate with the
12 hospitals. This was very much a real-time communication, myself
13 and medical director, on the phone pretty much constantly between
14 the coalition, the individual hospitals and the ELO and the OUC
15 liaison, Battalion Chief Pat Smith, who you should definitely make
16 sure you interview.

17 Q. Pat Smith, you say?

18 A. Yeah, yeah. One thing that's often lost in these
19 incidents is everybody thinks about the folks that were on the
20 ground and nobody thinks about the folks in communications. Okay.
21 The communications is critically involved in both the tactical and
22 the strategic management of these incidents. So don't forget to
23 interview the fire liaison officer, the ELOs that were on duty. I
24 know Captain Rodney Carter; the OUC liaison, Battalion Chief Pat
25 Smith, because they're actually trying to connect, you know, the

1 folks on the scene with resources, help track patients, activate
2 additional resources. So, you know, the holistic understanding of
3 the incident has to include that. That's not even getting into
4 the OUC personnel that you'll probably want to interview as well.

5 Q. And these folks that you just mentioned are located
6 where?

7 A. They're physically located at the Office of Unified
8 Communications.

9 Q. Unified Communications.

10 A. Yeah, the 911, the call center and dispatch --

11 MR. DOWNS: And, Chief, you would be able to organize
12 that if we wanted to proceed with those witnesses?

13 MR. HAWKINS: Yeah, I just need to get those names.

14 MR. DOWNS: We can do that -- we can do that after the
15 interview here.

16 MR. SA'ADAH: You can go into TeleStaff to find out who
17 was on duty. But, yeah, just Pat Smith, Rodney Carter, and the --
18 we'll find out who the FLO was. You can pull that up from
19 TeleStaff as well.

20 BY MR. DOWNS:

21 Q. Very good, Chief. Next line of questioning,
22 relationship with OCC you expressed was a bit challenging, you
23 said, to the effect?

24 A. Yeah, and not challenging as in -- and we're talking
25 Metro OCC.

1 Q. Right.

2 A. I'm just speaking like -- I'll use my -- most of my
3 experience is really as the time period when I'm the 6th Battalion
4 Fire Chief, as an example.

5 Not challenging as in they don't want to be professional
6 or I don't want to be professional, but it's just -- it's
7 physically almost impossible. I'm on the phone, somebody else is
8 on the phone. I'm trying to listen to two radios and talk on the
9 cell phone at the same time, and I'm trying to communicate
10 something to them, but if I'm the first or second due chief --
11 normally it's the second due chief that establishes the liaison
12 with OUC. And so commonly on a Metro response downtown, the 6th
13 Battalion Chief might be only a block or two away, but the Special
14 Operations Battalion Chief is coming from a little bit further
15 away, is in charge of the incident. And the second due chief's
16 responsibility is to establish the liaison with OCC and, if
17 necessary, actually physically drive out to Pennsy Drive and
18 assume the liaison position. But you start by getting on the
19 phone with them. Okay?

20 So I might be sometimes -- you know, and the 6th
21 Battalion Chief, as an example, might -- there's a bunch of
22 different choices. So an argument could be made they should never
23 actually leave the firehouse; they should actually just park on
24 the ramp and get the phone going and then decide whether to drive
25 out to Pennsy Drive. Sometimes if the incident's close, I prefer

1 to actually just go to the scene because at least it gives me some
2 information about who's there and what they're doing, and the
3 Special Ops Chief just responding, but -- so if you're on the
4 phone, you're still trying to listen to at least two radio
5 channels. You've got channel 2 and then the tactical channel for
6 the incident. You're on the phone with OCC. You're trying to
7 talk to them but they you just have to keep pausing because you're
8 trying to listen to your radio to find out what's going on, and
9 then they're dealing with the same issue on their end, which is
10 they're trying to yell across whatever. I mean, I physically --

11 Q. It sounds --

12 A. -- yeah.

13 Q. It sounds like it's not a very efficient arrangement the
14 way it's set up now.

15 A. Even just the physical aspects of hearing what's going
16 on are challenging and then the physical barriers, yes, it's not
17 very efficient.

18 Q. Okay. How about, how about relationship with Transit
19 PD? No familiarity, no problems with that arrangement?

20 A. I've not had any particular issues interfacing with
21 Transit PD. I think that the other major incident that I was
22 involved with was that Anacostia response. I was not the first
23 chief, but I came in on additional responses, and I am aware that
24 there was some friction there about who turned off power when and
25 a lot of finger pointing going on, but that's a separate incident

1 and I was not involved in the after action of that.

2 Q. How about your experience relationships between incident
3 command and OCC?

4 A. Well, I just -- that's what I was talking about --

5 Q. Right. Okay, very good.

6 A. -- my experiences. So once again, no desire on either
7 end to not get the job done, but it's just the physical barriers
8 are challenging.

9 Q. And there could be improvements in --

10 A. I think there's a lot of ways they could be re-
11 engineered.

12 Q. Okay. Let me touch a bit on emergency access doors on
13 Metro cars. Is that something you would have experience with or
14 would you have a need to know in your role? It sounds like maybe
15 not.

16 A. No. No, not at the level that I'm functioning within
17 the agency.

18 Q. Okay, very good.

19 MR. DOWNS: That concludes my questions at the moment.
20 Let's continue on with our next line of questions.

21 MR. ROURKE: Denton Rourke from Metro. Just a couple
22 more.

23 BY MR. ROURKE:

24 Q. You mentioned that you were working here on the day of
25 L'Enfant Plaza?

1 A. Yeah.

2 Q. And you had a sense this was going to transition into
3 something more. Can you describe that for us?

4 A. I wish I could. As I said, it really is more of a sixth
5 sense than anything else. Just my intuition hearing -- as I
6 recall, I think that there were responses on two different
7 tactical channels and a lot of data points that each one
8 individually may not have been hugely significant but the
9 accretion or the accumulation of those data points was just
10 sending up -- you know, the hairs on the back of my neck were
11 standing up.

12 Q. Um-hum.

13 A. Okay. And then certainly at the point that I began
14 hearing information about patients where -- and there was a lot
15 going on obviously. So I'm literally only hearing snatches of
16 this, but I heard the word seizure and then I heard the word CPR.
17 Okay. So seizure, I have a patient with CPR in progress. We have
18 yellow smoke. We have -- you know, I'm like, okay, this could
19 easily be sarin gas again. This could be a bunch of things, but
20 there's so many red flags here. I mean, that's the point that I'm
21 like let me make sure that Adan's, you know, aware of this
22 incident, that the FBI is responding. And, of course, my hope is
23 that the tactical managers of the incident are proceeding with a
24 high index of suspicion that this could potentially be terrorists.
25 Fortunately they were able to rule out a nexus to terrorism very

1 early in this incident, but that would have been yet another
2 challenge to the actual management.

3 Q. How about when you listened to the radio, do you -- when
4 did you become aware there was a train stuck in the tunnel?

5 A. I couldn't tell you. My recollection is it was a really
6 long time into this incident before any concrete information was
7 available to me. And sitting in Fire Ops, and admittedly not --
8 at that point I'm not listening to the tac channels anymore to
9 describe exactly what we had and whether there were patients. For
10 a long time, and I'm just going from memory now, the only concrete
11 information we had was that there were four patients who all got
12 transported fairly quickly by ambulance and then no other
13 information for a time period that was longer, I think, than one
14 would have liked. So it took a really long time to actually get.

15 And, in fact, to be frank, it was a lot of -- the best
16 information I got was simply from looking at the live video feed
17 which was open source, which was the news cameras which got to the
18 scene very quick, and I could actually look on the monitors up
19 here and see people with soot around their faces before I had
20 access to any of that information. Now, I'm sure the people on
21 the scene obviously knew that, but it's not necessarily filtering
22 up to me here. That gave me some data points. I could look at
23 both the number of people in the presentation to make sure that
24 once again I was communicating that to the hospitals.

25 The hospitals, likewise -- we've done some hotwashes

1 with the hospitals, the coalition has, that I participated in.
2 They were getting some of their information about the scope of the
3 incident from the patients that we had -- the first group of
4 patients that we transported, asking them and then actually
5 getting the information from them saying, yeah, I actually came
6 off of a train and there was all these other people there and so
7 on and so forth. So --

8 Q. All right. Good. Thank you.

9 MR. ROURKE: That's all I have.

10 MR. DOWNS: Ruben, any questions?

11 MR. PAYAN: No questions.

12 MR. DOWNS: Ms. Burtch --

13 MS. BURTCH: Yes.

14 MR. DOWNS: -- any questions?

15 MS. BURTCH: Yeah, I'd like to -- Kim Burtch.

16 BY MS. BURTCH:

17 Q. So you were saying you were hearing information on the
18 tactical channels?

19 A. No, I really wasn't. I would hear snatches.

20 Q. Right.

21 A. And but I -- when Chief Foust came in, he said stand up
22 a C13, which is the channel 4, the operations center itself, and
23 monitor that until more people get here. So I only had that one
24 radio there. So I'm on C13 and I'm on the phone with the
25 hospitals, and that's about -- you can't monitor three or four

1 things at the same time because you're not going to do any of them
2 effectively. So my scope, sort of focus was with that group
3 there. I would hear snatches here and there but I wasn't actively
4 monitoring the tactical channels. We had other people coming in
5 to do that.

6 Q. Right. Now was this first or second alarm notification?
7 I mean, when -- did you hear first alarm dispatch? Did you hear
8 the second alarm? I mean, were you aware of those?

9 A. Yeah, I can't reconstruct that level of detail at this
10 point. And normally for an incident like this, I wouldn't even
11 rely on my memory. I would go back and look at an incident
12 reconstruction with timelines and the actual audio files and
13 transcripts, because memory can be unreliable. The things I have
14 confidence in are the things that I wrote down myself because I
15 can look at my own handwriting and say, okay, such and such. And
16 I actually went through my phone and looked at my timestamps on my
17 phone to cross -- yep, my times are accurate. And I try to stick
18 to what I actually know as opposed to, you know.

19 Q. So other than your sixth sense --

20 A. Yeah.

21 Q. -- what would help you to initiate your function if it
22 wasn't called out to you.

23 A. Yeah. Well, if I --

24 Q. So my point is you were not -- were you getting on-scene
25 feedback that you needed to start initiating mass casualty

1 operations?

2 A. Yeah, that's a great question. So, first of all, let's
3 just say I hadn't been in Fire Ops or I'd been in an office
4 someplace else with the radio on or off or what have you. My
5 first notification would come through the paging system of any
6 other officer in the organization. So a page might have gone out
7 saying whatever, whatever information was available. And I'm sure
8 you guys will reconstruct all the Tier 1 notifications. You
9 should actually get into what was pushed out when, and that's why
10 it's also important for you to talk to the fire liaison officer.
11 That's a sergeant who sits up at the Office of Unified
12 Communications and pushes the pages out.

13 Okay. So I probably would have been notified by a page
14 and/or potentially a phone call. The ELO or the FLO might call
15 and say, hey, you know, there's an evolving incident; I just want
16 you to be aware of it. So that would be my first information.

17 Now, the information about what was necessary to request
18 the mass casualty -- keep in mind, I was not in the ICS structure
19 for the tactical management of the information. So that would be
20 the information that the EMS branch director for the incident
21 themselves would need to know and obviously did since they stood
22 up -- they requested the mass casualty taskforce very early, yes.

23 Q. But that works along with the hospitals' notification.
24 That's what you do?

25 A. No, I'm not the only person that would make the

1 notification to the hospitals.

2 Q. Okay.

3 A. So I'm -- I was essentially the safety net, if you will.
4 The actual notification to the hospitals is technically performed
5 by the ELO and the OUC liaison at the Office of Unified
6 Communications. And coming back to what I said where it's good to
7 have overlapping and redundant checks and balances on that,
8 because they're also heavily involved in tactical management
9 potentially of the incident. So independent of whether I had ever
10 called the coalition, Chief Smith at the OUC absolutely would have
11 notified the coalition and that's his formal role, and if he's not
12 there, then the ELO knows that it's her job to do it. I just
13 happened to be doing it first --

14 Q. Um-hum.

15 A. -- and this was the advantage to being, as it just
16 turned out, that I was essentially pre-deployed in a place where,
17 anticipating this need, I could get them stood up a little bit
18 quicker and then coordinate. And I coordinated what I was doing
19 with Chief Smith so that we didn't send out conflicting
20 information.

21 Q. Thank you.

22 MS. BURTCHE: Thank you. That's all.

23 MR. DOWNS: Chief, any questions?

24 MR. HAWKINS: I have no further questions.

25 BY MR. DOWNS:

1 Q. Okay. Chief, I'd like to -- I like to give my witnesses
2 the opportunity as we kind of wind up the interview here to offer
3 what we call retrospective thoughts, meaning hindsight, knowing
4 what you know now --

5 A. Yeah.

6 Q. -- to express any comments that might be helpful to the
7 process should an event like this occur in the future that you
8 could share with the professional firefighting community. You've
9 already expressed a couple of thought up to now. For example, you
10 expressed that having better full-time representative in OCC would
11 be helpful perhaps in major events like this to get a quicker
12 handle on the scenario that's unfolding. Would that be an
13 accurate representation?

14 A. Yes.

15 Q. Very good. Anything else that you could offer off the
16 top of your head? I realize you're going to do some more after-
17 action reviews, but maybe something that jumps out at you that
18 you'd want to offer right now.

19 A. Well, I think that this incident highlights the critical
20 nature, that the EMS system is not just the Fire and EMS
21 Department. The EMS system is the D.C. Department of Health, the
22 hospitals, and it's made up of multiple components, the EMS
23 system. So the management of an incident like this is not just
24 about the fire department. It's about OUC. It's about DCDOH, and
25 it's about the hospitals.

1 And there were -- the fact that DCDOH/HEPRA, Health
2 Emergency Preparedness Response Administration, which is the state
3 oversight agency for EMS but also has operational responsibilities
4 to stand up the hospital emergency coordinating center, their own
5 vector for communicating information to and from the hospitals,
6 they also assist us with patient tracking. They have trained
7 operators of a patient tracking device that can assist on a mass
8 casualty incident like this. They were never notified or stood up
9 for this incident, and certainly there could have been some areas
10 where they added value.

11 So I think that's something that the city administrator
12 will be looking at in the District's own internal review of the
13 incident, and that notification doesn't come from us. It comes
14 from HSEMA, the Homeland Security Emergency Management Agency. So
15 that's certainly something that that needs to be looked at.

16 And then the fact that we have this robust relationship
17 with the Emergency Healthcare Coalition, but it needs to be
18 continually reinforced and strengthened, and much of the strength
19 of this relationship I think right now rests on strong individual
20 relationships between the leaders of the coalition, which is
21 largely a volunteer effort at this point. It's my understanding,
22 in fact, that they're not even getting grant funding through the
23 city this year so they'll be pursuing their own funding sources
24 just to keep that infrastructure and that network going.

25 And I've developed very strong relationships with them,

1 but this should not be dependent on me as an individual. In other
2 words, this should be plug and play. So whatever command official
3 -- and the medical director I think also added tremendous value on
4 this, and I hope you'll interview Dr. MountVarner, our medical
5 director, because he leveraged his relationships with the
6 individual hospitals to make sure that they were aware and ready
7 to begin receiving casualties. So we have these informal
8 relationships that are very strong, but -- and Chief Hawkins knows
9 that I preach this all the time -- the system should work
10 independent of which individuals happen to be duty.

11 We were fortunate this incident happened during the
12 daytime. Many of these functions that I've talked about, my
13 function, the medical director's function and the EMS 8 function,
14 so essentially all the -- we are the only three EMS, quote,
15 "command" officials in the department, just the three of us. All
16 three of those are day work positions. So what if this incident
17 happened at 1:00 in the morning? Okay. Where are we plugged into
18 both standing up Fire Ops and being notified and having the
19 ability to respond off duty? You know, I would have to take
20 Metro --

21 Q. Is there, is there --

22 A. -- to get down here, which is going to be a little
23 difficult.

24 Q. Is there a provision to call in these daytime folks for
25 an overnight event should they be needed?

1 A. Well, the agency can potentially call back anybody it
2 chooses to under its emergency mobilization plan, but the only one
3 of those three officials that's currently in the plan as it
4 currently exists, to my understanding, is the medical director.
5 We used to have far more EMS management positions but they were
6 eliminated back in 2011.

7 Q. So it would be a shortcoming not having the capability
8 to call up the other personnel that you were -- you mentioned --

9 A. Or not having them already on duty 24/7/365. We used to
10 have a lot more EMS --

11 Q. -- which may not be cost efficient, but at least having
12 the capability to bring them in. But then again, you've got the
13 time lag if they're at home to be able to bring them in and bring
14 them up to speed, so that might be an impediment to the overall
15 process.

16 A. Absolutely.

17 Q. Very good. Anything else, Chief, that you can think of
18 from the top of your head?

19 A. No, I think that an EMS command official should be on
20 duty 24/7/365. That's a critical capacity, particularly in the
21 management of a potential mass casualty incident. And I think
22 that we were fortunate in that today was -- the day of this
23 incident was the first day that a position was staffed in 3 months
24 and that it happened to occur during the day when that position
25 was staffed.

1 Q. Very good.

2 MR. DOWNS: Any further questions?

3 And with that, thank you very much, Chief. That
4 concludes our interview.

5 (Whereupon, the interview was concluded.)

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE

This is to certify that the attached proceeding before the
NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF: WMATA INCIDENT AT L'ENFANT PLAZA
STATION, WASHINGTON, D.C.
JANUARY 12, 2015
Interview of Rafael Sa'adah

DOCKET NUMBER: DCA-15-FR-004

PLACE: Washington, D.C.

DATE: February 2, 2015

was held according to the record, and that this is the original,
complete, true and accurate transcript which has been compared to
the recording accomplished at the interview.

Kathryn A. Mirfin
Transcriber

NTSB interview, February 2, 2015, Docket No.: DCA-15-FR-004, WMATA Incident at L'Enfant Plaza.

I have reviewed the transcript of my interview with Mr. Richard Downs and the NTSB investigative team conducted on February 2, 2015 at 500 F St. NW, Washington DC.

The transcript appears to be accurate with the exception of the following typographical or transcription errors which I am respectfully requesting be corrected:

Page 12, line 16: change "Adan" to Aidan"

Page 18, line 23, change "Reef" to "Reeves"

Page 27, line 21, change "E-tech" to "ETEC"

Page 30, line 9, change "Ron" to "Derron"

Page 32, line 4, change "meat" to "neat"

Page 43, line 21, change "Adan's" to "Aidan's"

 2-17-05

Rafael Sa'adah, BFC, DC Fire & EMS