



NATIONAL TRANSPORTATION SAFETY BOARD
Investigative Hearing

Washington Metropolitan Area Transit Authority Metrorail train 302 that encountered heavy smoke in the tunnel between the L'Enfant Plaza Station and the Potomac River Bridge on January 12, 2015

GROUP	
EXHIBIT	

Agency / Organization

Title

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

* * * * *

Investigation of:

*
*
*
*
*
*

WMATA INCIDENT AT L'ENFANT PLAZA
STATION, WASHINGTON, D.C.
JANUARY 12, 2015

* Docket No.: DCA-15-FR-004

* * * * *

Interview of: NEAL WARREN

WMATA Headquarters
Jackson Graham Building
Washington, D. C.

Tuesday,
April 14, 2015

The above-captioned matter convened, pursuant to notice.

BEFORE: MIKE FLANIGON
Railroad Accident Investigator

The interviewee was afforded an opportunity to review this transcript for accuracy. Corrections are shown in ~~strike~~ out/underline in the text.

APPEARANCES:

MICHAEL FLANIGON, Railroad Accident Investigator
National Transportation Safety Board

ROBERT "JOE" GORDON, Investigator-in-Charge
National Transportation Safety Board

I N D E X

<u>ITEM</u>	<u>PAGE</u>
Interview of Neal Warren:	
By Mr. Flanigon	4
By Mr. Gordon	28
By Mr. Flanigon	35

I N T E R V I E W

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. FLANIGON: My name is Mike Flanigon,

F-l-a-n-i-g-o-n. I'm with the National Transportation Safety Board. It's April 14th, 2015. We're interviewing Mr. Neal Warren, N-e-a-l, W-a-r-r-e-n, who is an assistant superintendent with WMATA. And this is in regard to the January 12th arcing incident at L'Enfant Plaza. With me is --

MR. GORDON: Joe Gordon, G-o-r-d-o-n, NTSB.

MR. FLANIGON: Before starting, I just want to confirm you understand we'll record the interview and provide you a transcript.

MR. WARREN: Yes, sir.

MR. FLANIGON: You say yes? Okay.

INTERVIEW OF NEAL WARREN

BY MR. FLANIGON:

Q. Let's start with just a little bit about your background, how long you've been with WMATA, how you came to be there, and what you do in your current job, okay?

A. I started with the Authority in 1981, almost 34 years, coming up on 34 years, ~~2-weeks~~3 months away from 34 years. I was hired as a general equipment mechanic, and shortly after that, I did -- had a variety of duties, maintaining the mechanical equipment in the rail stations and the bus facilities. But I think, maybe, within a year of me being hired, I accepted a position, what was called then a pneumatic control technician.

1 And the pneumatic control technician, at that time, maintained the
2 tunnel ventilation system. So, I have a lot of experience on
3 tunnel fans. At one time, when the system wasn't as large as it
4 is now, there were only about two people who did -- inspected all
5 the tunnel fans throughout the entire system. Now, there's
6 probably more to the dozen people who do it. And, you know, we
7 were very conscientious about what we had to do. I felt we did a
8 good job. And later on, after that, about 8 years as a
9 mechanic, I was -- got an opportunity to get a platform job as a
10 first line supervisor. So, that was about right around 1989. I
11 came in '81; in '89 I became what's now called the grassroots
12 supervisor or the first line supervisor. And started there, did
13 that probably up until 2012, maybe, and then I became an assistant
14 superintendent. So, I've had a lot of experience as a mechanic.
15 I've had a lot of experience as a supervisor. And, I guess, I'm
16 kind of fresh at an assistant superintendent. That's been 3 years
17 as assistant superintendent.

18 Q. So, as an assistant superintendent, you have supervisors
19 who report directly to you, is that how it works?

20 A. That's correct. Three supervisors report to me. I have
21 three areas. One is West Falls Church, one is Alexandria, and one
22 is Metro ServicesCenter. So, that's referred to as Virginia and
23 D.C. Region. So, basically, three supervisors that report to me.
24 And they have approximately 11 to 12 employees that report to
25 them. So, my role is to manage supervisors directly, and then

1 they manage their mechanics directly.

2 Q. Well, since 1981, there's a lot of changes in the
3 system. 1981 -- the system first went into service in the late
4 '70s, mid-'70s?

5 A. Yeah.

6 UNIDENTIFIED VOICE: '76.

7 A. I was going to say '75-'76.

8 BY MR. FLANIGON:

9 Q. So, you've seen the extensions, the new stations.

10 A. Just about all of it.

11 Q. Plucked in the middle of the lines --

12 A. Yes, sir.

13 Q. -- and then the whole silver line thing.

14 A. That's correct.

15 Q. There's also been a lot of ups and downs with regard to
16 safety and over the years some significant incidents. And around
17 the time of Fort Totten, 6, 7 years ago, whatever it is now, there
18 was a whole series of accidents that I think --

19 A. Correct.

20 Q. -- probably was made a big -- had a big impact on WMATA.
21 And so, I wanted to ask you if you could talk a little about the
22 changes you've seen in the last 6, 7, 8 years with regard to
23 safety of operations, safety of the workplace. What's changed, if
24 anything has changed, and what's good, what's bad, what's better.
25 What's your take on it?

1 A. Okay, in the last 6 or 7 years, I think Metro has made
2 some good adjustments in order to try to correct some of the
3 problems that we've had with safety. Some of the things that
4 occurred since, like you say, since Fort Totten, they've been able
5 to manage the operation of the trains better, giving the train
6 operator's more decision-making in making sure that the trains are
7 operated safely.

8 I know recently, I understand we're going back to ATO,
9 but that was probably -- that was a decision made only after they
10 felt comfortable with going back to ATO. I know they wouldn't
11 make a decision like that without making sure that we had
12 everything at our disposal to make the system more safe. So, I
13 think that was one of the things.

14 And then, the other thing that we've done is implemented
15 a lot of training like the railway protection plan where, you
16 know, we understand the safest way to be out in the right-of-way
17 in the tunnels, and the procedures that the Control Center has
18 about when people are in that right-of-way, on the roadway, what
19 they should do and the things that they can't do. We've developed
20 some of the cardinal rules. And I think the layers like that have
21 protected the employees and the operators and prevented a lot of
22 accidents.

23 Q. In terms of running the trains, keeping them on time,
24 keeping the various systems working, that's clearly -- you know,
25 that's kind of your core mission, if you will.

1 | A. ~~Uh-huh~~Correct.

2 Q. Sometimes there's a little tradeoff or a little tension
3 between safety and keeping everything on schedule, on track, on
4 time. How do you see that balance? Do you think it's the right
5 balance? Is it -- are there shortcuts sometimes that shouldn't be
6 taken to keep the trains on time? Or are people overly cautious
7 and what's --

8 A. You know, that is a good question. I think there's a
9 good balance right now. But we are still working. It's still a
10 work in progress trying to get that done. And one thing that I've
11 noticed is that the way things operate during the day, a little
12 different than the way things operate during the night because of
13 what our functions are. So, in other words, at night when the
14 Track Department is doing most of their work, you know, the focus
15 changes a little bit from during revenue hours. So, I would have
16 to say that I think, overall, Metro is doing a good job balancing
17 that, because, you know, it takes quite a bit to keep everything
18 moving during the day, keep our passengers safe, and provide good
19 service.

20 And then, sort of revert at night, and then the focus
21 is on maintenance, getting the Track Department access to the
22 track so they can make their repairs and do those things and all -
23 - try to get all that done before the revenue -- before the
24 stations open the next morning. So, I think there's a good
25 balance, but there's still some work to be done, because I know at

1 some point, in some cases, the safety may feel that some jobs are
2 not being performed correctly, but, you know, they're always out
3 there now. They're very involved in what we do with all the
4 escorts that we do with the contractors that are working on Metro
5 property. So, there's a lot of activity goes on, especially
6 during the night. So, I think the balance as far as what they do
7 and the way they see things is pretty good right now.

8 Q. Are you aware of a close call reporting system or near-
9 miss reporting system at Metro?

10 A. Yes.

11 Q. Do you get any kind of data from that system that helps
12 you see where problems might be that you might need to address?

13 A. Right. Well, there is data that is entered into the
14 system. But most of that data's -- it trickles down to us as
15 managers. We have meetings and we discuss things that the other
16 employees want to share with us, but I would say probably as a
17 whole, we could probably share that information a little bit
18 better between each department. Sometimes, you know, some of the
19 information's shared system-wide.

20 We get our emails from the general managers there that
21 share information with us about what we can do as an organization
22 to be safe, but I think sometimes there might be some information
23 that might not be as important that other, smaller groups can
24 share, the fire department and the Track Department and plant
25 maintenance. Because I think we all are out there doing the same

1 things and working on the equipment, but we could probably share
2 some of that information a little bit better.

3 Q. How about a safety hotline? Do you know anything about
4 that?

5 A. Yeah, there's a safety hotline. I'm familiar with it.
6 I've never used it, but I'm familiar with it. I know some people
7 who have called it, but --

8 Q. Do -- let me ask it this way. If people are working in
9 your area of responsibility have identified something they think
10 is a safety issue, how can they bring it up?

11 A. We have monthly safety meetings. And anytime something
12 is an immediate safety issue, the first line supervisor can bring
13 it to my attention and we'll address it, maybe put out emails
14 within the department to make everybody aware of it. But
15 normally, in our monthly safety meetings, we bring up those
16 issues; address any old safety issues, and then any new items that
17 employees have encountered.

18 And there's been some good feedback from, you know, the
19 employees who come along with the first line supervisors and
20 myself. And then, after that meeting, I take that information to
21 the meeting that I have with my superiors, and then the
22 information is shared within the whole department. But there've
23 been some good lessons learned from some of the safety meetings.

24 Q. How often would you say the supervisors who work for
25 you, and how often do you get out into the field as people are

1 actually doing work outside the shop areas and spend any time with
2 them?

3 A. Well, the first line supervisors, we always try even
4 though sometimes it's not easy. We try to get out every day. As
5 a first line supervisor, you really ought to be out every day with
6 your employees, interacting with them, trying to help them get
7 better. And, you know, making sure that the work is -- that you
8 ask them to do is being performed.

9 The preventative maintenance and the corrective
10 maintenance that we do, you have to be in touch with what's going
11 on out there. So, that's for -- say, for example, in my case, the
12 three supervisors that work for me, I expect them to be out there
13 every day. And then, I go out, myself, because I'm covering three
14 areas. I do go out, especially when we got a special project or
15 something that we're working on and something that's urgent, and
16 it's affecting revenue. Could be something as simple as them
17 being able to wash buses up at Northern Bus Garage.

18 That's something that affects the Authority as a whole.
19 And that's why I sometimes will get involved myself and be out
20 there seeing that the work is getting done, projecting -- being
21 able to communicate with the managers in the facilities, letting
22 them know the status of the work, and you know, making them --
23 because they're our customers, so we want to make them stay aware
24 of what's going on.

25 Q. So, what would you think -- how often does that happen

1 for you? Are you out once a week, once a month?

2 A. I would say at least twice a week.

3 Q. Twice a week.

4 A. Yeah. And then, for the first line supervisors, it
5 varies, but it should be in contact with some employee every day
6 for the first line supervisors.

7 Q. Is there any way that you -- how do you convey that or
8 how do you kind of make sure that happens with your supervisors?

9 A. Well, I have -- normally, in the morning I contact them
10 and we review our -- what's called a backlog in MAXIMO, and then
11 that backlog, that gives us a -- let's us know what work orders
12 have been called in. And each work order has a priority level.
13 So, that's what we really rely on. And sometimes it could be an
14 email that might come from one of the general managers or the
15 director of our department. It could be an email. But we also
16 rely on the MAXIMO, looking at the tickets, and then determine the
17 priority of those tickets.

18 So, I'm in -- I look at the backlog in the morning, see
19 what -- if there's anything that occurred from one of the other
20 shifts, the evening shift or the night shift. Sometimes we've had
21 things that occurred that require immediate attention the
22 following day. Sometimes it carried over from the evening shift
23 to the night shift, and now those type of maintenance issues need
24 to be carried over right into the day shift, when we respond off
25 of the information that we were provided from the previous shift.

1 And, you know, we just understand what things need to be addressed
2 immediately.

3 We get a call saying there is a train stuck on a lift,
4 and we know that that's something that requires immediate
5 attention. But, if it's an exhaust fan in the cleaners' room,
6 and, you know, that's not as much of a priority as something like
7 a train stuck on a lift.

8 Q. So, in that morning call, that's kind of developing a
9 plan for the day so to speak?

10 A. That's correct.

11 Q. And I think the original line here was how do you make
12 sure that they are out and about, meeting with people out in the
13 field?

14 A. The first line supervisors?

15 Q. Yeah.

16 A. I stay in contact with them, get updates. I ask them to
17 give me an update, you know. Once you get there, assess the
18 situation, give me a call back, give me some feedback. Let me
19 know it was resolved, and then we can understand --

20 Q. So, those are the hot items when you'll say to your
21 supervisors, I want you to go pay attention to this, go see what
22 they're doing, go find out what the problem is.

23 A. That's correct.

24 Q. Okay, gotcha. Good. Do the people you supervise or
25 you, yourself, receive any training in incident command system, or

1 it's also called the National Incident Response System? And
2 that's what is used for emergency responses, like the --

3 A. L'Enfant Plaza.

4 Q. -- L'Enfant Plaza incident. Usually involves multiple
5 agencies like the fire department, police --

6 A. Right.

7 Q. -- and so forth.

8 A. Everybody, including myself, is at what's called first
9 responder. Now, in that class, they teach you about how you
10 respond in an emergency. You identify who's the on-scene
11 commander, and there's a protocol, of course, you know, but you
12 have to follow the protocol to see how you could assist in an
13 emergency. But you are basically following the instructions of
14 the on-scene commander. So, we have responded to emergencies, but
15 we deal with it as whatever role plant maintenance could play in
16 that emergency. That's what we try to fill.

17 Q. Who gets that training?

18 A. All plant maintenance employees have -- should have had
19 first responder training. But it's primarily for managers,
20 supervisors, and for the employees, most of them have had it, but
21 we've always asked that the guys -- the lead mechanics in the
22 facilities, like if you work in a rail yard or if you're in a bus
23 facility, you should have the first responder training and HAZMAT
24 training also, because you might respond to a spill, say, for
25 example, a fuel spill in a facility. And that person would have

1 some training to, you know, give him some ability to know who to
2 call, how to address an issue like a -- you know, could be as
3 simple as a fuel spill or could be a big emergency, fire, just
4 like a fire emergency.

5 Q. That's good. Good information. Are you familiar with
6 the Tri-state Oversight Committee, the TOC?

7 A. Yes, sir.

8 Q. And do you see them on the property from time to time?

9 A. Yes. I have, and we've met with them to do some of
10 their inspections. Also had follow-up and corrective actions that
11 they recommended after they've completed some of their
12 inspections. So, normally we would meet with them, do the
13 inspection, and try to -- if they identified something right there
14 and we can correct it, you know, right on the spot, we try to do
15 that. But then, from that comes a report and then we take care of
16 the corrective actions that were recommended by the Tri-state
17 Oversight Committee. We turn our reports in to the senior
18 managers so they can file that information and have it for future
19 reference.

20 Q. And when was the last time that they were out doing any
21 kind of inspection or visit with you?

22 A. Let's see, we did one about 3 months ago at the Columbia
23 Heights Metro Station with Tri-state Oversight Committee, before
24 the turn of the year, back in November or early December, I
25 believe.

1 Q. Changing gears a little bit, the radio communication,
2 the radio system, how does that work, in terms of quality?

3 A. Right. I think it -- we just went through some recent
4 changes with the radio system where some of the radios we were
5 using analogs, they'd phase out. Everything now is digital, and
6 some of the -- I think the channel format, basically, has changed.
7 But I think for the most part, the radios work pretty good. I
8 really, in my opinion, the issue might be the reception in some
9 areas of the system.

10 I know, because some areas of the system, you don't
11 have any problems whatsoever using the radio. But in some other
12 areas, I guess -- I'm not in communication, but it has a lot to do
13 with the antenna and, you know, the reception and the repeater and
14 that type of thing. So, overall, give it a B, I guess, maybe a B-
15 minus. But there's some work to be done specifically getting
16 reception in those areas where you can't communicate with OCC on
17 the radio.

18 Q. Good. In the -- kind of getting into the fan
19 maintenance area, in the vent shaft, in particular, this is
20 referring to the vent shaft that was out from L'Enfant Plaza
21 Station near where the arcing occurred --

22 A. Right.

23 Q. -- there's a smoke detector in that vent shaft. Do you
24 know where that alarms to when it detects smoke?

25 A. In the vent shaft? Okay, it should alarm back to the

1 kiosk, but it also to OCC.

2 Q. Would that go to the controller or would it go to the
3 Maintenance Operations Center?

4 A. You know, I'm not exactly sure about that. I know that
5 they get an alarm down there through the kiosk. My thinking is
6 that it goes directly to OCC.

7 Q. And we've heard a little bit about a QA program here,
8 quality assurance. Does the quality assurance program look at fan
9 maintenance?

10 A. They've been out on a few inspections for -- they've
11 come out, asked us to provide a crew to demonstrate how a PM is
12 performed. QA has been out, I know it's, like, in the last year
13 or so, because I remember coordinating something with them for the
14 K Line. They wanted to see some of the fans operate in that area.
15 They identified the fans and the guys that represent that area and
16 do the tunnel plan inspection. Met with them and just went
17 through the whole process of how they would perform a PM. And
18 then, we -- that location was in good shape.

19 Q. And that was last year sometime?

20 A. Yeah, last year, yeah.

21 Q. Prior to January 12th, were you aware of any problems
22 the maintainers were having getting the one box on the checklist
23 where the rail controller remotely exercises the fan?

24 A. Well, not from me, the record, because I don't do that
25 function, but I know occasionally, you hear the mechanics would

1 say that sometime they have -- it's difficult for them to get the
2 cooperation that they would like to have. And I try to let
3 everybody know that when the Operation Control Center has a
4 situation like a single tracking or trains are backed up, it may
5 ask the guys sometimes to call back, you know, in other words,
6 "I'm real busy right now. Call me back in 15 minutes. Call me
7 back in a half hour or so." But to them, it's just like milk and
8 honey, I guess. To them, they're just trying to get through the
9 process of testing the tunnel fans.

10 And at the Operation Control Center, they're trying to
11 make sure that, you know, the train's on time, the trains are
12 moving. They might have a problem with a person gets sick on a
13 train, and then they may not understand that that really creates a
14 situation where they have to address that issue and maintain the
15 system the best they can. And the tunnel fans, you know, very
16 much important part of the system, but they may be asked to pump
17 | call back ~~for~~in a short period of time. So, I don't experience
18 that, but I know sometimes I get some feedback from some of the
19 mechanics saying that they had to wait until Operation Control
20 Center could test the fan for them. It's been like that for a
21 while.

22 Q. One of the gentlemen we talked to said his strategy was
23 to pick the time he called to ask where he thought they'd be the
24 least busy.

25 A. Right.

1 Q. Is that anything that is kind of shared as a strategy
2 for others?

3 A. Yes. 10:00 to 2:00 is supposed to be really the window,
4 after rush hour and before rush hour is basically the time of day
5 they have to operate fans. But even -- sometimes, even within
6 that window, there could be some things that occurred, may slow
7 that process down. But, I guess, in order to do your job as a
8 person who's responsible for maintaining the fans is -- so you
9 have to understand what's really going on and be patient, you
10 know, to get your job done.

11 I try to encourage the guys who are responsible for
12 that, but just, if you have a situation like that, there are some
13 other duties that they can do while -- you know, in lieu of going
14 to remote test on the fans. When they go in the fan shaft, they
15 can do other maintenance. They can look at their checklist.
16 There are a lot of things that you can do to service the equipment
17 that supports the fan until you get the opportunity to do the
18 remote test. The remote test is a small part of the test. It
19 probably takes 10 minutes. But they can -- there are a lot of
20 other duties that they could do in lieu of that.

21 Q. So, in terms of production, what's your expectation that
22 the technician -- or I guess it's two technicians, right, that
23 usually work as a team?

24 A. Yeah.

25 Q. What do you expect them to accomplish in terms of fan

1 maintenance in a day?

2 A. In a day? There's no reason at all why they shouldn't
3 be able to do at least two complete systems. And when I say
4 complete systems, I mean the -- say, for example, the fan shaft,
5 the two associated vent shafts that work with that fan shaft. So,
6 that's really a total of six locations. And some of that can be
7 done prior to that 10:00 window and that 2:00 clock window,
8 because you don't need permission to go down and lubricate dampers
9 in a vent shaft. The vent shaft is in the station for the most
10 part. The part where you need Central to do a -- to complete
11 your test, is the remote test down in the fan shaft, which is in
12 between the two stations.

13 So, I try to allow the guys to understand when they get
14 in those situations where they can't get a test or whatever, go to
15 the vent shaft, and do your maintenance there. The vent shaft has
16 a lot of associated equipment in it that works with that fan
17 shaft. And you can do your maintenance in the vent shaft and then
18 take another opportunity to go do the fan shaft. So, that's what
19 I -- you know, I try to share that information with guys from my
20 experience when I was a mechanic, that that's a good way to make
21 your day flow instead of just sitting, you know, waiting to --
22 when they tell you to call back.

23 Because sometimes that can turn -- 15 minutes can turn
24 into a half hour and then, you know, half hour can turn into an
25 hour. In my opinion, you know, that's -- it's counterproductive

1 to kind of sit and wait just to get a phone call from Central.
2 So, I always try to let the guys understand that there are a lot
3 of other things you can do. And then you get back later on in
4 that afternoon and get that test done.

5 Q. Do you have any troubles meeting that productivity goal,
6 two fans a day?

7 A. For the most part, no. Most of the guys are able to get
8 it done. The guys who do it, they've learned the system. They've
9 learned their routes, and they should be able to get at least two,
10 if not three or four. It depends on -- you know, the system is
11 made up, you know, very unique, so say, for example, down this
12 Metro corridor, what we call Metro Center corridor, everything was
13 bunched up. The fans are real close together.

14 Some of them only 2 or 3 blocks apart. So, they might
15 be able to get a few more. You go over to U Street, the E Route
16 | corridor we call, from ~~Malvern~~ Mr. Vernon Square to ~~Charlotte~~ Shaw
17 to U Street. And those are only city blocks.

18 But if you go up on the red line, everything is
19 stretched out. It's 2 miles, 3 miles apart. And then the other
20 things that determining fact is whether or not the fans at the,
21 what we call, at the top of the shaft. Some of them are at the
22 top of the shaft. Some of the fans are located at the bottom of
23 the shaft. Like, FA-13 up in between Bethesda and Medical Center
24 is a very deep shaft. So, if you go there, it's going to take
25 some time in order for you to complete that maintenance. However,

1 if you go to one of the other ones that's not real deep and the
2 fans are located at the top of the shaft that really affects the
3 length of time that you have to take in order to do the
4 maintenance.

5 Q. Thank you. Are you familiar with WMATA's Systems Safety
6 Program Plan, SSPP?

7 A. The site specific work plan?

8 Q. Systems Safety Program --

9 A. Oh, Systems Safety Program, okay. Yes. That's
10 something that's available to us on the Internet where we can go
11 in and record incidents or accidents that might have occurred.

12 Q. That might be SMS.

13 A. Oh, okay, right.

14 Q. SMS.

15 A. Systems Safety -- what was the acronym?

16 Q. Systems Safety Program Plan, SSPP. And it's kind of
17 WMATA's overall safety program in a written format.

18 A. Right, I understand. I've read some of it, but I'm not
19 totally familiar with the entire program.

20 Q. How do you see your responsibilities and your position
21 in light of WMATA's overall safety program? We'll just call it
22 the safety program.

23 A. Okay, yeah, well, we do what we call safety
24 conversations. Everybody -- well, all the managers are required
25 to do safety conversations with the employees. And those are

1 drawn from real experiences that we have with some of the
2 employees. We take the opportunity to have a little mini-stand-
3 down and just talk about something we observed and how we can make
4 the employees work safer. You know, it may be something as simple
5 as putting on your safety glasses when you're using a grinder.
6 You know, most of the mechanics know that, but sometimes, people
7 will take, you know, forget about things that they're supposed to
8 do and lockout-tagout and things like that.

9 So, we have a program, a safety observation program.
10 And we always talk about that with the employees. A lot of the
11 first line supervisors -- and they do have safety or toolbox
12 meetings. You know, especially, when we have a job that you know,
13 is going require some -- there's a level of difficulty with the
14 job, so you want to have a safety toolbox meeting to discuss a
15 specific job, and, you know, how you're going to work on the job
16 and how you will do it safely. So, that's part of something that
17 we do whenever there's a requirement for it.

18 Q. Do you have any -- as a manager, do you have any safety
19 goals or safety metrics that you're supposed to keep an eye on and
20 report out on and get evaluated on?

21 A. That's correct. The injury reports and I think the
22 departmental goal is 1.3 injuries. I don't know the exact figure
23 for it. I'd have to get back with you on that. It's something
24 that senior managers maintain, but we have a calendar -- some of
25 the departments have calendars so they can keep a rolling track of

1 how many days they've been able to go without injury. So, in
2 other words, when that program was started, I noticed that a lot
3 of guys were taking a lot of pride in being able to look at the
4 calendar and say, "Okay, we're up to 250, 250 days without
5 accidents." And so, that was one tool that was used. I thought
6 that it was paying off some dividends.

7 So, the majority of the employees here at Metro want to,
8 you know, do a good job, and be safe. And like everybody says, go
9 home to your family with all your fingers and toes. I think that
10 that's the culture that we have in our department that lets the
11 employees understand that, you know, you got a job to do, but at
12 the same time, you know, it's important that you do it safe.

13 And, you know, everybody is -- benefits when work is
14 done safe. Even the smallest little injury. We had some small
15 minor injuries, but even that is something that people notice. A
16 guy, you know, might have twisted his ankle or sprained his back.
17 So, for the most part, we understand that those are not very
18 serious injuries, but even things like that are noted by the other
19 employees and the guys within the work groups. They notice that
20 also.

21 Q. So, how are you doing on those metrics? And has your
22 group --

23 A. Plant maintenance -- normally, if I had those figures, I
24 believe that we're one of the lowest, so we had very few injuries.
25 We had a few recently, but I think our numbers are still low

1 compared to other departments system-wide. You know, Director of
2 Plant Maintenance, Mr. Borman he takes a lot of pride in being
3 able to, you know, display that. That, you know, we as a
4 department plant, and EQMT and BMSS, that work -- the injury
5 numbers are down for the most part compared to a lot of other
6 groups. We do try.

7 Q. You just threw out some acronyms there BMSS, bravo,
8 mike, sierra, sierra, that's a department?

9 A. Yeah, it's building maintenance.

10 Q. Building maintenance. And what was the other one?

11 A. And equipment maintenance.

12 Q. Okay, EQMS --

13 A. Yeah, EQMT, which is what I'm in --

14 Q. Echo, queen, mike, t, as in tango.

15 A. Right.

16 Q. I'm thinking of the transcriber here.

17 A. I understand.

18 Q. And the other one, going back, I made a note here,
19 MAXIMO, how do you spell MAXIMO?

20 A. M-A-X-I-M-O.

21 Q. And that's the maintenance management system.

22 A. Yes, that's the system we use to monitor all
23 maintenance, preventative and corrective maintenance activities
24 with a lot of detailed information on logs, and you want to run
25 reports on a certain facility that will identify an area that

1 could be a potential problem, and you can use MAXIMO to gather
2 that information.

3 Q. So, the MAXIMO system, if I'm understanding how it
4 works, and correct me if I'm wrong, but if, for some reason, your
5 schedule for fan maintenance fell behind schedule, that would
6 start automatically pinging you in MAXIMO, is that --

7 A. Yes.

8 Q. So, that morning call would be, "Hey, we're behind" --

9 A. Yes, we have a --

10 Q. -- on the fans at such and such a location.

11 A. That's correct. We have a manager, Mr. Johnson who
12 works over at Carmen Turner Facility who sends out a report on
13 labor compliance, PM compliance. The PM compliance report is sent
14 out once a month. But it does -- it's used still to help the
15 supervisors keep track of when they are, say, for example, behind
16 or didn't complete a PM for that month. You know, whereas the
17 goal is to have all PMs completed in a 30-day calendar period.
18 So, you know, maybe a PM or two wasn't completed.

19 Mr. Johnson would normally send out his report. And
20 from that report it identifies any PMs that were not completed for
21 that calendar -- that month. But most of the time, everybody's in
22 the 95 percent completion rate. So, at the end of the month, it
23 might be a matter of going back and catching two or three PMs with
24 -- we try to make sure that all the fire life safety equipment is
25 inspected within that month, tunnel fans, anything related to fire

1 life safety.

2 Q. Last question for now, anyway, when you transitioned
3 from mechanic to supervision, and then up into management, how did
4 you learn to be a supervisor?

5 A. Well, Metro -- I will say, Metro has a very good
6 training class. You know, when I became a supervisor, I was
7 through sent to training, introduction to be a supervisor. I can
8 remember one of them that always sticks with me is, "So, you want
9 to be a supervisor." That type of training is offered to
10 employees who are stepping up to supervision to teach you the
11 basics and the ground rules you need in order to manage people,
12 how to motivate people.

13 And, you know, it was helpful to me, so I participated
14 in several of those classes. I learned from the senior managers
15 that were already in those roles and it made a difference. You
16 know, I had to travel around the Beltway a little bit, but it did
17 make a big difference helping me become a supervisor learning from
18 the other managers.

19 Q. Is that program still around?

20 A. Yeah, it's even got better. They have more classes that
21 I've seen some of the newer supervisors get some better
22 opportunities than I had when I was becoming a supervisor back in
23 1989. Boy, that was a long time ago, wasn't it? But, yeah, the
24 classes that they have available now are better. They got a lot
25 more computer classes, you know. Everybody understands, you know,

1 we've evolved as a country and as a world, as far as how much
2 people use computers. And the guys who are becoming supervisors
3 now are given opportunities that, you know, were very limited to
4 me back in 1989.

5 MR. FLANIGON: That's all I have for now.

6 BY MR. GORDON:

7 Q. Joe Gordon, NTSB. I appreciate what you've given us so
8 far there. I'm going to probably concentrate a little bit more on
9 the ventilation fans, just because, you know, that's kind of my
10 area of interest with this. But when you explained to Mike a
11 little bit about the MAXIMO log and that makes more sense to me
12 now. It's kind of a program to help you keep track and know more
13 of a planning tool --

14 A. That's correct.

15 Q. -- to know where you need to go and where you need to go
16 quickly.

17 A. Right.

18 Q. We've heard a lot about the AIMS data. And are there
19 troubles that are recorded like an event -- is any of that
20 recorded on the AIMS data? Like, if you had a fan that was on
21 local control, left on local control, is that something that's
22 recorded on that AIMS data?

23 A. Yes. Yeah, when a switch is moved from that remote
24 position into local, AIMS records that information. It really
25 should be something that probably should generate a ticket. I'm

1 not sure if they do on every occasion when -- you know, because
2 there's a lot going on out in the system. But a lot of times, it
3 should generate some type of work order so somebody can go out and
4 investigate and make sure that the selector switch is in the
5 correct position that gives Central the control over it.

6 Q. And so, there's never an acceptable reason that a fan
7 would be left on local control.

8 A. That's correct.

9 Q. Like, if there's not someone there working in that
10 location at that time --

11 A. That's correct. The protocol would be somebody should
12 have called, notified Central that they're going to take control
13 for maintenance reasons or whatever; they're going to operate the
14 fans in a local mode. And then, once they complete the task, then
15 they can restore the switch back to remote, returning control to
16 OCC.

17 Q. You mentioned the night work that's being performed, and
18 I think that's primarily off-peak hours so, 10:00 to 2:00 --

19 A. Yeah.

20 Q. -- is what you guys consider to be out -- that's 10:00
21 in the evening until 2:00 in the morning?

22 A. Well, yeah. Actually, after revenue on the weekdays is
23 around 1:00 -- 12:00; 1:00 they start preparing for work. And
24 then on the weekends, the system is open until 3:00 a.m. So, the
25 window's a little bit -- but it doesn't -- it closes at 3:00, I'm

1 sorry, the system closes at 3:00 a.m. and opens at 8:00 am. So,
2 there's about a 4- or 5-hour window each night for maintenance
3 activity.

4 Q. And that's when you guys take advantage of that window
5 to try to get your work done in?

6 A. That's correct.

7 Q. So, do you have more of your manpower scheduled for that
8 out-of-service time for the time that the system's down?

9 A. In our department, it's probably -- let's see, it's
10 probably, maybe, a dozen guys on the night shift who primarily do
11 most of their maintenance on the drainage pumping system, just
12 because they're -- a lot of them are wayside, that it requires for
13 them to -- they found out that they can be more effective doing
14 their maintenance and repairs during non-revenue hours.

15 And unless we are doing -- have a special project or
16 something lined up, there are a lot of things that occur that
17 require us to work at night. It all depends on, you know, what it
18 is, the nature of it, and whether or not it requires us to gain
19 access to the roadway. But we primarily -- the percentage of
20 people on night shift compared to everybody else, it's kind of
21 small.

22 Q. Now, we've heard some discussion about sometimes the
23 ventilation fans will be used to exhaust diesel fumes. So, if
24 they've got equipment working in a tunnel, they may take local
25 control and -- is that something that happens very often?

1 A. You mean, if they -- you say, if somebody needs to run a
2 fan at night to remove diesel fumes? Well, I think over the
3 years, we've tried to enforce and encourage people to, if they
4 need a fan to operate to remove smoke, call the appropriate
5 number, and let Central activate the fans. It's actually better
6 like that, because a lot of people -- some of the folks, say, like
7 in the other departments, might not quite understand what -- when
8 you operate it locally, the vent -- the associated vent dampers
9 remain open.

10 And if you're trying to, you know, remove smoke; you
11 want Central to have control over the fans, because when they
12 activate the fans, the associated vent dampers closed. In other
13 words, they're more effective when Central operates, because the
14 dampers are designed -- the fan and vent dampers are designed to
15 work as a tandem or unit. So, we prefer that they allow Central
16 to activate the fans.

17 Q. All right, that's a good point about the dampers, as
18 well. So, the monthly PMs that are done do you -- is it your job
19 to review those to see that they're being done and that they're
20 following the correct procedures when they're doing those?

21 A. For the most part, the first line supervisors are
22 responsible for signing the document after it's brought back from
23 the mechanic. But then, at the end of the month, I normally will
24 ask them to provide me with -- not all of them, but give me a
25 document from each area so I can review that document and

1 understand that, you know, we're performing it the same way from
2 all three groups that's, you know -- the primary responsibility
3 for reviewing the documents, signing the documents, and getting it
4 filed away is for the first line supervisor.

5 Q. And has there -- have there been any changes to the
6 procedures as far as the testing, the ventilation fan testing
7 procedures since the January 12 accident?

8 A. We've made a few adjustments to try to improve the
9 reliability of the testing. I think the managers took some steps
10 to put what we call, like, a QC or quality check. And what
11 they're saying is that, you know, that can be something that they
12 can note that in addition to examining the paperwork and making
13 sure it's filled out properly, they physically went out to the
14 location and did an inspection with the mechanics. And we
15 recommended they do a tunnel fan or they can go to a station.

16 But we would prefer the critical equipment like a train
17 lift or tunnel fan or drainage pumping station where they do the
18 maintenance, and we get an opportunity to do what's called a
19 quality check.

20 It's just recently, I think everybody knows that the
21 documents have to be filled out, filled out properly, all the
22 areas of inspection have to be inspected. And if you find a
23 problem, you have to generate a work order for that problem right
24 at the same time.

25 Q. And that probably leads me to my last question on that.

1 What kind of priority does a vent fan -- so, if the control
2 operator in the OCC gets a message that they've got a fan that's
3 not functioning or, you know, want local control and they're
4 getting this message, what kind of priority does it take to get
5 out and correct that location?

6 A. It should be done right away. I mean, you know, the
7 issue of a fan not being able to be controlled from Central or a
8 fan not operating from Central, it's something that's got to be
9 addressed; hopefully, you want to find those things when the guys
10 are doing their inspection. Because, you know, it's -- a lot of
11 things can happen in a 30-day period. So you go there one month,
12 everything's working good. The next month, you got a fan that
13 won't run in one direction. So, when that's noted, or when they
14 are notified of that, then it should be addressed right then, if
15 possible.

16 If not, then the work order's generated and then we have
17 a group that's within our department, the industrial control
18 technicians, and I think one of them may have been here earlier
19 this morning. In other words, if the general equipment mechanics
20 get to a point where they, you know, can't resolve the problem
21 right then, they can ask for additional help from the industrial
22 control technicians and have a, sort of like a special course that
23 they can bump it up a notch and troubleshoot the equipment a
24 little bit further. And most of the time, they can resolve the
25 problem.

1 Q. So that's -- I mean, it's worked on until it's fixed.

2 A. That's correct.

3 Q. It's not something that's left behind.

4 A. That's correct.

5 Q. All right, thank you. And my final question, then I'll
6 pass it back over to Mike. Mike asked you about the TOC, the Tri-
7 state Oversight Committee and if you've seen them out on the
8 property. How about the FTA, the Federal Transit Administration.

9 A. Yes, sir.

10 Q. Have you --

11 A. Yes, sir. I've sometimes I ask myself, now, which one
12 is which. But, yeah, we've been out also with some of the
13 inspections on with the FTA, and both are pretty thorough and they
14 want to, you know, see what we're doing. And they also want
15 corrective actions.

16 We've been, you know, for the most part finding issues
17 like housekeeping and that type of thing that we have to get
18 better as a department and we understand that.

19 Metro is growing. I think we're going through some
20 growing pains with all the activities that go on with the upgrade
21 -- while we're trying to upgrade our system. You know, this is
22 causing some issues where, you know, we have to deal with
23 equipment and things being out of place. So, the FTA and Tri-
24 state has tried to help us recognize some of those things, and,
25 you know, get better. We understand what we need to do.

1 Q. How often would you say that you've seen the FTA out
2 with your department?

3 A. I think their inspection was -- this year, they have
4 one, you know, at one of our stations out on the K Route, I think
5 we did the Clarendon Station recently with the FTA, and then, like
6 I say, Tri-state Oversight Committee was late last year at one of
7 the E Route stations.

8 MR. GORDON: All right, thank you. I'll pass it back
9 over to Mike.

10 BY MR. FLANIGON:

11 Q. Just one thing to clarify, in talking about the window
12 for remote fan operations from 10:00 to 2:00, I understood that to
13 be daytime, 10:00 a.m. to 2:00 p.m.

14 A. Yeah, 10:00 a.m. to 2:00 p.m. Before rush hour, which
15 is -- starts right at 5:00 up to 10:00. And then 2:00 p.m. until
16 7:00 p.m. in the evening, because it's rush hour to get folks
17 home, so it's basically during the period when they're focusing on
18 getting our passengers, was considered rush hour up to 10:00, they
19 really don't respond or would prefer that we not respond to doing
20 our maintenance on the tunnel fans, of course, unless it's an
21 emergency. That would change that scenario, but the routine
22 maintenance that we perform is done between 10:00 a.m. and 2:00
23 p.m.

24 Q. And fan maintenance, for the most part, is during day
25 shift. Do I have that right?

1 A. Yes. Most of it's done day shift. Sometime when we
2 have an annual, we'll set it up for a crew to come in on the
3 weekend and maybe complete an annual. Because, say, if you might
4 have a shaft with a total of six fans in it, in order to perform
5 an annual on it, it takes, you know, the entire day, at least, to
6 complete that annual PM when you go in and lubricate everything
7 and do some general cleaning, amp the motors for correct amperage
8 and check the motor control sill, things of that nature. So,
9 it'll take a little longer.

10 MR. FLANIGON: Okay, that's all I have.

11 MR. GORDON: Thank you.

12 MR. FLANIGON: So, we're all done. I will thank you for
13 your time.

14 (Whereupon, the interview was concluded.)

15

16

17

18

19

20

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF: WMATA INCIDENT AT L'ENFANT PLAZA
STATION, WASHINGTON, D.C.

APRIL 14, 2015

Interview of Neal Warren

DOCKET NUMBER:

DCA-15-FR-004

PLACE

Washington, D.C.

DATE:

April 14, 2015

was held according to the record, and that this is the original,
complete, true and accurate transcript which has been transcribed
to the best of my skill and ability.

Wendy C. Cutting
Transcriber