

UNITED STATES OF AMERICA  
NATIONAL TRANSPORTATION SAFETY BOARD  
OFFICE OF ADMINISTRATIVE LAW JUDGES

\* \* \* \* \*  
In the Matter of the Investigation of \*  
Southwest Airlines Co., Flight 1248, \* Docket No. DCA-06-MA-009  
Boeing 737-7H4, N471WN, \*  
Chicago, Illinois, December 8, 2005 \*  
\* \* \* \* \*

National Transportation Safety Board  
490 L'Enfant Plaza East, S.W.  
Washington, D.C. 20694

Tuesday,  
June 20, 2006

The above-entitled matter came on for hearing,  
pursuant to Notice, at 9:00 a.m.

- BEFORE: MARK V. ROSENKER, Chairman  
  
BOB BENZON, Hearing Officer, Investigator-in-Charge,  
Major Investigations Division  
  
DR. VERNON S. ELLINGSTAD, Director, Office of  
Research and Engineering  
  
JOHN CLARK, Director, Office of Aviation Safety

## APPEARANCES:

Technical Panel:

CAPT. DAVE KIRCHGESSNER  
DR. KATHERINE LEMOS  
DR. KEVIN RENZE  
MARK GEORGE

On behalf of Federal Aviation Administration:

STEVE WALLACE, Director, Office of Accident  
Investigations

MARK TOMICICH, Office of the Chief Counsel

DON STIMSON, Performance Engineer, Transport Airplane  
Directorate

JERRY OSTRONIC, Flight Standards Service

DAN DIGGINS, Team Leader, Office of Investigation

BOBBY HEDLUND

TONY JAMES

On behalf of Southwest Airlines:

TIM LOGAN, Director, Flight Operations

CAPT. TED LAWSON, Manager, Flight Safety

JEFF GRENIER, Manager, Flight Safety Response

DEBBY ACKERMAN, General Counsel

CAPT. MARK CLAYTON, Director, Operations

DANE JACQUES, counsel

On behalf of Southwest Airlines  
Pilots Association (SWAPA):

CAPT. JEFF HEFNER, Coordinator/Chief Accident  
Investigator

CAPT. JOHN GADZINSKI, Performance Group

CAPT. LARRY KLINE, Weather and ATC

CAPT. JIM DUFFY, Systems Group

FIRST OFFICER CHRIS PERKINS, Ops Group

CAPT. JOE EICHELKRAUT, President, Southwest Airlines  
Pilots Association

NICH ENOCH, counsel

On behalf of the City of Chicago:

NURIA I. FERNANDEZ, Commissioner, Department of  
Aviation

ALBERTO RODRIGUEZ, Chief Operations Officer  
Midway Airport

AL PEREZ, Assistant Commissioner for Operations  
Midway Airport

JAMES SCZCESNIAK, Assistant Commissioner for Planning  
Department of Aviation

BRANDT MADSEN, counsel to the Airport

RAMON RICCAONDOT, Aviation Planner

On behalf of Boeing Co.:

MARK SMITH, Air Safety Investigation Group  
Boeing Seattle

ROBERT J. ORLOWSKI, Aerodynamic Performance  
Specialist

BRUCE A. DICKERSON, Senior Manager, 737 Program

CAPT. JAMES RATLEY, Senior Technical Pilot, 737

RICHARD BREUTHAUS, Director, Air Safety Investigation

JOHN DILLOW, counsel

PAUL D. GIESNMAN

Witnesses:

ANGELO BOCCANFUSO

TOM YAGER

DAVE BENNETT

RICH MARINELLI

PAUL D. GEISMAN

WILLIAM DeGROH

ALBERTO RODRIGUEZ

DENNIS MOSSELLER

JAMES SZCZESNIAK

G. KENT THOMPSON

I N D E X

<u>ITEM</u>	<u>PAGE</u>
Opening Remarks by Mark V. Rosenker, Chairman	9
Introduction of the Board of Inquiry	12
Introduction of Technical Panel	12
Introduction of Parties to the Hearing	13
Summary by Robert Benzon	17
<b>TOPIC 1: THE MEASUREMENT OF RUNWAY FRICTION AND THE METHODS USED TO RELAY RUNWAY FRICTION ESTIMATES TO LANDING FLIGHTS CREWS</b>	
Introduction of Witnesses by Mr. Robert Benzon	24
Presentations by Witnesses	
Angelo Boccanfuso	26
Tom Yager	35
Rick Marinelli	42
Paul Geisman	47
Capt. William DeGroh	53
Questions posed by the Technical Panel	
By Mark George	63
By Dr. Kevin Renze	75
Questions posed by Parties	
By Capt. Jeff Hefner, Southwest Airlines Pilots Association (SWAPA)	87
By Mark Smith, Boeing	92
By Steve Wallace, FAA	92

Questions posed by the Board of Inquiry	
By Dr. Vernon S. Ellingstad	97
By John Clark	99
By Mark V. Rosenker	105
Presentation by Alberto Rodriguez, Chief of Operations, Department of Aviation, Midway International Airport	110
Questions posed by Technical Panel	
By Mark George	119
Questions posed by Parties	
By Steve Wallace, FAA	133
Questions posed by Board of Inquiry	
Dr. Vernon S. Ellingstad	134
Robert Benzon	137
Questions posed to Denny Mosseller by Technical Panel	
By Capt. Dave Kirchgessner	140
by Parties	
By Mr. Wallace, FAA	155
by Board of Inquiry	
By Dr. Vernon S. Ellingstad	156
By John Clark	157
By Mark V. Rosenker	162
Clarifying Question	
By Capt. Dave Kirchgessner	165

**TOPIC 2: RUNWAY SAFETY AREAS AT MIDWAY AIRPORT  
AND OTHER AIRPORTS WITH LAND USE CONSTRAINTS**

Presentation by Dave Bennett and Rick Marinelli, FAA	167
Questions posed by Technical Panel	
By Mark George	176
Questions posed by the Board of Inquiry	
By Dr. Ellingstad	187
By John Clark	187
By Robert Benzou	193
By Mark V. Rosenker	194
Presentation by James Szczesniak, Assistant Commissioner for Airport Planning for the City of Chicago	196
Questions posed by Technical Panel	
By Mark George	201
Questions posed by the Board of Inquiry	
By John Clark	207
By Robert Benson	208
By Mark V. Rosenker	209
Presentation by G. Kent Thompson of ESCO	211
Questions posed by Technical Panel	
By Mark George	220
Questions posed by Parties	
By Mark Smith, Boeing	224
By Nuria Fernandez, City of Chicago	225

By Steve Wallace, FAA	226
Questions posed by Board of Inquiry	
By Dr. Vernon Ellingstad	227
By John Clark	228
By Robert Benzon	231
By Mark V. Rosenker	233
Adjourn	



P R O C E E D I N G S

(9:00 a.m.)

1  
2  
3 CHAIRMAN ROSENKER: Good morning, ladies and  
4 gentlemen. Welcome to the National Transportation Safety  
5 Board's boardroom.

6 My name is Mark Rosenker. I'm the Acting Chairman of  
7 the National Transportation Safety Board, and I will be the  
8 Chairman of this Board of Inquiry.

9 Today we are opening a public hearing concerning the  
10 accident that occurred on December 8, 2005, in Chicago,  
11 Illinois, involving Southwest Airlines, Flight 1248.

12 Let me acknowledge any family members of the child  
13 who lost their lives in this accident. On behalf of the  
14 National Transportation Safety Board and my colleagues and  
15 staff, I also say on behalf of all the parties who have joined  
16 in this investigation, we wish to express our most sincere  
17 condolences for their tragic loss.

18 The hearing is being held for the purpose of  
19 supplementing the facts, conditions and circumstances  
20 discovered during the on scene and continuing phases of  
21 investigation. This process will assist the NTSB in determine  
22 the probable cause of the accident and in making any  
23 recommendations to prevent similar accidents from happening in  
24 the future. No determination of cause will be rendered during  
25 these proceedings.

1           While airline accidents are rare events, they are  
2 widely publicized and scrutinized by experts around the globe.  
3 When an accident such as this does occur, it is the  
4 responsibility of the NTSB with the assistance of the FAA and  
5 other designated parties from Government, industry and labor,  
6 to find out what happened, why it happened, and how we can  
7 prevent this unfortunate event from recurring.

8           The purpose of this hearing is twofold. First, the  
9 issues that will be discussed at this hearing will be technical  
10 in nature, serve to assist the Safety Board in developing  
11 additional factual information that will be analyzed for the  
12 purpose of determining probable cause of the accident.  
13 Secondly, this hearing also provides the opportunity, not only  
14 to the aviation community, but to the traveling public as well,  
15 to see a portion of the total investigative process and the  
16 dedicated efforts being put forth by investigators from many  
17 different organizations, as well as to find the cause of this  
18 tragic accident.

19           I want to assure you that the Safety Board will  
20 pursue every lead toward an ultimate solution to what caused  
21 this accident, but we are also here to fulfill our broader  
22 mandate, to formulate recommendations to prevent such tragedies  
23 in the future, on behalf of the millions of passengers in the  
24 United States and around the world who use this form of  
25 transportation every year.

1           Public hearings such as this are exercises in  
2 accountability. Accountability on the part of the Safety Board  
3 that it is a conducting a thorough and fair investigation.  
4 Accountability on the part of the FAA, that it is adequately  
5 regulating the industry. Accountability on the part of the  
6 airline, that it is operating safely. Accountability on the  
7 part of manufacturers as to the design and performance of their  
8 products. Accountability on the part of the workforce,  
9 including pilots and mechanics, that they are performing up to  
10 the high standards of professionalism expected of them.

11           As previously stated, these proceedings tend to  
12 become a highly technical event, but they are essential in  
13 seeking to reassure the public that everything is being done to  
14 insure the safety of the airline industry.

15           The purpose of this inquiry is not to determine the  
16 rights or liability of private parties, and matters dealing  
17 with such rights or liability will be excluded from these  
18 proceedings.

19           Over the course of this hearing, we will continue to  
20 collect information that will assist the Safety Board in its  
21 examination of safety issues arising from this accident,  
22 specifically we will concentrate on the following issues.

23           One, the measurement of runway friction and the  
24 methods used to relay runway friction estimates to landing  
25 flight crews.

1           Two, runway safety areas at Midway Airport and other  
2 airports with land use constraints.

3           And, three, the Boeing 737 landing data that takes  
4 into account the use of thrust reversers.

5           At this point, I would like to introduce the other  
6 members of the Board of Inquiry.

7           Mr. John Clark is the Director of the Office of  
8 Aviation Safety on my right.

9           Dr. Vern Ellingstad on my left is the Director of the  
10 Office of Research and Engineering, and on my far left,  
11 Mr. Robert Benzon of our Major Investigations Division. He is  
12 the Investigating Officer in charge of this investigation and  
13 will also serve as our Hearing Officer.

14           The Board will be assisted by a Technical Panel  
15 consisting of the following NTSB staff: Capt. David  
16 Kirchgessner, Dr. Katherine Lemos, Dr. Kevin Renze, and  
17 Mr. Mark George.

18           Mr. Keith Holloway and his colleagues from the Safety  
19 Board's Public Affairs Office are here to assist members of the  
20 news media.

21           Neither I nor any other Safety Board personnel will  
22 attempt during this hearing to analyze the testimony received  
23 nor will any attempt be made at this time to determine the  
24 probable cause of this accident. Such analysis and cause  
25 determinations will be made by the full Safety Board, after

1 consideration of all of the evidence gathered during our  
2 investigation.

3 A final report on the accident reflecting the Safety  
4 Board's analysis and probably cause determinations will be  
5 considered for adoption by the full Board at a public hearing,  
6 excuse me, a public meeting here at the Safety Board's  
7 headquarters at a later date.

8 The Safety Board's rules provide for the designation  
9 of parties to a public hearing. In accordance with these  
10 rules, those persons, Governmental agencies, companies and  
11 associations, whose participation in the area is deemed  
12 necessary, in the public interest and whose special knowledge  
13 will contribute to the development of pertinent evidence, are  
14 designated as parties. The parties assisting the Safety Board  
15 in this hearing have been designated in accordance with these  
16 rules.

17 As I call the name of each party, will the designated  
18 spokesperson please give his or her name, title and affiliation  
19 for the record.

20 For the Federal Aviation Administration?

21 MR. WALLACE: Thank you, Mr. Chairman. Good morning.

22 CHAIRMAN ROSENKER: I cannot hear you, Mr. Wallace.

23 MR. WALLACE: How's that?

24 CHAIRMAN ROSENKER: Better. Thank you.

25 MR. WALLACE: Good morning, sir. Steven Wallace,

1 Director of the Office of Accident Investigation for the  
2 Federal Aviation Administration. Would you like me, sir, to  
3 introduce my colleagues at the table?

4 CHAIRMAN ROSENKER: Please.

5 MR. WALLACE: Mr. Mark Tomicich from the Office of  
6 the Chief Counsel, Mr. Don Stimson, a performance engineer from  
7 the Transport Airplane Directorate, Mr. Jerry Ostronic from the  
8 Flight Standards Service. Mr. Ostronic and Mr. Stimson will be  
9 witnesses later in the proceedings. And Mr. Dan Diggins, team  
10 leader from the Office of Investigation. Thank you, sir.

11 CHAIRMAN ROSENKER: Thank you, Mr. Wallace.  
12 For Southwest Airlines?

13 MR. LOGAN: Good morning, Mr. Chairman. My name is  
14 Tim Logan. I'm the Director of Flight Operations at Southwest  
15 Airlines, and with us at the table I have Ms. Debby Ackerman  
16 who is Southwest general counsel, Capt. Mark Clayton who is the  
17 Director of Operations, Mr. Jeff Grenier who is the Manager of  
18 Flight Safety Response, Capt. Ted Lawson, Manager of Flight  
19 Safety and also Dane Jacques, outside counsel. Thank you.

20 CHAIRMAN ROSENKER: Thank you very much.  
21 For the Southwest Airlines Pilots Association?

22 CAPT. HEFNER: Good morning, Mr. Chairman. Capt.  
23 Jeff Hefner, Southwest Airlines Pilots Association --  
24 Coordinator and Chief Accident Investigator for our pilot's  
25 Union. I'm assisted today by Capt. John Gadzinski of the

1 Performance Group, Nick Enoch who is our counsel, Capt. Joe  
2 Eichelkraut who is the President of the Southwest Airlines  
3 Pilots Association, Capt. Jim Duffy, Systems Group, First  
4 Officer Chris Perkins who is on the Ops Group, and Capt. Larry  
5 Kline, Weather and ATC.

6 CHAIRMAN ROSENKER: Thank you very much.

7 For the City of Chicago?

8 COMMISSIONER FERNANDEZ: Good morning, Mr. Chairman.  
9 Nuria Fernandez, Commissioner for the Department of Aviation,  
10 City of Chicago. I'm here with my colleagues. To my right is  
11 Brad Madsen who is the counsel to the Airport, followed by  
12 Ramon Riccaondot, our Aviation Planner. We also have Al Perez  
13 who is the Assistant Commissioner for Operations at Midway  
14 Airport, Jim Szczesniak who is our Assistant Commissioner for  
15 Planning for the Department of Aviation and Alberto Rodriguez  
16 who is the Chief Operations Officer for Midway Airport. Thank  
17 you.

18 CHAIRMAN ROSENKER: Thank you.

19 And finally for the Boeing Commercial Airplane  
20 Company?

21 MR. SMITH: Good morning, Mr. Chairman. I'm Mark  
22 Smith from the Air Safety Investigation Group, at Boeing  
23 Seattle. I have with me at the table Rich Breuthaus, Director  
24 of Air Safety Investigation, Capt. Jim Ratley, Senior Technical  
25 Pilot for the 737, Bruce Dickerson, Senior Manager for our 737

1 Program, Mr. Bob Orłowski, Aerodynamic Performance Specialist  
2 for landing distances, and Mr. John Dillow, outside counsel.

3 CHAIRMAN ROSENKER: Thank you very much. Before I  
4 proceed, I would also like to recognize that one of my  
5 colleagues, Member Kitty Higgins, is here to observe the  
6 proceedings. She will be also at some time doing one of these  
7 hearings as well.

8 I want to thank publicly all of the private,  
9 municipal, county, state and federal agencies that have  
10 supported the Safety Board throughout the investigation.

11 On June 12, 2006, the Board of Inquiry held a pre-  
12 hearing conference at the Safety Board facilities. It was  
13 attended by the Safety Board's Technical Panel and  
14 representatives of the parties to this hearing. During that  
15 conference, the areas of inquiry and scope of issues to be  
16 explored at this hearing were delineated and the selection of  
17 witnesses to testify on these issues were finalized. Copies of  
18 the witness list developed at the pre-hearing conference are  
19 available in the foyer.

20 There are numerous exhibits that will be used in this  
21 proceeding. Copies of the exhibits may be ordered through our  
22 Public Inquiries Branch, and our phone number there, (202) 314-  
23 6551, and can be found on the Board's website at [www.nts.gov](http://www.nts.gov).

24 The witnesses testifying at this hearing have been  
25 selected because of their ability to provide the best available



1 information on the issues of aviation safety pertinent to this  
2 accident investigation.

3 The investigator in charge of the accident  
4 investigation will summarize certain facts about the accident,  
5 and the investigative activities that have taken place to date.

6 Following this, the first witness will be called.  
7 The witnesses will be questioned first by the Board's Technical  
8 Panel, then by the designated spokesperson for each party to  
9 the hearing, and finally by the Board of Inquiry.

10 As Chairman of the Board of Inquiry, I will be  
11 responsible for the conduct of the hearing. I will make all  
12 rulings on the admissibility of evidence. All such rulings  
13 will be final.

14 The record of the investigation, including the  
15 transcript of the hearing and all exhibits entered into the  
16 record, become part of the Safety Board's public docket on this  
17 accident and will be available for inspection at the Board's  
18 Washington Office. Anyone wishing to purchase the transcript,  
19 including parties to the investigation, should contact the  
20 Court Reporter directly.

21 Mr. Benzon, are you ready to summarize the  
22 investigation and enter the exhibits into the public document?

23 MR. BENZON: The exhibits were entered about 10  
24 minutes ago, sir, and I'm ready to summarize.

25 CHAIRMAN ROSENKER: Please take the witness stand and

1 proceed.

2 MR. BENZON: Will you bring up my presentation  
3 please?

4 On December 8, 2005, at about 19:14 Central Standard  
5 Time, Southwest Airlines Flight 1248, a Boeing 737, overran the  
6 runway, Runway 31C, at Chicago Midway Airport in Chicago,  
7 Illinois, during a landing rollout. The airplane departed the  
8 end of the runway, rolled through a blast fence, a perimeter  
9 fence, and onto a roadway. One automobile occupant was fatally  
10 injured. The airplane was substantially damaged. Instrument  
11 weather conditions prevailed at the time, and the flight was  
12 conducted under 14 C.F.R. Part 121.

13 The Safety Board was notified about the accident  
14 shortly after it occurred, and a team of investigators and  
15 other staff arrived on scene early the next morning. Former  
16 Board Member Engleman-Connors was the Board member on scene.

17 The weather at the time of the accident was not good.  
18 An approximate 200-foot ceiling existed, and the aircraft  
19 landed with an 8 to 9 knot tailwind. The temperature was 25  
20 degrees, steady snow was falling and the runway had last been  
21 cleared about 27 minutes prior to landing. At that time, 10  
22 percent of the runway was reported to be clear and wet while  
23 the remaining 90 percent was reported to have a trace to 1/16  
24 inch of snow.

25 A pilot report from a previous landing Boeing 737

1 indicated that fair to poor breaking action existed.

2           This photograph depicts Midway Airport. Midway  
3 occupies one square mile and the landing Runway 31C is 6,522  
4 feet long. Eyewitnesses and information from the flight data  
5 recorder indicated that Flight 1248 touched down within the  
6 normal touchdown zone at an air speed of about 125 knots. The  
7 circle indicates where the aircraft came to rest, just off  
8 airport property.

9           This is a close up photograph of the departure end of  
10 Runway 31C, showing the ground track of the aircraft, the metal  
11 blast fence, the instrument landing system antenna array, and  
12 the airport perimeter fence that the aircraft rolled through  
13 before it stopped in the street.

14           I would like to show you now an animation of the  
15 accident based on flight data recorder information, but first  
16 an explanation is in order using a couple of stills from that  
17 animation.

18           In the upper left-hand corner of this still, you will  
19 see crew comments and selected FDR items as they occurred  
20 during the landing. In the upper right corner, you'll see an  
21 indicator of brake pressure. A normal brake pressure for full  
22 autobrakes is 2800 psi. You'll see it quickly rise to that as  
23 the captain applied the brakes on landing. When he overrode  
24 the autobrakes, the pressure will jump to about 3,000 psi.

25           Now below the brake pressure indicator, you'll see a

1 thrust reverser status indicator. In transit status will be  
2 yellow wording, in this case, tran and it will change to DEP in  
3 red, deploy, when the thrust reversers are fully deployed.  
4 Below that on the right, you'll see an engine thrust  
5 indication, that's 0 to 100 percent thrust on the engine.  
6 Below that, you'll see a little number that indicates ground  
7 speed and lastly, at the far end of the runway, you'll see the  
8 blast fence in red.

9           During the first run through, I'm going to try to  
10 pause the animation several times to point out pertinent items.  
11 It's always encouraging.

12           Okay. Normal landing approach and he's going to  
13 touch down within the touchdown zone here. Here's the  
14 touchdown. You'll note the brake pressure coming up on the  
15 upper right, going at 2800 psi, spoilers are deployed, thrust  
16 reverses are going to transit here in a second, brake pressure  
17 is now at 3,000. Both thrust reversers are deployed but the  
18 thrust is still back around 25 percent. It's increasing, and  
19 he's about to go off the paved surface. He's got full thrust  
20 reverse on now. He's down to 155 knots, 145, he strikes the  
21 blast fence, and goes into the street.

22           CHAIRMAN ROSENKER: Mr. Benzon, you need to clarify,  
23 you stated the speed at the end of the runway was 150 knots.  
24 It was actually 50 knots I believe.

25           MR. BENZON: 50 knots, of course.

1           CHAIRMAN ROSENKER: Not the 100.

2           MR. BENZON: We'll play it one more time without my  
3 comments here.

4           (Pause while animation plays.)

5           CHAIRMAN ROSENKER: Mr. Benzon, if I could ask for a  
6 clarification also. It appeared at apparently 40 miles an hour  
7 is when it struck that barrier.

8           MR. BENZON: Okay. I have to do a little backing up  
9 here.

10           The next four photographs depict the aircraft during  
11 the passenger evacuation and shortly thereafter. Passengers  
12 evacuated out the forward emergency entry door via the escape  
13 slide and through the aft right emergency escape door once a  
14 mobile stairway arrived.

15           This photograph shows the aircraft on the morning  
16 after the accident. Please note the pieces of blast fence and  
17 antenna components in the foreground.

18           Prior to the landing, the flight crew computed their  
19 landing distance using an on-board performance computer.  
20 That's a laptop computer loaded with landing data software  
21 among other programs. After being told that the runway braking  
22 conditions were fair to poor by the crew of the B737 that  
23 landed before them, they entered a fair runway friction  
24 condition into the OPC. The computer calculated that they  
25 could stop the aircraft with 560 feet of pavement in front of

1 them. Had the crew used a poor entry into the OPC, it would  
2 have told them that they would have only 30 feet of pavement in  
3 front of them when they stopped.

4 The on-board performance computer stopping distance  
5 calculations take into account the slowing effect of engine  
6 thrust reverser use and the landing was also calculated to be  
7 using the autobrakes at their maximum setting.

8 Now to recap a bit, shortly after touchdown, the  
9 captain felt that the airplane was not decelerating properly  
10 and overrode the autobrakes with manual braking. He also  
11 stated that he had trouble lifting the reverse thrust levers.  
12 The thrust reversers were fully deployed by the First Officer  
13 18 seconds after touchdown, and the full effect of thrust  
14 reversers was not obtained until 27 seconds after touchdown.  
15 The aircraft departed the paved surface about 7 seconds later,  
16 again at a speed of about 40 knots.

17 Now several aircraft systems that aid in stopping a  
18 landing aircraft were examined by the Safety Board. No  
19 anomalies could be found in the wing flaps, the ground  
20 spoilers, auto and manual brake systems, the anti-skid system  
21 or thrust reverser actuation components.

22 Three main safety issues emerged from the  
23 investigation and all are topics of this public hearing, and  
24 they're as follows: the accuracy of dissemination of runway  
25 friction measurements, adequacy of safety areas, and lastly,

1 aircraft landing performance.

2           Specifically the runway friction measurement  
3 discussion will address the current state of the art for  
4 measuring of runway friction, the ongoing joint NASA, FAA,  
5 Transport Canada studies measuring equipment limitations,  
6 Midway Airport snow removal procedures, and the pilot's role in  
7 friction information dissemination.

8           Runway safety area topics will include the FAA Runway  
9 Safety Area Program, the FAA policy on runway safety area  
10 upgrading, a technical description of the Engineered Material  
11 Arresting System or EMAS, and EMAS development at Midway  
12 Airport.

13           Finally, concerning aircraft landing performance will  
14 be discussing the dispatch versus operational landing data,  
15 current and proposed provisions for a viable landing safety  
16 margin, findings of the FAA Safe Landing Distance Task Force,  
17 on-board performance computer use, and lastly, thrust reverser  
18 use.

19           Now as a result of this investigation, the Safety  
20 Board issued an urgent recommendation early on to the FAA to  
21 immediately prohibit the use of thrust reverser credit in  
22 landing calculations. We will be discussing the FAA response  
23 to this recommendation during this hearing.

24           Mr. Chairman, that concludes my review.

25           CHAIRMAN ROSENKER: Thank you, Mr. Benzon. Would you

1 come back or are you going to be swearing in the witnesses at  
2 that point right now. We'll call the first witness. You'll be  
3 flipping back and forth, given the fact you're both a member of  
4 the Technical Panel, the IIC and the Hearing Officer. So --

5 MR. BENZON: Can we call the following folks forward  
6 please? Mr. Angelo Boccanfuso, Transport Canada and, sir,  
7 you'll be the first presenter. Take the seat behind the laptop  
8 there. Mr. Tom Yager from the National Aeronautics and Space  
9 Administration, Mr. Rick Marinelli from the FAA, Mr. Paul  
10 Geisman from Boeing, and Mr. Bill DeGroh from Airline Pilots  
11 Association.

12 CHAIRMAN ROSENKER: Consider yourself sworn in and --  
13 excuse me, Mr. Benzon.

14 (Whereupon,

15 ANGELO BOCCANFUSO, TOM YAGER, RICK MARINELLI,

16 PAUL GEISMAN and BILL DeGROH

17 were called as witnesses, and having been first duly sworn, was  
18 examined and testified as follows:)

19 MR. BENZON: And, gentlemen, starting with  
20 Mr. Boccanfuso, could you just give us your name for the record  
21 and then an idea of what you do for your separate  
22 organizations.

23 MR. BOCCANFUSO: My name is Angelo Boccanfuso. I  
24 work with Ford Transport Canada in an agency called  
25 Transportation Development Center. The agency's role is to



1 coordinate R&D for Transport Canada's various modes. In my  
2 particular area, we coordinate research for the Civil Aviation  
3 Branch.

4 MR. BENZON: Mr. Yager?

5 MR. YAGER: My name is Tom Yager. I work at NASA  
6 Langley Research Center in Hampton, Virginia. I've been  
7 involved since the early sixties in looking at aircraft ground  
8 handling performance, and as a consequence of that work, I've  
9 gotten into runway friction measurements and contaminated  
10 runway performance.

11 MR. BENZON: Mr. Marinelli?

12 MR. MARINELLI: Rick Marinelli, the Manager of the  
13 Airport Engineering Division at FAA Headquarters. My  
14 responsibilities include standards for the geometric design,  
15 operation, construction, maintenance of airports.

16 MR. BENZON: Mr. Geisman?

17 MR. GEISMAN: Paul Geisman. I work in Flight  
18 Operations Engineering at the Boeing Company. I am the  
19 contaminated runway airplane performance focal point for that  
20 staff.

21 MR. BENZON: And, Mr. DeGroh?

22 CAPT. DeGROH: William DeGroh.

23 CHAIRMAN ROSENKER: Captain, we can't hear you.

24 CAPT. DeGROH: How's that? There we go. My name is  
25 Bill DeGroh. I'm representing the Airline Pilots Association

1 as the Director of Aircraft Performance Projects. I have an  
2 aerospace engineering degree and am a current line pilot.

3 MR. BENZON: Thank you, gentlemen.

4 CHAIRMAN ROSENKER: Thank you very much. I  
5 appreciate the opportunity to hear your qualifications and  
6 which provides the expertise to be able to testify for us in  
7 this case.

8 I understand each of you have a short presentation.  
9 Let's begin.

10 MR. BOCCANFUSO: Good morning, ladies and gentlemen.  
11 Before I begin, I'd just like to say that the Transportation  
12 Development Center, being an R&D organization, our mandate  
13 doesn't include writing standards or regulations. What I'll be  
14 speaking from is a purely research perspective.

15 The reason that Transport Canada got involved in  
16 friction research is because in Canada, we have an accident in  
17 Dryden, Ontario in 1989 whereby 23 people died in a Fokker 28.

18 As a result, a commission of inquiry was established.  
19 The investigation came up with 196 recommendations of which  
20 several were related to runway contamination. However, one in  
21 particular, Recommendation 44, which stated that Transport  
22 Canada find an accurate means of defining runway conditions and  
23 related to aircraft braking performance. Transport Canada's  
24 response to this was to establish a technical working group in  
25 1996, to deal with Recommendation 44.

1           We began test trials in North Bay, Ontario, with the  
2 cooperation of the FAA and NASA, and as interest grew in the  
3 program, and with the increased participation, we christened  
4 the program, the Joint Winter Runway Friction Measurement  
5 Program.

6           The objectives of the program were to determine the  
7 relationship between measured friction and aircraft braking  
8 performance, to correlate ground friction measuring devices  
9 when operating on a contaminated surface, and finally, to  
10 establish an international methodology whereby a common  
11 indication of runway conditions can be implemented worldwide.  
12 So in essence, we were pretty much where you are about 15, 20  
13 years ago.

14           In obtaining our objectives, we used the five phase  
15 approach whereby we first gathered data with ground vehicles,  
16 then with instrumented aircraft. We analyzed the data, looked  
17 at the correlation and then applied the knowledge gained  
18 leading us to verify the methodology, and our quest for a  
19 variety of contaminated surfaces, equipment and aircraft, we  
20 tested in various countries. In Canada, the U.S., Norway,  
21 Germany, Czech Republic, Japan and France. We had a variety of  
22 equipment, about 12 different friction testers in aircraft  
23 ranging from the FAA Boeing 727, NASA's Boeing 757, the 767  
24 used in Japan. There was a series of 767 flights that we  
25 collected data on. The Dornier 328 in Germany, A320 as well as

1 the Canadian Dash 8 and Falcon 20.

2           As our testing progressed, we gathered more data, and  
3 we disseminated our findings through international meetings.  
4 We had a total of three meetings which were attended by over  
5 150 delegates worldwide each time. We disseminated the  
6 information, reviewed program results, obtained the support,  
7 advice and recommendations from the participants. The  
8 participants represented over 12 countries and 30  
9 organizations. The last meeting was in Montreal in November  
10 2004 at ICAO Facilities. Results of the tests were presented,  
11 and we had a very lively panel discussion and what emerged from  
12 that meeting was general agreement that the science behind an  
13 international runway friction index was workable. However, the  
14 results of the research needed to be turned into useful and  
15 practical tools for all stakeholders.

16           Since 1996, the Joint Winter Program has provided a  
17 tremendous learning platform. Improvement in awareness with  
18 respect to friction equipment over the years has been a direct  
19 result of the program. Testing with equipment from various  
20 makes and manufacturers at different airports around the world  
21 has raised the level of awareness among operators.  
22 Manufacturers of this equipment have also come to realize that  
23 their equipment is not as reliable as they initially thought,  
24 and in Canada, due to our past airport infrastructure, we have  
25 been able to apply the program findings in a practical way.

1           Now based on the real test data, we have been able to  
2 raise the confidence of pilots and airport operators dealing  
3 with contaminated runways.

4           The program data has been compiled in a database  
5 that's available to the public which contains over 275 aircraft  
6 runs and 10,000 ground friction measurements. The database is  
7 unique since it's the most extensive worldwide comparing  
8 aircraft braking with ground friction vehicle measurements.

9           Also a lot of the surfaces in the database were  
10 unnatural conditions. So to reproduce it would be quite an  
11 achievement.

12           In Canada, ops guidance material has been improved as  
13 a result of the findings in the Joint Winter Runway Friction  
14 Program. We use a decelerometer to provide meaningful  
15 information to the pilot on the slipperiness of the runway.  
16 The readings are taken by this instrument that you see there on  
17 the slide, averaged and reported as the Canadian friction  
18 number. Basically this instrument is strapped to a truck and  
19 it goes up and down the runway and takes measurements every  
20 1,000 feet.

21           Airports throughout Canada are equipped with  
22 decelerometers. These devices are only used during wintertime  
23 and on the following surfaces: ice, frost, wet ice or ice  
24 covered with a thin film of water, sand, aggregate material,  
25 whenever anti-icing or deicing chemicals have been applied on

1 the runway, on compacted snow, loose snow not exceeding 2.5  
2 inches -- 1 inch, sorry, and on ice covered by slush.

3 Under certain conditions, the decelerometer readings  
4 may be inaccurate and therefore are not taken. So a CRFI is  
5 not provided to pilots when any of the following conditions are  
6 present: wet surfaces with no other contaminant, a slush layer  
7 with no other contaminant, when there's loose snow on the  
8 runway exceeding 1 inch in depth.

9 Once a CRFI number is taken, it is reported along  
10 with an overall description of the runway. This is taken by a  
11 trained airport operator, and the information is written down  
12 in an aircraft movement surface condition report. This report  
13 is sent to the tower which in turn is provided to the pilots  
14 through air traffic services or NOTAMS. Pilots also have their  
15 own reports of PIREP which are provided when available and  
16 indicate aircraft type and braking action.

17 This is a typical aircraft movement surface condition  
18 report. On the upper hand left corner, you have your CRFI  
19 number, and on the right you have your surface description with  
20 other information as well. The location of the contaminant is  
21 also included in the observation area. Typically during a pre-  
22 flight check, a NOTAM would be available, usually in Canada, we  
23 call it a NOTAMJ which describes the surface -- runway surface  
24 conditions only. Once airborne, the crew would get their  
25 information through ATIS. With rapid changing conditions, they

1 would get verbal updates through the tower on a continual  
2 basis.

3           As a result of the program, we've also refined  
4 landing distance tables that have been developed. The way CRFI  
5 is applied is that once a decel measurement is taken, that  
6 measurement under certain conditions can be used to predict how  
7 much landing distance an aircraft will need. These tables are  
8 intended to be used at the pilot's discretion.

9           Now aircraft manufacturers do provide data to address  
10 contaminated runways. However, this data doesn't relate  
11 aircraft braking -- friction to friction measurements. So  
12 therefore, if an operator chooses to override a manufacturer's  
13 data, that's their own individual choice. And if they don't,  
14 they can still use CRFI in order to provide a heads up to their  
15 pilots regardless of what the operator chooses to do. Here's  
16 an example of what a CRFI table looks like. Pilots use these  
17 tables in the following manner. Every aircraft has an aircraft  
18 flight manual. Landing distance on bare and dry runways are  
19 provides in these manuals. These manuals are aircraft  
20 specific. What the tables do is take the landing distance  
21 required on a bare and dry pavement, and provide additional  
22 landing length depending on what the CRFI number is. For  
23 example, the Southwest Aircraft at Midway which had an  
24 unfactored landing distance of 3,030 feet, on a bare and dry  
25 pavement would have needed 5,400 feet using thrust reversers if

1 the friction readings were .4. However, if the friction  
2 reading would have been .28, the landing distance would have  
3 been 5,970 feet. I'm just the .28 as a difference in what a  
4 friction value could mean in terms of runway length.

5 We also have a table with no use of thrust reversers.  
6 Now using that table, the landing length required would have  
7 been 5,980 feet with a .4 friction reading and 6,850 feet with  
8 a .28 friction reading. Therefore, these tables along with a  
9 description of what the surface condition is, gives the pilot a  
10 heads up of what to expect.

11 Part of the CRFI system is we also have this  
12 particular table which provides an indication of the range of  
13 CRFI values for certain surface conditions. It is not meant to  
14 be used to pick an approximately CRFI to calculate landing  
15 distance, and would likely give erroneous information if used  
16 for this purpose. If one was to use that table, then depending  
17 on the operator's plan and risk level, he may opt to choose  
18 CRFI numbers other than ones at the lower end of the scale. In  
19 other words, if a pilot -- an operator was going into an area  
20 that he's familiar with and for some reason didn't have a CRFI  
21 number or the decel device wasn't available or broken, they  
22 could estimate more or less, based on experience, what to  
23 expect in terms of CRFI based on the surface condition  
24 information that they would be provided.

25 For the Midway flight, the reported surface condition



1 range may have between .16 to .76, if there was less than 3  
2 millimeters of snow. Therefore, a reported value of .67 might  
3 have been within that range.

4           Until the aviation community adopts an international  
5 system, in Canada, we are very confident to use the CRFI, even  
6 though there are limitations such as operator technique.  
7 There's long runway occupancy times and the landing distance  
8 variation may vary depending on the sort of vehicle use, for  
9 example, if you're using a half-ton truck or three-quarter ton  
10 truck, if there's various decelerometer types, these may have a  
11 small effect on the landing distance.

12           We still think it's the cheapest method so far, and  
13 we do have test data supporting the findings for the use of it.

14           Although in Canada we use CRFI, in other countries  
15 such as Finland uses a similar method, the aviation community  
16 is still without a common indicator of friction. There are no  
17 local or international mechanism or bodies that monitor the  
18 ongoing equipment performance, and reporting and measuring  
19 procedures still vary from airport to airport and country to  
20 country. This is one of the things that we're trying to  
21 correct throughout our program since 1996.

22           Now if we are going to work towards an international  
23 method, there's various outstanding items that need to be  
24 addressed. We still need to make a final decision on IRFI,  
25 meaning International Runway Friction Index, a final decision

1 on a vehicle. In Canada, because of our airport  
2 infrastructure, we did use a diesel but if that is not utilized  
3 and something else is decided on, we still need to take that  
4 challenge on. We also need to harmonize and calibrate devices.  
5 We need to choose master and local device which need to be  
6 refined against the standard device. We need to establish  
7 procedures and guidelines to implement the IRFI worldwide, and  
8 also we need to establish a strong relationship between IRFI  
9 and the aircraft braking performance. Now we have done that  
10 with a diesel but if we choose, go ahead and once we have our  
11 international standard device, the landing distance tables need  
12 to be developed as well.

13           And also we need to make sure that whatever system is  
14 implemented, that new technology for evaluating runway surfaces  
15 could easily be incorporated in the future.

16           In order to accomplish this, we've been trying to get  
17 ICAO to have a working group on friction, and the Air Jones  
18 Operations Services Group has actually taken that on and will  
19 be deciding if a friction group is to be established early  
20 September. We do have a library of information that can be  
21 accessed and hopefully this friction group will be able to go  
22 into it and take whatever information is necessary.

23           Also, we need to provide industry with a continued  
24 campaign of information and presentations where required. A  
25 key element in the limitation of an international method is to

1 conduct workshops at airports, so that a practical and  
2 fundamental understanding of the key concepts can be grasped  
3 through sharing of problems amongst peers because one of the  
4 things we found when we did our testing from airport to  
5 airport, the fact that there was a variety of equipment being  
6 brought in from one side to the other, the airport operators  
7 came to a quick understanding of some of the problems and  
8 difficulties that they could encounter when using certain types  
9 of equipment.

10           And finally, if we are going to proceed, we do need a  
11 financial commitment to address the outstanding items.

12           On behalf of myself and all the people involved in  
13 the Joint Winter Runway Friction Program, I want to thank NTSB  
14 and the people at this committee. Thank you.

15           CHAIRMAN ROSENKER: Thank you very much. Mr. Yager?

16           MR. BENZON: It might be better if you gents just  
17 switch seats there. We don't want to mess up the cords there.

18           MR. YAGER: Good morning, ladies and gentlemen.  
19 Again, my name is Tom Yager from NASA Langley Research Center.  
20 NASA Langley as well as the FAA has joined with our partner,  
21 Transport Canada, in this Joint Winter Runway Friction Program  
22 that got started in 1996 and is scheduled right now on paper to  
23 end in December of this year, and I'm hopeful that we'll be  
24 able to get support to continue this effort.

25           This is our logo. We've got several international

1 organizations involved in the program as Angelo mentioned, and  
2 over the 10 years, approximately 40 different organizations  
3 that participated.

4           Some of the test aircraft that we've looked at, the  
5 Falcon 20 on the upper left, the Dash 8 on the upper right, the  
6 727-100 from the FAA in the middle, the 737-100 on the lower  
7 left, and the 757-100 on the lower right side of the chart.  
8 These airplanes together with five others have been able to  
9 collect data under just manual braking conditions on a variety  
10 of winter runway conditions, including wet runway conditions.

11           Some of the ground test vehicles that we've looked at  
12 are shown here. The instrumented tire test vehicle and the  
13 diagonal brake vehicle are operated by NASA Langley. The  
14 electronic recording decelerometer vehicle on the upper right  
15 is a vehicle operated by Transport Canada with the  
16 decelerometer on board to give them the CRFI measurements.  
17 We've got a FAA van in the lower left side of the chart, an  
18 airport surface friction tester in the middle and a surface  
19 friction tester operated by Transport Canada in the lower  
20 right.

21           Each of these vehicles in their test procedure  
22 operate with different tires, with different braking systems,  
23 and normally at the same speed. And, for instance, the  
24 electronic recording decelerometer device as well as the  
25 diagonal brake vehicle operate under locked wheel conditions or

1 100 percent slip, whereas the runway friction tester, the  
2 airport surface friction tester and the surface friction tester  
3 on the lower right, they operate on what we call the front side  
4 of the Mu-slip curve. By slip ratio or slip, I mean a 0  
5 percent slip, the tire is free rolling. At locked wheel  
6 conditions is at 100 percent slip. And these devices along  
7 with the trailer devices operate normally between 15 and 20  
8 percent slip.

9           Now your airplane automatic braking system will try  
10 and seek that same percentage when it's being activated on an  
11 airplane but, of course, airplane tires and ground vehicle  
12 tires have some major differences that through the use of the  
13 data that we've collected in this program, we have been able to  
14 harmonize the values of the different ground vehicle devices  
15 based on tire tread design, inflation pressure and speed, and  
16 then from that harmonization, come up with this International  
17 Runway Friction Index, and it's this International Runway  
18 Friction Index that we're comparing to the airplane braking --  
19 effective braking friction coefficient. We're not comparing it  
20 to the airplane stopping distance when combined with reverse  
21 thrust.

22           This is a chart here indicating on the left-hand side  
23 of the aircraft, effective Mu values and on the lower,  
24 horizontal axis, the IRFI values, the International Runway  
25 Friction Index. And it shows data that we've collected from

1 five different airplanes, the 737-100, 727-100, the Dash 8, the  
2 Boeing 757-100 and the F20 Falcon Jet.

3           You can see the agreement between aircraft Mu as  
4 measured under a variety of winter runway conditions, does have  
5 a fairly good agreement with the IRFI measurement.

6           We've come up with a table of operational ground  
7 vehicle friction levels. I admit this is hard to read but  
8 basically based on a friction rating of good, fair, poor, we've  
9 listed 12 different devices that give measurements in that  
10 range of friction reading, and for the decelerometer readings,  
11 a good reading would be .53 or above, fair would be .37 to .53,  
12 and poor would be equal to or less than .36.

13           Locked wheel devices, give somewhat lower numbers and  
14 the vehicles that operate between 15 and 20 percent slip gives  
15 somewhat higher numbers.

16           A lot depends, you read the notes, on the type of  
17 tire you're using, whether it be a smooth tread or a tire that  
18 has circumferential grooves in it or a tread pattern and, of  
19 course, inflation pressure plays a role in the amount of  
20 friction that can be developed between the tire and the winter  
21 contaminated surface.

22           Angelo went into this, the statistics for the program  
23 and we have established the Canadian and International Runway  
24 Friction Indexes. The International Runway Friction Index is  
25 now in an ASTM E.17 standard in their Volume 04.03, and we're

1 continuing to upgrade that standard through the committee task  
2 group work. We just had a meeting May 20th over in  
3 Chincoteague, Virginia, where we're going to try and update not  
4 only the International Runway Friction Index but also our  
5 standard on the use of decelerometers on vehicles with and  
6 without anti-skid braking. The anti-skid braking on ground  
7 vehicles does play a role in the value measured by these  
8 decelerometer devices.

9           Runway surface friction evaluations over the years  
10 have shown us that the friction coefficient versus speed, the  
11 slope of that curve is a function of the macrotexture or the  
12 heavy texture on the pavement surface, whereas the magnitude or  
13 the value of the friction coefficient is a function of the  
14 microtexture and, of course, if you have several inches of snow  
15 and ice on a given runway surface, whether it be grooved or  
16 porous friction, porous, it doesn't matter. If the tire cannot  
17 see that friction, it won't develop the level of friction  
18 necessary or what would be expected on a bare, wet pavement.

19           This is the current friction level classification for  
20 the variety of continuous friction measuring devices that are  
21 available to airport operators, and you can see that at 40  
22 miles per hour, you get higher values than you do at 60 miles  
23 per hour, or the limits are higher, and that's simply due to  
24 the fact that speed does play a role in the magnitude of the  
25 friction that's developed between the tire and the pavement.

1           This chart on functional ground vehicle friction  
2 levels is put together on a -- level basis, the conception  
3 level, the maintenance level and the minimum level, and again,  
4 ground speed at 65 kilometers per hour or 40 miles per hour and  
5 95 kilometers per hours or 60 miles per hour, is indicated for  
6 8 different devices here including the locked wheel devices and  
7 the surface friction tester devices. And, the French trailer  
8 device, the IMAG unit on the far right, is being considered as  
9 a reference vehicle right now, although that decision has yet  
10 to be made. It's operated by the French Aviation Organization  
11 over in France, and it's been involved in our Joint Winter  
12 Runway Friction Program since we started the program.

13           Bottom line, there are many different factors that  
14 influence aircraft ground handling performance, no doubt about  
15 it, not only the airplane, the aircrew, but the runway surface  
16 itself and the conditions, and some of these same variables  
17 affect the ground vehicle friction measurements, and a  
18 measurement taken during a snowstorm at 10:00 in the morning  
19 could be entirely different at 10:15 in the morning due to  
20 changing weather conditions.

21           The variables that I've identified in this chart, of  
22 course, number one is operator. We need to properly train the  
23 operators of these devices so that measurements taken at  
24 Chicago Midway can be comparable to measurements taken at New  
25 York Kennedy Airport with the same equipment.



1           We've started an effort, and we've gotten the  
2 Congressional funding to implement establishing calibration  
3 centers around the country to properly calibrate these runway  
4 friction testers and their operators on a yearly basis, and  
5 we're hoping to get the first one started in Tampa, Florida,  
6 later on this year.

7           Test procedures is another question that needs to be  
8 addressed not only through the ASTM Committee, but also through  
9 FAA as to how these continuous friction measuring vehicles  
10 should be operated at each and every airport facility.

11           Runway conditions vary, braking methods vary, and  
12 compliance to existing standards are issues that continue to  
13 make the measurements more variable than what they should be.  
14 And, of course, in our data collection during the Joint Winter  
15 Runway Friction Program, we kept track of these variables and  
16 could discern how they affected the data and make rational  
17 judgments on how to take the friction measurement and convert  
18 it into an International Runway Friction Index.

19           As Angelo mentioned, we still have work to do. We  
20 want to get more data on wide-bodied airplanes and we would  
21 like to continue the Joint Winter Runway Friction Program past  
22 the December ending timeframe which has been established by the  
23 current paperwork.

24           Anyhow, with that being said, I'll turn it over to  
25 the next speaker.

1           CHAIRMAN ROSENKER: Thank you very much, Mr. Yager.  
2 Mr. Marinelli.

3           MR. MARINELLI: Thank you. I'm going to try to go  
4 through this as quickly as I can. I'm going to try to avoid  
5 repeating a lot of the material that Mr. Boccanfuso and  
6 Mr. Yager have already presented.

7           As they said, research started in the sixties. FAA  
8 has been involved in that since the very beginning. At that  
9 time, those early studies found no direct relation with  
10 aircraft performance but found we could use runway friction  
11 tests for maintenance purposes such as rubber deposits and  
12 their scheduled removal.

13           In 1982, World Airways Flight 30 went off the runway  
14 at Boston, and NTSB issued some recommendations as a result of  
15 that, basically that we should be looking for a method of  
16 disseminating runway friction information to pilots.  
17 Subsequently, Tower Air Flight 41 in 1995, NTSB pretty much  
18 reiterated a similar recommendation.

19           Back in the early nineties, FAA formed a Winter  
20 Runway Friction Measurement Reporting Working Group consisting  
21 of the associations here, and in 1995, that group issued a  
22 report summarizing the history of runway friction measurement,  
23 noted Transport Canada systems, and found, and this is a  
24 critical point that all FAA approved continued restriction  
25 measuring equipment and decelerometers produced statistically

1 equal measuring values basically when the Mu reading was below  
2 40. That conventional wisdom has changed since then, and I'll  
3 go into that a little bit later.

4           Some of the recommendations of that group report were  
5 to airports to conduct and report friction measurements,  
6 improve our guidance fund friction measurement devices for  
7 airports, continue research and to form a group to develop  
8 operational criteria, and that group is the Joint Winter Runway  
9 Friction Measurement Program that you've heard described.

10           Our response to those recommendations were to, in  
11 certain -- guidance, the fact that it was necessary to report  
12 the type of runway fixture measuring device because again the  
13 conventional wisdom said that they all read the same at the  
14 numbers below 40. We did make friction measuring equipment  
15 eligible for federal funding, and FAA through the FAA Technical  
16 Center acquired a fleet of runway friction testing equipment to  
17 participate in that joint program.

18           Our current guidance includes two advisory circulars,  
19 one on measurement of skid resistant airport pavement services,  
20 that lists the approved continuous friction measuring  
21 equipment, and our advisory circular on airport winter safety  
22 and operations which not only lists approved decelerometers but  
23 provides guidance for airports on conducting friction tests.  
24 The limits for conducting those tests are the same for all  
25 approved equipment, loose snow up to 1 inch, and slush up to

1 1/8 of an inch.

2           Now we presently do support the use of friction tests  
3 for both maintenance and operational purposes. We do feel that  
4 mu readings are less subjective than braking action reports but  
5 the numbers are merely one extra data point for a pilot to use  
6 in his decision making.

7           Benefits of continuous friction measuring equipment  
8 are that it provides a continuous trace of the runway length  
9 and it is a much shorter test in time than decelerometers, and  
10 here I have the list of the approved continuous friction  
11 measuring equipment by FAA. Decelerometers provide spot  
12 readings and those spot readings will generally be taken on  
13 contaminated areas. So if you have patchy conditions, you'd  
14 normally get a conservative reading. As I said, the runway  
15 test will take longer, and we have the four FAA approved  
16 devices.

17           I was asked to address the question of deicing fluids  
18 and how they affect the runway friction. The fact is that any  
19 fluid poured on ice will decrease the friction but the proper  
20 use of deicing fluids would require mechanical removal and at  
21 that point, just the deicing fluid on the runway should be  
22 really no worse than a wet runway condition.

23           Our guidance for transmitting information from the  
24 airport to the tower to the pilot are contained in these  
25 advisory circulars. I won't read them off to you but -- and

1 the FAA orders that speak to how the information is transmitted  
2 to the pilots through both ATIS and through reading on a  
3 request. And pilots are provided information in the  
4 aeronautical information manual.

5 Our involvement in the Joint Winter Runway Friction  
6 Measurement Program includes providing equipment and personnel  
7 for the testing program. We sponsored a membership of an  
8 engineer to the committee E.17 that Mr. Yager spoke about  
9 earlier. We participate in the international meeting on  
10 performance of aircraft on contaminated runways as  
11 Mr. Boccanfuso mentioned earlier, and we co-chair the R&D  
12 Committee at the American Association of Airport Executives,  
13 Northeast Chapter, no symposium.

14 Recent developments in friction testing show that, in  
15 fact, the friction testers do not all provide equal readings,  
16 and that is the genesis of the IRFI. We had to revise our  
17 advisory circular to identify the type of friction tester and  
18 provide that information to the pilot in addition to the  
19 numbers. And the ASTM Committee did accept the task to develop  
20 IRFI and subsequently the AFI which would relate aircraft  
21 braking performance to IRFI.

22 Some issues that we have with the IRFI, it says  
23 specifically within it, the standard does not address the  
24 braking performance of an aircraft. It can be used by airport  
25 personnel to monitor their snow removal operations. We're not

1 sure of what the accuracy for unknown conditions such as mixed  
2 contaminants on the runway. It does require an extensive  
3 calibration network consisting of the benchmark or reference  
4 device that was spoken about earlier, and it really hasn't been  
5 decided on yet. It would have to be multiple regional devices,  
6 so-called master devices, that would be harmonized with the  
7 reference device and then local devices that would be  
8 harmonized with the regional devices.

9           And finally, all equipment would have to be  
10 recalibrated on a periodic basis which the IRFI calls the time  
11 stability of the devices which has so far not been established.

12           I believe this was in 2004 that FAA wrote its  
13 response to NTSB's recommendation. I won't read these quotes,  
14 but basically said that we don't believe the IRFI is practical  
15 for deployment at U.S. airports and NTSB accepted that as  
16 closed and reconsidered. Regardless, we do continue to monitor  
17 and support the efforts. We support the Joint Winter Friction  
18 Measuring Program and will continue to do so. Our goal is to  
19 provide information to pilots, the best information that we  
20 can.

21           Our Technical Center is not conducting any  
22 independent research right now. We believe that the existing  
23 international effort is the way to address this.

24           And finally, I will note that there has been some  
25 mounting interest in the use of data from landing aircraft

1 being passed along to subsequent aircraft.

2 We will adopt any practical changes that come along  
3 that will provide better information to pilots, and I will note  
4 that the preliminary information from the Southwest 1248  
5 accident pretty much supports our position on runway friction  
6 measurement in that I understand the numbers were of such a  
7 value that it would have indicated adequate runway to the  
8 pilot. And that concludes my presentation. Thank you.

9 CHAIRMAN ROSENKER: Thank you very much.

10 Mr. Geisman.

11 MR. GEISMAN: Thank you, Mr. Chairman. Good morning.  
12 My name is Paul Geisman, and I work at Boeing Flight Operations  
13 Engineering.

14 Before I start, I want to note that I will primarily  
15 read from notes to insure accuracy during my presentation.

16 I was asked to participate in this panel on methods  
17 and accuracy of runway condition reporting and the relationship  
18 to airplane performance. There are three methods of reporting  
19 runway conditions. Method 1, as listed here, is airplane  
20 braking action reports. Method 2 is a description of the  
21 runway surface as observed. And, Method 3 is a measurement of  
22 runway friction by the device designed for this purpose.

23 Each of these methods of reporting runway condition  
24 have limitations on the accuracy associated with it. I will  
25 provide information on that accuracy looking at it from the

1 perspective of the airplane stopping performance.

2           The first method I will address are braking action  
3 reports. Braking action reports are subjective evaluations of  
4 the available braking action as perceived by the flight crew.  
5 Descriptive terms such as good or poor are used. These are  
6 typically reported to ATC following the landing. ATC then  
7 reports them to approaching airplanes and other interested  
8 parties such as the airport management and airline operations.  
9 An example of a report would be braking action good for the  
10 first time or for the second time.

11           The second method is runway description of field  
12 reports. This is a description of the observed runway --  
13 Terms such as snow and ice are used. If appropriate, a depth  
14 would be included. These reports are obtained by the airport  
15 management and they are warranted by the conditions and they  
16 are typically reported by an automatic terminal information  
17 system which -- An example of a runway description would be  
18 90 percent of the runway is covered with a trace of, 1/16 inch  
19 of wet snow, 10 percent termed wet, snow removal -- .

20           The third method, runway friction reports, are  
21 quantitative measurement of runway surface -- measuring  
22 equipment. This is done by airport management when deemed  
23 necessary. This information is typically reported -- runway.  
24 The measurements are recorded in whole number such as 72, 59,  
25 68, and it may include an average. These are included --



1 necessary.

2           In this example, ice is the contaminant -- excuse me.  
3 An example of the friction report is runway 27, mu 42, 41, 28,  
4 at 018Z ice. In this example, ice is the contaminant that is  
5 the reason for the friction report. Mu is the Greek letter  
6 that is used as a symbol for friction and 018Z is the time of  
7 the measurement.

8           I will now show the runway condition reporting  
9 methods pictorially. Method one is a pilot evaluation of the  
10 airplane braking capability at the time of the landing. There  
11 are two standards for reporting this airplane braking action.  
12 One is from the International Civil Aviation Organization, and  
13 the other is reflected in FAA and Transport Canada material.  
14 The important point is airplane stopping performance is being  
15 described at the time of the landing.

16           At Boeing, we provide advisory landing distance  
17 information in the quick reference handbook which is related to  
18 braking action. We provide this information for braking  
19 actions of good, medium and poor. The other two methods of  
20 reporting are descriptions of the runway, one an observation  
21 and the other a measurement. These are accomplished at a point  
22 in time and do not account for rapidly changing conditions. A  
23 friction report can only be taken when an airplane operation  
24 has been suspended.

25           I will now address the accuracy of the three methods

1 of runway condition reporting, starting with what I have  
2 labeled as method one, airplane braking action. As noted  
3 earlier, the braking action is a subjective evaluation of the  
4 airplane stopping capability by the flight crew. This can be  
5 influenced by the type of airplane being flown, how the  
6 airplane was flown, the flight crew experience and other  
7 factors.

8           The following is an example of an attempt to quantify  
9 the accuracy of the braking action. If the flight crew reports  
10 the braking action to be good, but the actual conditions are  
11 more like medium, the required stopping distance will be  
12 increased by approximately 1300 feet. If the flight crew  
13 reports the braking action to be medium, but the actual  
14 conditions are more like poor, the required stopping distance  
15 will increase by approximately 1500 feet.

16           Now let's take a look at the accuracy of a field  
17 report of what I have labeled as method two, the runway  
18 description. This data presented is based on an evaluation of  
19 compact snow and ice data as reported in the 2004 Joint Winter  
20 Friction Test Program database which was compiled by NASA and  
21 Transport Canada. An evaluation of the accuracy based on the  
22 airplane data in this study shows that for a simple verbal  
23 description of compact snow, the variability of airplane  
24 stopping distance could be up to 1,000 feet. For a simple  
25 verbal description of ice, the variability in airplane stopping

1 distance could be up to 2,000 feet.

2           The Boeing QRH advisory data labeled as braking  
3 action medium is on the conservative side for compact snow.  
4 The Boeing QRH advisory data labeled as braking action poor is  
5 on the conservative side for a generic ice description. This  
6 Boeing QRH advisory data will be discussed in more detail in  
7 later testimony.

8           This brings us to method three, that is runway  
9 friction reports. These are measurements of the runway  
10 friction as measured by a vehicle or a towed device. As you  
11 have seen, NASA and Transport Canada have done much work  
12 attempting to relate these friction measuring vehicles to each  
13 other and to the airplane stopping performance. To date, there  
14 is not a universally agreed upon relationship between the  
15 runway friction as measured by these devices and the airplane  
16 stopping performance.

17           Another issue that comes with runway friction reports  
18 is time. During airport operations, the conditions may be  
19 changing quickly with time. For example, additional snow  
20 accumulation may change the runway friction characteristics, a  
21 rise in temperature or direct sunlight may change the friction  
22 characteristics of ice, as may additional traffic. Therefore,  
23 when using friction reports, the user needs to be aware of when  
24 it was taken and what the conditions at the airport were at the  
25 time the friction measurement was taken.

1 I'm now going to present the runway condition  
2 reporting derived from the airport survival factors group  
3 factual report, the ATC factual report and the aircraft  
4 performance group study for December 8 of 2005 at Midway.

5 The time on the horizontal axis is referenced to the  
6 time of the accident. I'm going to present the events that  
7 occurred after the runway had been cleaned, approximately 30  
8 minutes before the accident. The vertical axis in this  
9 presentation is braking action. A friction test was  
10 accomplished shortly after the runway had been cleaned. This  
11 friction test indicated the level of friction available in the  
12 good to dry range. Shortly after this friction test, flight  
13 operations restarted and pilots reports of braking action were  
14 furnished to ATC. The first report was fair. This was  
15 followed by a report of fair, and it's poor at the end. The  
16 next airplane did not provide a braking action report. The  
17 following airplane reported braking action at the far end of  
18 the runway is poor and after a flight delay, they also reported  
19 good first half of 31C, poor the second half. There was no  
20 report for the next airplane. A citation reported it's poor  
21 right now. Finally, a Goldstream reported fair to poor.

22 Following the accident, another friction test was  
23 conducted. This measurement showed a degradation from the  
24 initial test, about 40 minutes earlier. This is not surprising  
25 as the conditions were changing.

1           Finally, I will add to this charge an evaluation of  
2 the airplane braking characteristics as determined from the  
3 flight data recorder information, from the 737s that landed at  
4 Midway in this time period. This data is based on an  
5 evaluation of the aircraft performance group study and shows  
6 the changing airplane performance as the runway conditions were  
7 changing. This information demonstrates the difficult issues  
8 that are associated with operation on slippery runways, not the  
9 least of which is the effect of time on the available runway  
10 friction and therefore on the airplane's stopping performance.

11           In summary, I have provided a high level review of  
12 the three methods of reporting runway conditions and some of  
13 the limitations on the accuracy associated with these three  
14 methods. Thank you for your attention.

15           CHAIRMAN ROSENKER: Thank you very much, Mr. Geisman.  
16 Captain DeGroh? Upon completion of Captain DeGroh's  
17 presentation, we'll turn it over to the Technical Panel for  
18 questions.

19           CAPT. DeGROH: Thank you, Mr. Chairman. Contaminated  
20 runway issues from the pilot's point of view, I'll try to keep  
21 it kind of brief because a lot of what I wanted to talk about  
22 has been touched on by the other panelists. But contaminated  
23 runways continue to be problematic for landing and takeoff.  
24 Each winter, crews are faced with problems of less than optimal  
25 runway clearing, untimely reports, runway condition reports

1 that don't reflect the actual conditions existing on the  
2 runway, in many cases, the lack of performance information  
3 available to the crew for operations on contaminated runways.

4           Effectively mitigating the hazards posed by  
5 contaminated runways is a system safety problem. The puzzle  
6 has a number of elements, some of which are airport surface  
7 assessment reporting, aircraft performance and some --  
8 guidance. Much of this panel is focused on the surface  
9 assessment and reporting. Some of my discussion topics have  
10 been a little bit addressed here by the previous panel. So  
11 I'll try to keep it brief.

12           I was going to talk a little bit about surface  
13 assessment reporting, some additional remarks on aircraft  
14 performance and airports and some final thoughts.

15           What's contaminated? Various terms are used to  
16 describe things that aren't supposed to be on the runway, and  
17 it varies. For my discussion, a dry runway is going to be  
18 considered neither wet nor contaminated. A wet runway is one  
19 on which the water depth is no more than 3 millimeters and  
20 contaminated more than 25 percent of the required field length  
21 covered by a water depth exceeding 3 millimeters or any depth  
22 of slush, snow, ice or other friction degrading substances.

23           Why is it a problem? I think we all understand that.  
24 It decreases the aircraft's stopping ability for landing for  
25 sure, and also it must be considered for the takeoff, the

1 potential for rejected takeoff. Loose material will degrade  
2 the aircraft acceleration on takeoff causing the V1 speed to be  
3 further down the runway, reducing screen height and reducing  
4 the runway available in the case of a rejected takeoff.

5           Surface assessments, Paul talked about three methods  
6 of surface assessments, and the pilots are familiar with them,  
7 braking action advisories, friction measurements and  
8 contaminate type and depth. I think many pilots are most  
9 familiar with braking action advisories, something that we  
10 started off learning about. The U.S. terms include good, fair,  
11 poor and nil, and the ICAO terms are listed in that second  
12 bullet, slightly different than the U.S. terms, and because of  
13 the variability or the subjectivity of these assessments,  
14 perhaps a unified system of terms would be useful.

15           Because it's a subjective assessment that's made by  
16 the pilot based on how he feels the airplane is decelerating,  
17 it's going to vary from pilot to pilot, from aircraft to  
18 aircraft. A pilot that's based in Miami flying up to Detroit  
19 in the winter will probably report a significantly different  
20 braking action report than a pilot who is based at that airport  
21 in Detroit. There's a lack of defined criteria to assist  
22 pilots in choosing the most appropriate term. The aeronautical  
23 manual does include information and guidance for pilots on  
24 characterizing icing intensities and turbulence intensities but  
25 there is no such equivalent for braking action advisories.

1           The relation to aircraft performance I think was  
2 touched on a little bit in that this is kind of a big bullet in  
3 that how do you relate this stuff to the aircraft performance.  
4 If the crew is provided with advisory data, provided by the  
5 manufacturer through their company, that information is  
6 oftentimes given in terms of braking action and surface  
7 condition, but we must remember that many crews do not have  
8 even this advisory information because the U.S. regulations  
9 currently don't require it. Under European Aviation Safety  
10 Regulations, advisory or guidance material for operations on  
11 contaminated runways are required to be provided to the crew  
12 and used by the operator, but that equivalent requirement  
13 doesn't exist in the U.S. So many crews don't have the  
14 information, which they need to make an assessment of the  
15 adequacy of the runway.

16           The other, sort of the downside with braking action  
17 advisories is that it requires a test subject. Somebody's  
18 actually got to land on that runway and make the assessment,  
19 and it may be your unlucky day.

20           The second method mentioned was friction index and  
21 lots of information presented by the panelists here regarding  
22 friction index. We need to boil it down so a pilot can  
23 understand it and use it. The International Runway Friction  
24 Index is one way to go. Unfortunately, we don't see it. We  
25 don't have it in our hands right now for the pilots to use it,



1 and there is limitations as was mentioned with respect to these  
2 friction measurement devices. The FAA in the airport winter  
3 ops, safety and winter operations advisory circular basically  
4 says that runway friction measurement equipment's unreliable in  
5 more than 3 millimeters of wet snow or more than an inch of dry  
6 snow. These are conditions for which we need the information,  
7 and it doesn't exist for us to use it. And because of that  
8 unreliability, I think the manufacturers are reluctant to try  
9 to tie aircraft performance to these values.

10           Friction index oftentimes is taken at face value by  
11 many pilots. I remember when I started off, my first report of  
12 seeing a friction value, well, what do I do with this? I have  
13 no information available to me to give me guidance how to use  
14 that information. So consequently crews are not given that  
15 information as a function of the friction measurement, and so  
16 don't have a direct perhaps use for the friction index. So  
17 what do I end up doing? I go to a table that many operators  
18 provide their crews which attempts to relate braking action and  
19 runway friction coefficient, and I'll try to find it and put it  
20 in terms that I'm used to seeing, and that's the braking  
21 action.

22           These particular tables came from the ICAO NX14. The  
23 problem with it, and I think many pilots understand this, too,  
24 is that there's some questionable relationship here because  
25 we're talking about a runway friction which we think of as a

1 measurement being compared to a braking action which is a  
2 subjective assessment, but for many of us, that's all we have  
3 to go by.

4           Angelo talked about the medium runway friction index.  
5 What a great system. When we first -- when I first heard about  
6 it, I thought it was a wonderful way to go especially since  
7 it's based on aircraft testing in winter conditions, not  
8 advisory data that's calculated but backed up and substantiated  
9 by actual aircraft testing. It's simple to use, a simple look  
10 up table, and pilots have told me numerous times whatever we  
11 come up needs to be simple to use because they have lots of  
12 other things going on in the cockpit to have their head down  
13 into some spaghetti chart trying to determine the runway length  
14 requirements.

15           What's interesting is that the Canadians have this,  
16 and many U.S. pilots are aware of what CRFI stands for, what it  
17 means but in their operations manuals, they're not provided  
18 with the tables. So it sort of renders the CRFI value somewhat  
19 useless to a U.S. pilot perhaps because the CRFI values are  
20 really only used up in Canada, and, and that same system is not  
21 down here in the States.

22           Angelo already showed an example of the CRFI table  
23 but CRFI is not the entire answer. It's a step in the right  
24 direction. It's only an average value for the entire runway.  
25 Canadian pilots have expressed an interest to have CRFI

1 expressed in thirds of a runway, the touchdown zone, mid and  
2 roll out ends, as a better idea of what the runway conditions  
3 really are, and again it suffers from the same and similar  
4 limitations of the -- that the FAA pointed out in their winter  
5 ops guide. Not applicable for takeoff is another limitation,  
6 but it is a step in the right direction.

7           And Paul mentioned surface contaminant type and  
8 depth. That's the third way. I've seen with respect to going  
9 back to the friction measurements, Tom talked about the  
10 variability and repeatability issue. I remember seeing some, I  
11 think it was sort of raw data of friction measuring device  
12 being run down the test surface 24 times and the average  
13 difference in friction value during those 24 runs was a .18.  
14 That's basically you can take that device, run it down that  
15 surface and return a value of .4, which if you look at the ICAO  
16 table is equivalent to a good. You run the device again and  
17 you might return a value of .22 which comes out to be poor. So  
18 there is some issues with repeatability that hopefully the  
19 International Runway Friction Index would take care of but in  
20 the meantime, perhaps assessing runway conditions in terms of  
21 contaminant type and depth and relating that to aircraft  
22 performance through perhaps entertaining the thought of  
23 actually testing the airplane in those conditions, that our  
24 limitations for the use of the runway friction measurement  
25 equipment, typically the deeper depths of snow and perhaps

1 slush, to sort of fill in the gap.

2           As a reminder, aircraft testing is not required on  
3 anything but dry runways. Dry runway data is what's in the  
4 certified data for the certification requirements for the  
5 airplane but there is no requirement to go ahead and actually  
6 test for landing on a wet runway.

7           Sources of reporting information, runway surface  
8 information include Automatic Terminal Information Service, air  
9 traffic control, dispatch, flight service and other pilots. We  
10 talked a little bit about the NOTAM system, notice to airman.  
11 That's a wonderful system. It has great use for lots of  
12 information that we need especially before we depart but the  
13 problem with it is that it tells the pilot what was and not  
14 necessarily what is especially when we're talking about runway  
15 conditions and rapidly changing precipitation events.

16           Runway surface condition reports need to be  
17 standardized, accurate and timely. Some problem areas that  
18 pilots have reported are reports that over an hour old, reports  
19 that don't reflect the actual conditions on the runway or poor  
20 communication between the airport personnel and ATC. Examples  
21 of pilots calling ATC for a runway surface condition report and  
22 ATC saying, well, we don't have any of that information. That  
23 points to a problem in the communication process. And runway  
24 surface condition reports for non-tower reports. I mean this  
25 problem is not just for large airplanes at major hub airports.

1 It also includes the small regional jets and regional aircraft  
2 that fly to the smaller outstations, and it becomes a little  
3 bit more of a problem at those places.

4           Some of the things pilots like to see, this is not an  
5 endorsement for this thing. I think many pilots would rather  
6 not have more coded information but the idea here is that the  
7 pilots would like to see the time of the observation. They'd  
8 like to see the type of contaminant on each third of the  
9 runway, the depth of that contaminant on each third, the runway  
10 friction value for each third, and then also it would be useful  
11 for the pilot to know when was the last time the runway was  
12 cleaned and when is the next time it's expected to be cleaned  
13 or maintained.

14           Some brief, real brief remarks, I'll try to keep it  
15 short, regarding performance. Emphasis here is being placed on  
16 the landing problem but for every flight there's a takeoff, and  
17 contaminant runway takeoffs arguably can be more critical. The  
18 aircraft is heavy with fuel. Acceleration is impeded reducing  
19 screen height and projected takeoffs, has the same issues as  
20 the landing but with much less runway available to stop.

21           A landing is required on every flight. RTOs don't  
22 happen that often due to the very good reliability with the  
23 aircraft. But with the landing, there's a risk exposure that  
24 perhaps exceeds that RTO but again it's a system safety  
25 problem, and it needs to be addressed across the board.

1           Airports, runway clearing is impacted by ops tempo.  
2   Basically it's going to require shutting the runway down and  
3   with a high arrival rates and departures, that becomes a very  
4   significant problem for airports to tackle. Contaminants can  
5   obscure the touchdown zone markings, including the runway  
6   center line markings which may make line up of the aircraft  
7   difficult and give the pilot a little bit more difficulty in  
8   determining his actual touchdown point or detecting errors  
9   where that touchdown point may be. The other problem area is  
10  the conditions vary along the runway length due to the tempo of  
11  operation especially on the touchdown zone area, airplanes  
12  departing, aircraft landing in that same area, pilots have  
13  often reported that the conditions are much better in that area  
14  than it is in the roll out end which is an issue for the  
15  potential for rejected takeoff.

16           Because aircraft certification data is based on dry  
17  runway conditions and calculated only for other conditions,  
18  it's important that runway clearing be accomplished in an  
19  expedient manner. Again, no data for other than dry that's  
20  tested, wet data is computed based on dry.

21           Some final thoughts. This isn't a new issue. These  
22  issues have been discussed at a previous public hearing back in  
23  1982, reported in an NTSB special investigation report in '83,  
24  but some progress has been made. You've learned quite a bit of  
25  information and research has been done in the past few years

1 but from a pilot's point of view, it's a bit discouraging  
2 because on the pointy end of the stick, I still don't have  
3 something solid that I can use to help me make an assessment of  
4 the suitability of a runway based on those runway conditions.  
5 It turns out to be more of an art than a science.

6           Excursions continue to occur on wet and contaminated  
7 runways. You know, pilots make decisions every day on every  
8 flight, involves inputs from many different sources. Those,  
9 those information sources need to be accurate and timely  
10 because our sound decision making is going to come from timely  
11 and accurate information.

12           Lastly, all the pieces of the puzzle have to fit  
13 together. As I said, it's a safety system issue, to mitigate  
14 the risks of runway overruns in winter conditions. ALPA  
15 believes that all parties should be involved in any potential  
16 solutions and we stand ready to work with the FAA and industry  
17 to work on a standard runway assessment and reporting and work  
18 with the manufacturers to develop the easy used performance  
19 information that the pilot can use to make an assessment of the  
20 runway length requirements. And that's all I have. Thank you  
21 very much.

22           CHAIRMAN ROSENKER: Thank you very much, Mr. DeGroh.

23           I'll turn it over to the Technical Panel for their  
24 questions. We'll start with Mark George.

25           MR. GEORGE: Thank you, Mr. Chairman. I'd like to

1 start off with a rather provocative question for each of you  
2 and could you answer it fairly succinctly if you please. The  
3 question is, is it possible to predict aircraft braking  
4 performance from runway friction measurements? Mr. Boccanfuso?

5 MR. BOCCANFUSO: Although it's not an exact science  
6 but, yes, we believe in Canada we're able to do that with our  
7 CRFI system.

8 MR. GEORGE: Thank you. Mr. Yager.

9 MR. YAGER: Yes, we've demonstrated it's possible to  
10 do that with 12 different friction measuring devices.

11 MR. GEORGE: Thank you. Mr. Marinelli.

12 MR. MARINELLI: I'd like to defer that question to a  
13 later FAA witness, Mr. Don Stimson who has much more expertise  
14 in aircraft performance than I do.

15 MR. GEORGE: Okay. Mr. Geisman.

16 MR. GEISMAN: As you know, we do not relate our  
17 airplane performance directly to friction measurement because  
18 of the variability issues that have been discussed here today.

19 MR. GEORGE: Thank you. Mr. DeGroh.

20 CAPT. DeGROH: Well, I'd like to see that happen,  
21 give us a better sound basis for performance information but to  
22 be quite honest, and this is my opinion, I find it to be a  
23 little bit dubious perhaps just because of the limitations in  
24 those certain surface contaminants that the runway friction  
25 measurements have -- devices have. If we can overcome that, I



1 think it will be useful.

2 MR. GEORGE: Thank you. Mr. Boccanfuso, you  
3 mentioned several contaminant types, I think loose snow and  
4 slush which the decelerometer type runway friction testers do  
5 not give reliable readings. How do those conditions affect the  
6 decelerometer readings? That is too high, too low, widely  
7 variable.

8 MR. BOCCANFUSO: Those type of conditions are  
9 basically affected by speed. So as a result, the hydroplaning  
10 effect, we wouldn't be able to use -- we don't recommend using  
11 decel devices.

12 And just on one other point. With respect to slush  
13 contaminant, when we've conducted our studies, we weren't able  
14 to get sufficient slush data. Slush is very hard to test on.  
15 So a lot of our results we've discounted slush saying that we  
16 can't measure it and that it's not reliable with respect to our  
17 CRFI tables but that is really because of the lack of data and  
18 the natural slush conditions that we try to test on that were  
19 unavailable, just basically very hard to simulate or even to  
20 get in terms of the last five, six years that we've conducted  
21 our testing.

22 MR. GEORGE: Thank you. Mr. Yager, in your  
23 experience, which runway contaminant types do not give reliable  
24 readings with continuous friction measurement equipment?

25 MR. YAGER: The patchy snow and ice condition gives

1 us the greatest variability. I should probably describe our  
2 test procedure with instrumented airplanes during the Joint  
3 Winter Runway Friction Program. For a given surface condition,  
4 we will take measurements with the ground vehicles first and  
5 then the airplane would go through and make several test runs  
6 to cover the speed range from their landing speed down to a  
7 stop, and then after those three or four runs have been  
8 conducted, we go back out with the ground vehicles and collect  
9 another set of data. And so it's these two sets of ground  
10 vehicle data that we then compare to the airplane using a time  
11 scale and a temperature scale to reflect how the ground vehicle  
12 friction measurements converted to IRFI compared to the  
13 airplane stopping performance.

14 Now the airplane is stopping only using full wheel  
15 braking. It is not using reverse thrust. It's in a landing  
16 configuration with flaps and spoilers. And it's that type of  
17 data that we're successful in relating the IRFI to five  
18 different types of airplanes, and as I mentioned, we would like  
19 to get more data on wide bodied airplanes.

20 MR. GEORGE: Mr. Yager, also, is there a visible  
21 difference between wet snow and slush?

22 MR. YAGER: Other than the depth, to my way of  
23 thinking, there isn't a visible difference, particularly on a  
24 concrete runway. On an asphalt runway, you can get a better  
25 indication of the depth because of the black surface

1 underneath.

2 MR. GEORGE: But they appear different? Slush would  
3 have a different appearance visually than --

4 MR. YAGER: Yes, it would be grayer than wet snow.

5 MR. GEORGE: Can vehicle activity cause slush to form  
6 from wet snow?

7 MR. YAGER: Most definitely. Normally vehicle test  
8 tires under operation are at a higher temperature than the  
9 ambient runway temperature or the contaminant temperature and  
10 hence will cause a melting effect on what the contaminant is.

11 MR. GEORGE: Could a think layer of slush be  
12 concealed by a layer of dry snow?

13 MR. YAGER: That would depend entirely on the  
14 temperature, how close you are to the freezing point. If  
15 you're below the freezing point, yes, it could but if you're  
16 slightly above, I wouldn't think it would be possible.

17 MR. GEORGE: Does application of deicing fluid tend  
18 to help or hurt the friction coefficient on a runway?

19 MR. YAGER: Again, it's an influence of temperature.  
20 The deicing fluid initially on an ice coated surface will  
21 reduce the friction level until that ice starts breaking up.  
22 The use of anti-icing chemicals on a bare pavement before the  
23 storm arrives can be more beneficial.

24 MR. GEORGE: How about if you get snowfall on a  
25 recently treated runway? What does that do to the friction

1 coefficient compared to snow alone?

2 MR. YAGER: Well, the -- it's been my experience,  
3 once a deicing material has been placed on the runway, the snow  
4 does not accumulate at the rate it would without the deicing  
5 chemical. The deicing chemical essentially melts the snow  
6 particles as they arrive but, of course, there are some  
7 snowfall rates where it exceeds the capacity of the deicing  
8 material and can accumulate on a surface that has that chemical  
9 on it.

10 MR. GEORGE: And is that -- would that be slicker  
11 than just water underneath the snow?

12 MR. YAGER: That I couldn't tell you. I haven't  
13 gotten any measurements under those conditions.

14 MR. GEORGE: All right. Thank you. Mr. Marinelli,  
15 in conditions where you have slush exceeding an 1/2 of an inch  
16 or dry snow exceeding 1 inch, how are the friction readings  
17 affected? That is, do they tend to read too high, too low or  
18 widely variable?

19 MR. MARINELLI: I believe you tend to get a drag  
20 effect on the test tire from the increased depths, and that  
21 would result in a higher friction measurement than would be  
22 realistic.

23 MR. GEORGE: Slush, too?

24 MR. MARINELLI: That's correct.

25 MR. GEORGE: An 1/8 of an inch of slush? Do you know

1 how the FAA arrived at the depth and type of contaminants that  
2 give unreliable readings?

3 MR. MARINELLI: Those numbers are all as a result of  
4 the joint program that we've been involved in.

5 MR. GEORGE: You said that the FAA supports or  
6 condones the use of the friction testers. Do you require  
7 airports to have and use friction testing devices?

8 MR. MARINELLI: No, there is no requirement. It's  
9 advisory guidance only.

10 MR. GEORGE: Do you have any idea why they're not  
11 required?

12 MR. MARINELLI: Well, we haven't found them to be  
13 reliable enough to result in a requirement.

14 MR. GEORGE: You may have touched on this, and I  
15 apologize if I'm repeating it, does the FAA anticipate any  
16 changes in policy or airport requirements based on the findings  
17 from the Southwest accident?

18 MR. MARINELLI: Not at this time. Based on the  
19 preliminary information that we have, the friction measurements  
20 that were taken before and after the Southwest accident support  
21 our guidance as it stands.

22 MR. GEORGE: Are you familiar with any products or  
23 devices that heat runway surfaces in order to clear  
24 contamination?

25 MR. MARINELLI: We have done some, some research on

1 this through a cooperative research and development agreement  
2 with a company that makes a conductive asphalt. It's really  
3 simple thermodynamics. If you apply enough heat to a pavement,  
4 it will melt ice and snow. The problem that we have with all  
5 systems that have been proposed so far is both initial cost and  
6 the cost of operation. So we haven't found anything that's  
7 economically reasonable yet.

8 MR. GEORGE: In your research, have you looked at  
9 what -- the effects it has on the surface itself, the pavement,  
10 the asphalt, any higher degradation or quicker degradation  
11 since you had that system installed?

12 MR. MARINELLI: They may have been noted in our  
13 report from the Technical Center, but I have not read it  
14 completely. I'm not aware of that.

15 MR. GEORGE: Okay. So my -- this is sort of a guess.  
16 The FAA at this point has no policies, requirements or  
17 standards in regard to that sort of product?

18 MR. MARINELLI: That's correct.

19 MR. GEORGE: Thank you. Mr. Geisman, I have a couple  
20 for you. Looking at that third to the last slide in your  
21 presentation, and the chart, it has data points labeled as  
22 braking action as calculated from FDR data. I think they were  
23 diamond shaped. How did you decide where to put those on the  
24 sale of braking action reports and do their positions on that  
25 chart indicate any correlation of any kind?

1           MR. GEISMAN: Okay. Mr. George, what we did is took  
2 the information from the airplane, or excuse me, the aircraft  
3 performance group study which was an airplane braking  
4 coefficient, and related it directly to what we normally -- to  
5 what we use when we normally publish QRH data. In other words,  
6 we have an airplane braking coefficient that we relate to a  
7 breaking action for our normal publication purpose. So I used  
8 that directly.

9           MR. GEORGE: Can you explain the difference between  
10 aircraft braking coefficient and runway friction coefficient?

11          MR. GEISMAN: Okay. By runway friction coefficient,  
12 I'm assuming you're talking about the tire to ground friction,  
13 if you will, the interaction between the tire and the ground.  
14 With airplane braking coefficient, we're calculating the effect  
15 of tire to ground friction on the airplane's deceleration  
16 capability. Okay. That is calculated through a series of  
17 assumptions, and so basically you're measuring one is the tire  
18 to ground, and the other, the airplane's actual performance or  
19 the performance we expect that reflects that friction.

20          MR. GEORGE: Would those -- in one situation come up,  
21 would you come up with the same number for each one of those,  
22 the same value let's say?

23          MR. GEISMAN: The value, no, you would not, sir. You  
24 would not come up with the same value. They're a different  
25 entity.

1           MR. GEORGE: Okay. Is it possible to estimate that  
2 the aircraft braking coefficient in a real time manner from  
3 data generated by the airplane?

4           MR. GEISMAN: That gets to be a difficult question,  
5 sir, because of the real time. Obviously with the FDR data,  
6 because we presented the information, you can calculate an  
7 airplane braking coefficient from the FDR information. But  
8 there are many assumptions that go into that and information  
9 and, in fact, page 8 of the airport, or excuse me, the aircraft  
10 performance summary or study, excuse me, does an excellent job  
11 of listing the assumptions and the issues that become involved  
12 in that particular calculation.

13           MR. GEORGE: Mr. DeGroh, as a pilot, how likely are  
14 you to be given actual runway friction measurement as opposed  
15 to braking action reports?

16           CAPT. DeGROH: I think that's a little inconsistent.  
17 It seems to me that it -- you may get runway friction  
18 measurement on occasion going into certain airports, and some  
19 airports, they don't have that friction measurement available.  
20 So you may get braking action, and you might not get anything  
21 if no other airplane has landed before your arrival.

22           MR. GEORGE: But I was trying to get at, do you get  
23 them frequently where you'll get the actual friction numbers  
24 from the, from the mu meters at the airport?

25           CAPT. DeGROH: If the airport has the runway friction



1 measurement equipment, and we ask ATC, we'll get it. Sometimes  
2 ATC does just offer it up if they have it.

3 MR. GEORGE: This is obviously an estimate. What  
4 percent of pilots that are out there flying right now have any  
5 -- enough training to understand what those numbers mean?

6 CAPT. DeGROH: You asked a question I can't answer. I  
7 don't have those statistics but I have maybe something that  
8 might be indicative to it, and it was actually a Transport  
9 Canada study had commissioned a study on a survey of Canadian  
10 pilots, and in that study as I recall, 20 percent of the pilots  
11 surveyed said they did not have training on the use of runway  
12 friction measurement equipment or runway friction measurements  
13 for contaminated runways. So there is, there is an issue  
14 there, I think on the training side of it, and I don't have the  
15 statistics. I'm sorry.

16 MR. GEORGE: You also mentioned that you thought CRFI  
17 was a step in the right direction. Are you aware of any  
18 efforts to get CRFI or something similar implemented by U.S.  
19 airlines?

20 CAPT. DeGROH: I am not aware currently of any effort  
21 to provide that information or make it operationally usable  
22 here in the States for U.S. airlines at this point in time.

23 MR. GEORGE: Is there any reason? What would stop it  
24 from some U.S. carrier from adopting it?

25 CAPT. DeGROH: Well, I think part of it would be --

1 see, up in Canada, you use the electronic recording  
2 decelerometer and one unit that they normalize that data for  
3 the development of the CRFI. In the States, there's any number  
4 of friction measurement devices as the FAA pointed out that are  
5 approved for these runway friction assessments. So you're  
6 attempting to compare apples and oranges I think, and it makes  
7 it probably unusable.

8 MR. GEORGE: Have you ever had any training on how to  
9 give a braking action report?

10 CAPT. DeGROH: No. I've come up with, in my own  
11 experience, what I feel like. For example, if I make the  
12 landing on a contaminated runway and the deceleration feels  
13 normal to me, and I'm able to make my planned exit point with  
14 what feels like normal braking, I might call that good. I  
15 can't call it dry obviously because there's something on the  
16 runway. I might call it good, and if we go down to where I  
17 feel that there is a definite degradation, deceleration, but I  
18 don't have to go to max brakes and I'm still able to make my  
19 runway turnoff, I might call that fair, but these are things  
20 that I've tried to come up with on my own to try to make  
21 accurate assessment of the runway braking action, not anything  
22 that's been trained.

23 MR. GEORGE: Okay. Those are all the questions I  
24 have. Thank you all very much. I'd like to turn it over to my  
25 colleague, Dr. Kevin Renze at this time.

1 DR. RENZE: Thank you. Nick, could you pull up the  
2 slide, figure 2 from the NASA or if it's not available,  
3 Mr. Yager, could you pull up figure 2 from your presentation.  
4 Thank you.

5 Mr. Boccanfuso, I'd just like to start with a couple  
6 of questions about the use of CRFI. First of all, how many  
7 operators use CRFI performance tables?

8 MR. BOCCANFUSO: You mean in Canada?

9 DR. RENZE: Yes.

10 MR. BOCCANFUSO: I can't really say because it is  
11 advisory material, and we did do a pilot survey where we  
12 surveyed about -- we sent out a questionnaire to about 3,000  
13 pilots. We got a 11 percent response, and within that  
14 response, the majority of them said they did use it, and they  
15 highlighted some of the things that they wanted improved such  
16 as frequency of updates, the real time information, more  
17 accurate readings. So we do have a list of things that they  
18 wanted improved but for the actual number of operators who do  
19 use it, it's on a voluntary basis. So I wouldn't have that  
20 information.

21 DR. RENZE: Okay. Do you happen to know what  
22 percentage of operations would be conducted in a CRFI  
23 reportable condition versus dry or some other condition?

24 MR. BOCCANFUSO: Well, CRFI is only used during  
25 winter operations. So -- and it's only used under certain

1 runway contaminants and runway conditions. So that's the only  
2 time we use it. It's not used on wet or during summer or bare  
3 and dry runways.

4 DR. RENZE: Okay. Thanks. Could we bring the figure  
5 back up please? With respect to this figure, I'm interested in  
6 the scatter on the vertical axis, and I'm curious as to your  
7 opinions, Mr. Yager and Mr. Boccanfuso, about what's tolerable  
8 in terms of the scatter on the vertical axis for aircraft mu,  
9 if you're trying to use these data to calculate aircraft  
10 performance?

11 MR. YAGER: To me what would be tolerable is plus or  
12 minus 5 percent on the aircraft mu scale versus the IRFI and  
13 admittedly some of the data points are not within this 5  
14 percent tolerance limit, and we have explanations for why  
15 they're not. Such as the temperature might have been increased  
16 or decreased substantially from the time of the first ground  
17 vehicle test run until the time of the last ground vehicle test  
18 run.

19 DR. RENZE: Mr. Boccanfuso, when the CRFI performance  
20 tables were built up and some conservative margin was added,  
21 was a line similar to line shown here through the data used or  
22 was it drawn more conservatively or less conservatively or were  
23 there other additives that were considered to establish those  
24 tables?

25 MR. BOCCANFUSO: Not being a performance engineer,

1 I'll try to answer that to the best of my ability. With  
2 respect to the CRFI, the line was a little bit more  
3 conservative but it wasn't this particular plot that we used.  
4 This plot has all the friction vehicles and aircraft all at the  
5 same listed on there. With respect to CRFI, we just had the  
6 CRFI versus aircraft mu and we had a 95 percent confidence  
7 level in that and as Tom as saying, there's 5 percent that were  
8 throwaway points. So to answer your question for CRFI, we  
9 wouldn't use this particular figure.

10 DR. RENZE: Does it show a similar trend in terms of  
11 the scatter on the vertical axis for the curve that you did  
12 use?

13 MR. BOCCANFUSO: No, it does not.

14 DR. RENZE: And is that because the data that are  
15 collected or the runway surface conditions that were tested are  
16 more limited than this set or for some other reason?

17 MR. BOCCANFUSO: It's because of the device. I think  
18 this set also incorporates the various devices if I'm not  
19 mistaken.

20 DR. RENZE: Okay. Thank you. Mr. Boccanfuso, why  
21 doesn't CRFI apply to wet conditions?

22 MR. BOCCANFUSO: Well, I think it doesn't apply to  
23 wet because wet is speed dependent, and whereas the other, the  
24 other contaminated surfaces are not affected by speed. So the  
25 fact that it's affected by speed, a decel reading would not be

1 viable, would provide erroneous information and similar would  
2 apply to slush.

3 MR. YAGER: Could I add a note to that? One of the  
4 reasons wet and dry pavement surfaces are not used with the  
5 decelerometer is simply the fact that the test procedure where  
6 the operator applies momentary locked wheel braking, in a lot  
7 of instances, that just physically isn't capable between the  
8 vehicle tires and the dry or wet pavement. And so that  
9 introduces variability and non-repeatability in the  
10 measurement, and the decelerometer manufacturers themselves  
11 caution the operators not to use the decelerometer under those  
12 conditions.

13 DR. RENZE: Mr. Boccanfuso, you noted during your  
14 presentation that in terms of constraints on use or acquisition  
15 of measurements, that you could take measurements on an icy  
16 surface with slush on top of the ice, and I'm curious to know  
17 why you can do that but you can't take measurements on a, for  
18 instance, concrete surface where slush is the only contaminant  
19 with no other type of contaminant present?

20 MR. BOCCANFUSO: The reason you can take it on  
21 surface with -- on a slush -- on an ice -- slush covered ice  
22 surface is, again slush being a very thin film, is because  
23 being a thin film you break through the slush and actually be  
24 measuring the ice surface rather than the slush contaminant,  
25 whereas if you didn't have the ice, then there's other factors

1 that come into play such as drag and some other issues that Tom  
2 was talking about.

3 DR. RENZE: Okay. Mr. Yager, could you clarify for  
4 me with respect to continuous friction measurement devices, are  
5 there surface conditions that you can quantify with those  
6 devices that you cannot quantify with decelerometer devices?

7 MR. YAGER: Yes. We can -- with probably better  
8 accuracy than on snow and ice, we can get better friction  
9 readings under wet conditions, and a lot of the vehicles are  
10 equipped with a self-wetting feature that provides a 1  
11 millimeter water depth in front of the test tire on each and  
12 every run. And over in Europe, they use a different water  
13 depth system, and that's one of the issues we have with ICAO or  
14 not ICAO itself but to standardize the wetting procedure used  
15 by these different devices in different countries. But, yes,  
16 the other -- the surface friction test or the mu meter, the  
17 grip tester, the runway friction test are all -- all can  
18 adequately and repeatedly measure wet surface friction whereas  
19 the decelerometer cannot.

20 DR. RENZE: Okay. Mr. Boccanfuso, you had a slide in  
21 your presentation that shows for snow less than 3 millimeters.  
22 There may be a range of CRFI measurements that might be  
23 associated with that, and I was just curious why snow less than  
24 3 millimeters produces such a large range of potential  
25 measurement?

1           MR. BOCCANFUSO: Well, in our data set, we conducted  
2 -- we have about 14 -- we tested 14 different snow covered  
3 surfaces with various ranges, and we conducted 51 runs and  
4 essentially that was the range. Now the exact reason as to  
5 why, I don't have that expertise to be able to tell you that.

6           DR. RENZE: Okay. Mr. Yager, you noted during your  
7 presentation that, that during a snowy condition, you could  
8 take a measurement at say 10:00 and then take a second  
9 measurement at 10:15, and those measurements could change. Do  
10 you have a recommendation for operational practice for how  
11 frequently you might need to take measurements during a  
12 transient or steady state weather event?

13           MR. YAGER: Well, it's been my experience that most  
14 weather events are transient, and consequently it's good to  
15 establish the onset of the event, what the friction level is  
16 and then depending on the best established weather predictions,  
17 at least do it on an hourly basis. Otherwise, due to  
18 accumulation of contaminant on the runway, the airport  
19 operators I'm sure would have the expertise to identify when  
20 that particular runway ought to be closed and contaminant  
21 removal operations start, and then at the conclusion of the  
22 removal operations, a friction measuring set of data ought to  
23 be collected before opening it again to normal aircraft  
24 operations.

25           It's curious in my experience testing different



1 airplanes, we looked at a 737 operating on a wet ice surface up  
2 in Brunswick, Maine, and I was in the jump seat on that  
3 particular run. We entered the test surface at 97 knots. It  
4 was 1500 feet long, and we came out at 91 knots. And the  
5 sensation I had on the rear part of my pants was that we  
6 actually speeded up when he applied brakes on that wet ice.  
7 There was no sensation of stopping, and yet on the same token,  
8 that airplane went through a 1500 test section with 6 inches of  
9 snow on the runway and due to the contaminant drag, we didn't  
10 apply brakes, but due to the contaminant drag measurements on  
11 the airplane, he would not have been able to take off on that  
12 10,000 foot runway with that type of drag on the condition.

13           And I guess what I'm getting to is that the  
14 variability and the amount as well as the type of contaminant  
15 can appreciably influence the friction level and the stopping  
16 performance of airplanes.

17           DR. RENZE: Thank you. Mr. Marinelli, does the FAA  
18 provide any guidance regarding the frequency that measurements  
19 might be taken if they are taken during a transient weather  
20 event?

21           MR. MARINELLI: We do provide some guidance but it's  
22 not based on a time value. It's based on changing weather  
23 conditions. So our guidance would say to take another friction  
24 measurement anytime conditions change.

25           DR. RENZE: If FAA recommends providing pilots with

1 both the friction measurement value and the friction  
2 measurement device type used for that value, what does the FAA  
3 believe that a flight crew should do with that information?

4 MR. MARINELLI: We believe it's just another data  
5 point that the pilot can use in decision making. The present  
6 guidance as it stands, giving the name of the device and the  
7 friction readings, was as a result of our conversations with  
8 private organizations and that was that they desired to  
9 receive.

10 DR. RENZE: Okay. Thank you. Mr. Geisman, could you  
11 briefly describe what Boeing's role is in the Joint Friction  
12 Program?

13 MR. GEISMAN: On the performance side, we have not  
14 had any direct role in the Joint Friction Program. Early in the  
15 program, we did have an observer from the mechanical systems  
16 side looking at the way the friction vehicle operated.

17 DR. RENZE: What are Boeing's concerns, if any, about  
18 the use of the Canadian Runway Friction Index for performance  
19 calculations?

20 MR. GEISMAN: Okay. The concerns come with any  
21 friction index, that as we've seen the variability in both time  
22 and in the measurement variability, both are there. So the  
23 CRFI is a measure of friction as measured by a device, and so  
24 the concerns are just some of the things you've heard today  
25 from the other panelists on that.

1 DR. RENZE: What does Boeing recommend if reported  
2 braking action is poor?

3 MR. GEISMAN: We don't have a specific recommendation  
4 in the airplane performance outside of the performance numbers  
5 that we supply, you know, in the documents. We do supply some  
6 information in the flight crew training manual on crosswind  
7 guidelines with very poor runways that indicate very, very low  
8 crosswind capability.

9 DR. RENZE: Nick, can we bring up the slide from the  
10 Boeing presentation please?

11 Mr. Geisman, on this slide which I think is a good  
12 summary of the information available, what in your opinion is  
13 the best information available that a flight crew should use to  
14 make a decision regarding completing the landing safely?

15 MR. GEISMAN: I do not have expertise as a pilot in  
16 the evaluation or the decision making process, but the basic  
17 position is the pilot should use all the information that he  
18 has available to him, but again, I'm not a flight crew and do  
19 not have experience in making that decision.

20 DR. RENZE: Does Boeing provide any guidance on what  
21 a flight crew should do with conflicting information?

22 MR. GEISMAN: We do not have in any of our  
23 publications a direct statement on what to do with conflicting  
24 information. We do in our classes discuss conflicting  
25 information and again, it's up to the operator's position or

1 whoever we're talking to, on what their specific issues are  
2 with that.

3 DR. RENZE: You noted in your presentation that the  
4 Boeing quick reference handbook data are on the conservative  
5 side for compact snow and ice. If that's true, why do  
6 operators need an additional margin for their performance  
7 calculations?

8 MR. GEISMAN: Okay. There are many things that  
9 affect the landing operation, and in our documents, we  
10 recommend that the operators evaluate their operation, things  
11 like touchdown point, what landing aids are available, how  
12 accurate the information they think they have, and then with  
13 that evaluation determine what additional margin that they  
14 think is necessary. And so again, there's many other things  
15 than just the runway friction part, or excuse me, the runway  
16 condition that gets into the landing distance on that.

17 DR. RENZE: Thank you. Mr. DeGroh, what percentage  
18 of pilots believe that all landing performance calculations  
19 exclude the use of reverse thrust?

20 CAPT. DeGROH: I would almost have to say the  
21 majority of the pilots don't think reverse thrust is included  
22 in the runway performance calculations.

23 DR. RENZE: What education is ALPA providing the  
24 pilots to attempt to differentiate airplane flight manual data  
25 from operational landing data and, for instance, this reverse

1 thrust issue?

2 CAPT. DeGROH: That's a good question. ALPA has been  
3 traditionally I think a little bit out -- standoffish with  
4 regards to training issues, not wanting necessarily to get in  
5 the way of an operator's training program. However, if issues  
6 are strong enough, ALPA does have the ability to communicate  
7 with flight crews regarding specific areas of aircraft  
8 operation through bulletins out to the general membership, but  
9 I'm not aware of a specific educational program in this -- on  
10 the subject specifically.

11 DR. RENZE: Okay. What does safety margin mean to a  
12 pilot?

13 CAPT. DeGROH: Gravy. It gives me something extra  
14 that I can hang my hat on. I mean there should be, there  
15 should be layers of safety such that any single failure doesn't  
16 result in a catastrophe. You shouldn't be backed into a corner  
17 so that if any one thing fails, you have nowhere to go. I mean  
18 a common phrase among pilots is try to always leave yourself an  
19 out, and that's where margin comes in. I mean with respect to  
20 the thrust reverse issue, when does a pilot find out his thrust  
21 reverse doesn't work, once when he needs it, he tries to deploy  
22 it. So there needs to be some margin beyond the end of the  
23 runway perhaps or safety area, or other safety margin perhaps  
24 in distance to account for those unexpected occurrences.

25 DR. RENZE: Okay. I have a follow up to the question

1 that I posed to Mr. Geisman about conflicting information for  
2 the Airline Pilots Association. In your experience, how do  
3 pilots evaluate conflicting information?

4 CAPT. DeGROH: I think a lot of pilots would tend to  
5 take a look at the information and most likely tend towards the  
6 most conservative, the most restrictive piece of information  
7 because again, if you do that, it buys you margin on the other  
8 issues.

9 DR. RENZE: Thank you. And with respect to the FAA  
10 notice 8400.C082, in your opinion, how will that notice affect  
11 pilots?

12 CAPT. DeGROH: Well, that came out in the Federal  
13 Register, and we, ALPA, want to formulate a formal response.  
14 So I'd rather not probably get into that at the moment just so  
15 that we can have a formal response to that document.

16 DR. RENZE: I understand. Thank you. That's all I  
17 have.

18 CHAIRMAN ROSENKER: Thank you, Dr. Renze. Dr. Lemos,  
19 did you have any questions?

20 DR. LEMOS: No.

21 CHAIRMAN ROSENKER: Captain, did you have any  
22 questions?

23 CAPT. KIRCHGESSNER: I have no questions.

24 CHAIRMAN ROSENKER: Okay. Very good. Did you want  
25 to have a question before we move to the parties? Okay.

1           We'll start with Southwest Airlines. Do you have any  
2 questions?

3           MR. LOGAN: Mr. Chairman, we have no questions.

4           CHAIRMAN ROSENKER: Thank you. Southwest Pilots  
5 Association, any questions?

6           CAPT. HEFNER: Yes, sir, Mr. Chairman. We have just  
7 a few here.

8           CHAIRMAN ROSENKER: Certainly.

9           CAPT. HEFNER: Mr. Geisman, are you familiar with the  
10 performance group study and the work that they did while up at  
11 Boeing and on this particular accident?

12          MR. GEISMAN: Sir, I'm familiar with part of that.

13          CAPT. HEFNER: Are you familiar with the effective  
14 braking mu value that was determined in that study?

15          MR. GEISMAN: I am familiar with part of what they  
16 did to get the airplane braking coefficient in that study.

17          CAPT. HEFNER: And do you recall what that was?

18          MR. GEISMAN: It's actually documented quite well if  
19 you want in page 8 of the document and --

20          CAPT. HEFNER: I can't pull it up on my computer  
21 unfortunately. I had a little malfunction over here.

22          MR. GEISMAN: Okay.

23          CAPT. HEFNER: Was that value an .08?

24          MR. GEISMAN: I'm sorry.

25          CAPT. HEFNER: Was that value .08?

1 MR. GEISMAN: What value, sir?

2 CAPT. HEFNER: The braking mu?

3 MR. GEISMAN: For the accident airplane?

4 CAPT. HEFNER: Yes, sir.

5 MR. GEISMAN: I believe that is correct.

6 CAPT. HEFNER: Thanks. I just wanted to verify that  
7 because I couldn't pull it up here. Thanks.

8 For Dr. Yager, the Beaumont meter was run down the  
9 runway after, approximately four to five minutes after the  
10 accident aircraft, came back with mu values of 41, 40 and 38,  
11 effectively an average of 40. With the performance group  
12 calculated braking effectiveness of the accident airplane of an  
13 .08, can you help us understand the difference in those two  
14 values?

15 MR. YAGER: Yes. You can't expect a 1 to 1  
16 relationship between the ground vehicle measurement and the  
17 airplane measurement. There's too many other factors  
18 influencing both of them, and that's why we've gone to this  
19 International Runway Friction Index, to help eliminate some of  
20 the ground vehicle variables and go more directly towards the  
21 airplane effective mu. A .4 with a decelerometer is considered  
22 fairly good, and I would expect the airplane on that basis to  
23 give a value in the order of .25 to .3, not .08, and there's  
24 several factors that can play a role in that differentiation  
25 between what the airplane actually developed and what it should



1 have developed. One of the things is applying the brakes.  
2 Another one is the condition of the tires. A third one is the  
3 actual path of the airplane down the runway versus the path of  
4 the decelerometer device which is normally 3 meters off the  
5 center line the whole way down the runway. So it might have  
6 been a case of the airplane seeing different conditions than  
7 what the ground vehicle saw.

8           Secondly, it could be that in the course of taking  
9 the measurements, the ground vehicle did not maintain uniform  
10 test conditions for each of the one-third runway measurements,  
11 and that could have influenced the value.

12           And then, third, the type of tires the ground vehicle  
13 had on its vehicle, and how it performed under the continuing  
14 changing precipitation levels of the snow. So I'm not  
15 surprised that there's that much difference between the  
16 airplane actual braking performance and the ground vehicle  
17 measurement. It's just such that we need to better fine tune  
18 our measurements of the ground vehicle device to relate more  
19 directly to the airplane.

20           CAPT. HEFNER: Thank you, sir. And now for  
21 Mr. Marinelli. Apparently from what we're hearing this  
22 morning, the IRFI and the CRFI seem to provide a level of  
23 reliability that we don't have in our United States systems,  
24 and why has the FAA -- can you elaborate why the FAA feels it  
25 is not applicable to United States airports?

1           MR. MARINELLI: Again, I'm going to have to defer  
2 that question to a colleague, Mr. Stimson because I have little  
3 expertise in aircraft performance and I couldn't tell you why  
4 the numbers don't relate to aircraft performance but in this  
5 situation, it obviously did not.

6           CAPT. HEFNER: Okay. Thank you, sir. And back to  
7 Dr. Yager. You're familiar with the Type IV deice, anti-ice  
8 fluid that is applied to wing surfaces prior to departure.

9           MR. YAGER: Yes. In fact, I was involved in a study  
10 at Chicago O'Hare about 10 years ago looking into that higher  
11 viscosity chemical.

12          CAPT. HEFNER: And that chemical typically sloughs  
13 off in the neighborhood of the V1 speed where the airplane wing  
14 starts to develop lift.

15          MR. YAGER: That's correct.

16          CAPT. HEFNER: It does not carry it into the air and  
17 obviously it has to come back someplace and it's there on the  
18 runway. Would that Type IV fluid underline a wet, snow  
19 surface, have any effect on the friction component?

20          MR. YAGER: It was my experience in the Chicago  
21 O'Hare experiment that, no, it would not. Now admittedly, when  
22 we did the experiment at Chicago, it was a bare, dry runway.  
23 It wasn't any snow contamination coming down. The temperature  
24 was in the order of 25 degrees, and we put it on 10 different  
25 airplanes, wide bodies as well as narrow bodies, and it was all

1 -- and we put green food coloring dye in it so that it was  
2 visibly evidence as the airplane taxied by our location. But  
3 the change in friction on that bare runway was less than 1  
4 percent after 10 airplanes took off.

5 Now admittedly, if there was already snow on it, and  
6 some of that contaminant came off the wing, I don't have a  
7 knowledge of how much it would affect the friction level.

8 CAPT. HEFNER: Thank you, sir.

9 MR. YAGER: By the way, it's Mr. Yager, not  
10 Dr. Yager.

11 CAPT. HEFNER: Oh, I'm sorry. I thought you were a  
12 doctor.

13 MR. YAGER: Thank you.

14 CAPT. HEFNER: And for Mr. Marinelli. As far as  
15 certification of Part 25 aircraft, can you speak to that?

16 MR. MARINELLI: Not at all. I'm sorry.

17 CAPT. HEFNER: Okay. All right. Mr. Geisman, are  
18 runway frozen contaminants taken into account in any portion of  
19 the Part 25 certification for transport aircraft?

20 MR. GEISMAN: In runway frozen contaminants? They're  
21 not taken into account for performance calculations in Part 25.

22 CAPT. HEFNER: SWAPA has no more questions. Thank  
23 you.

24 CHAIRMAN ROSENKER: Thank you very much. City of  
25 Chicago.

1           COMMISSIONER FERNANDEZ: Mr. Chairman, the City of  
2 Chicago does not have any questions of this panel.

3           CHAIRMAN ROSENKER: Thank you, Commissioner. Boeing.

4           MR. SMITH: I have one question for Mr. Boccanfuso.  
5 Your chart on the CRFI index showed examples using runway  
6 friction numbers of .4 and .28. According to the NTSB factual  
7 reports, the Beaumont friction test run prior to the accident  
8 which was the value in force at the time of the accident was  
9 .67, could you relate or tell us what that information would  
10 have told the land flight crews if it had been relayed to them?

11           MR. BOCCANFUSO: What the .67 would have meant?

12           MR. SMITH: What would that have meant to a landing  
13 crew if it had been relayed to them?

14           MR. BOCCANFUSO: .67 is bare and dry. It's very good  
15 braking. But one of the things I'd just like to add to that  
16 though is that during our testing, there is a range based on  
17 the description of the surface. There is a range of friction  
18 that goes from .16 to .7 I believe. It was in my previous  
19 charts. .67 may have been within that range.

20           MR. SMITH. Okay. Thank you. No further questions.

21           CHAIRMAN ROSENKER: Thank you very much. The FAA  
22 please.

23           MR. WALLACE: Thank you, Mr. Chairman. Just a few  
24 questions.

25           Mr. DeGroh described -- I don't have a question for

1 you but I appreciate it, described a state where we would have  
2 accurate and timely friction measurement reports which  
3 correlated well to the performance of the aircraft, and I think  
4 we all agree that that would be the state that we strive for,  
5 but I also recall Mr. Boccanfuso talking about the need for us  
6 to take the science and turn it into practical tools.

7           One question I have and I'm going to address it to  
8 Mr. Marinelli initially, and anyone else can answer, how long  
9 does it take to do a runway friction test, and I'd ask if you'd  
10 speak to both a continuous measurement and the decelerometer  
11 measurements on a typical runway? Let's take this runway which  
12 was 6500 feet long. What would be a typical time span to  
13 accomplish such a test?

14           MR. MARINELLI: Well, a winter runway friction test  
15 can be conducted anywhere from say 20 miles an hour to 40 miles  
16 an hour. So let's take an average of 30 miles an hour would be  
17 2 minutes per mile. If the runway is a mile and a half long,  
18 it should take about three minutes to get from one end to the  
19 other. With a decelerometer, it requires multiple stops, 9 to  
20 10, each stop probably takes about 15 seconds or so. So it  
21 would be several minutes for a decelerometer.

22           MR. WALLACE: And I recall Mr. -- I believe Mr. Yager  
23 saying that you want to measure at least once per hour. Well,  
24 there was different answers. I'm just trying to see how we can  
25 zero in on the practical approach in an airport environment

1 where we are landing aircraft on two minutes in tail separation  
2 typically in a high capacity situation, and this is not a  
3 capacity -- the capacity issue is linked with the safety issue  
4 because airplanes have to go someplace in rapidly changing  
5 weather.

6           May we bring up slide 11 from Mr. Geisman's  
7 presentation again?

8           I'll just go ahead and start the question. The  
9 question is for you, Mr. Geisman. The -- I recall that the  
10 data showed the test which was done before the accident with a  
11 .67 reading, I actually could not read the second test, and so  
12 I cannot see from where I'm sitting the value derived in the  
13 second test, that is the test following the accident. Can you  
14 tell me what the value is?

15           MR. GEISMAN: The average value was 40.

16           MR. WALLACE: 40.

17           MR. GEISMAN: Yes.

18           MR. WALLACE: So if I recall, I believe it was  
19 Mr. DeGroh's presentation that the 40, the .4 is going to  
20 equate to somewhere in the fair to poor -- I mean fair to good  
21 range. Is that correct?

22           MR. GEISMAN: Yes, just as Mr. Yager said just a few  
23 minutes ago --

24           MR. WALLACE: Okay. So --

25           MR. GEISMAN: -- that would typically be the

1 interpretation.

2 MR. WALLACE: The .4 is fair to good and the .67  
3 prior to the accident equates to I believe Mr. Boccanfuso just  
4 said a dry runway essentially. And then we have 4 pilot  
5 reports in a row. Is that correct? That all include a value  
6 of poor at least the low end.

7 MR. GEISMAN: That's a correct statement. They  
8 weren't in a row. There was two that did not report, but there  
9 were four pilots.

10 MR. WALLACE: So what you conclude is the more  
11 accurate measurement of how that -- how the accident aircraft  
12 actually performed.

13 MR. GEISMAN: I think the accident aircraft is as  
14 shown with the FDR. That's how the accident aircraft  
15 performed. That's based on the data from the analysis by the  
16 performance study group and that --

17 MR. WALLACE: Are you --

18 MR. GEISMAN: -- data.

19 MR. WALLACE: Would you be able to speak to the  
20 conservatisms that would be the margin that is that would be  
21 derived in the performance calculation based on the point .67  
22 value? In other words, would this aircraft, if according -- if  
23 the .67 value had correlated as the CRFI tables would indicate,  
24 could you tell us what that would mean in terms of a landing  
25 distance margin?

1           MR. GEISMAN: I'm sorry, sir. I'm not sure I  
2 understood the exact question you're asking.

3           MR. WALLACE: I've seen calculations that you guessed  
4 that at .67 the aircraft would have had 1,000 foot or so  
5 landing margin.

6           MR. GEISMAN: I have not done a calculation on the  
7 accident to show what the dry runway distance would be with the  
8 actual, but it certainly could be calculated. The performance  
9 study does have some that information in it, and I don't  
10 remember the exact numbers.

11          MR. WALLACE: Okay.

12          MR. GEISMAN: But it is in the performance study I  
13 believe.

14          MR. WALLACE: Just one final question again for  
15 Mr. Geisman. Mr. George -- is Boeing involved in any research  
16 efforts relating to technology which might then -- which might  
17 allow for the down linking or transmitting of the deceleration  
18 data from landing aircraft to be used to be conveyed to  
19 aircraft approaching?

20          MR. GEISMAN: I'm not aware of any studies on that.  
21 There are various studies going on at Boeing all the time, and  
22 I'm not aware of any specific study on that issue.

23          MR. WALLACE: Okay. Thank you. Nothing further,  
24 Mr. Chairman.

25          CHAIRMAN ROSENKER: Thank you very much. I'll now



1 turn to the Board of inquiry. Dr. Ellingstad?

2 DR. ELLINGSTAD: Thank you. Just a couple of  
3 questions to Mr. Boccanfuso regarding the practices in Canada.  
4 How many airports are you using the CRFI measurement?

5 MR. BOCCANFUSO: Right now all airports are using the  
6 CRFI system, and they're all using decels during wintertime  
7 operations.

8 DR. ELLINGSTAD: Okay. And you mentioned that the  
9 principal application is under contaminated surfaces. Is there  
10 a protocol that dictates when these measurements are going to  
11 be applied?

12 MR. BOCCANFUSO: Yes. As I listed in one of my  
13 slides, during wintertime operations, under certain surface  
14 conditions, the CRFI system is used and essentially it's a  
15 decelerometer that's being used during the wintertime on their  
16 contaminated winter surfaces.

17 DR. ELLINGSTAD: Okay. And does that protocol  
18 dictate your frequency of replication, how often you do it or  
19 is it --

20 MR. BOCCANFUSO: Yes, well, we have various advisory  
21 circulars that tell us prior to a shift when there's a change  
22 in conditions, if there's chemical being applied, we go out and  
23 we measure runway friction measurements.

24 DR. ELLINGSTAD: Okay. And you had mentioned in  
25 response to Mr. Wallace about the time it takes. Is it

1 feasible with the system that you're using to develop and  
2 report measures for segments of the runway both from a  
3 practical measurement point of view and from a time point of  
4 view?

5 MR. BOCCANFUSO: Right now, if my memory serves me  
6 right, it takes about 8 to 9 minutes with a continuous friction  
7 measurement device which goes up and down the runway, but with  
8 a decel device, it would take between 3, 4 minutes -- 3 or 4  
9 additional minutes using the CRFI system.

10 DR. ELLINGSTAD: What I'm trying to get at, it had  
11 been pointed out earlier that some pilots would prefer to have  
12 measurements reported, you know, in thirds of the runway or  
13 this sort of thing. Now my question is, how much does that  
14 complicate the measurement and the reporting? How much time  
15 would it add?

16 MR. BOCCANFUSO: With respect to the third of the  
17 runway, that's a very good suggestion, and I believe we're in  
18 the process of revising our -- right now since we don't report  
19 the thirds of the runway, one of the things that we do that is  
20 not currently done in the U.S., in our aircraft movement  
21 surface condition report, there is an area under observations  
22 that actually indicates where the contaminant is on the runway.  
23 So even though you're not getting the third measurement across  
24 with your surface description, you are getting an indication of  
25 where the contaminant is, but we are revising that to indicate

1 a third of the runway similar to what is being done in the  
2 States.

3 DR. ELLINGSTAD: Thank you.

4 CHAIRMAN ROSENKER: Thank you, Dr. Ellingstad.  
5 Mr. Clark.

6 MR. CLARK: Sure. I just have a couple of questions  
7 but I'd like to bring up the figure, too, from Mr. Yager's  
8 presentation. A lot of the discussion here has been about  
9 scatter in the data and the data you present does show a  
10 certain amount of scatter and you gave us some ideas of what  
11 the scatter meant. Can we cut that scatter down to a single  
12 runway friction measurement device?

13 MR. YAGER: Yes, we can but I think the biggest  
14 variable here is that in testing these five different  
15 airplanes, they were not all at the same location, nor under  
16 the same temperature conditions, and hence that influences the  
17 magnitude of the aircraft friction coefficient versus the IRFI.

18 MR. CLARK: Would that be a problem out in the  
19 operational world by definition?

20 MR. YAGER: That's correct. It would be a problem in  
21 the operational world, and that's why we've gone to this  
22 International Runway Friction Index. I think it eliminates a  
23 lot of those other variables in the ground -- measurements and  
24 we can apply the IRFI with better accuracy to the aircraft  
25 braking coefficients.

1           MR. CLARK: Okay. But part of the IRFI is also to  
2 normalize all the different friction devices out there. Is  
3 that really possible?

4           MR. YAGER: We've proven it to be possible within  
5 plus or minus 5 percent. We've looked at not only the  
6 different types of devices, but within the same type of device,  
7 we've looked at up to six different devices such as the grip  
8 tester. We've evidenced six different ones to give us a  
9 constant IRFI value.

10          MR. CLARK: And then part of that scatter, you  
11 mentioned that it was due to the timing where you would take a  
12 test, make several flights or landings, do another test but  
13 that's also part of the real world out there.

14          MR. YAGER: That's true. That's true. And, of  
15 course, in the real world out there you can't do a test before  
16 and after each airplane operation, and from an R&D standpoint,  
17 that was the only approach we could see that would give us a  
18 viable, useful results and that's the reason we did it that  
19 way.

20          MR. CLARK: Now one thing I see in the graphs here,  
21 the 757 data, the blue data, that looks pretty consistent for  
22 whatever test data you have here, take all the other airplanes  
23 out, let's look at the 757 and I don't know what equipment you  
24 used to measure those but for the blue data up there, that  
25 looks pretty consistent to me.

1           MR. YAGER: Yeah, that data was collected up near  
2 Marquette, Michigan, and we had a fairly steady weather  
3 condition the week we were up there. The temperatures didn't  
4 change very much.

5           MR. CLARK: Okay. But if the temperature had  
6 changed, would those values move around?

7           MR. YAGER: Well, they would in the sense that they  
8 would -- if the temperature went up, they would -- the values  
9 would have been lower, whereas if the temperature went down,  
10 got colder, the friction IRFI values would have been higher.

11          MR. CLARK: Well, okay. Let me ask it this way. So  
12 if the IRFI number is going up and down, would not the actual  
13 aircraft mu be going up and down or is that scatter that we're  
14 talking about?

15          MR. YAGER: No, that would be reflected in both  
16 devices, the airplane and the ground vehicle.

17          MR. CLARK: So you'd be moving up and down that  
18 line --

19          MR. YAGER: Right.

20          MR. CLARK: -- in a consistent manner.

21          MR. YAGER: That's correct. That's correct.

22          MR. CLARK: The -- for the -- if we were to break  
23 these down by aircraft or by friction measuring equipment, I'm  
24 still intrigued by limiting the number of types of devices out  
25 there which would certainly help the scatter or I guess what

1 you would shoot for is that every device be well known and any  
2 airport could use whatever device it chose within an acceptable  
3 range. For this kind of scatter that we're seeing out of this  
4 data, in your experience, is that better or worse than the kind  
5 of scatter we would get out of pilot reports?

6 MR. YAGER: I'm of the opinion that it's better, and  
7 something on the basis that we have quantitative numbers to  
8 deal with rather than subjective assessments of the runway  
9 condition.

10 MR. CLARK: I don't know that we need to bring up, I  
11 think it was Mr. DeGroh's slide, but -- or no, it was  
12 Mr. Geisman's slide, that showed a lot of scatter in the pilot  
13 reports just -- the same pilot giving quite a scatter in the  
14 data. It would seem that if we could get more consistency,  
15 would we not buy ourselves some margin?

16 MR. YAGER: Definitely, and I think that's part of  
17 the impetus driving this need to have calibration centers for  
18 the ground vehicle devices.

19 MR. CLARK: Mr. Geisman, you put that data together  
20 on the other chart. Do you -- what's your view on the pilot  
21 reports?

22 MR. GEISMAN: One of the ones that you're talking  
23 about specifically was good in the first part of the runway and  
24 poor at the end of the runway. So it was reflecting -- that's  
25 not scatter. That's reflecting different capability at

1 different parts of the runway, also potentially opinions based  
2 on other factors get involved there but the data from that  
3 particular day, on that particular operation, showed mostly in  
4 the fair to poor range.

5 MR. CLARK: And I think from one of your slides, one  
6 of the things you did want to point out is that the friction  
7 measurement equipment was way outside the norm. The pilot  
8 reports were a lot closer to the data we've backed out from the  
9 FDR data.

10 MR. GEISMAN: At the time that the pilot reports were  
11 taken, they seemed to agree with the FDR data more than the  
12 earlier friction reading, yes.

13 MR. CLARK: Mr. Yager, have you looked at the --  
14 those friction measurements were inordinately high, and I think  
15 you spoke to that a little bit earlier, some of the reasons  
16 perhaps why they were particularly high, compared to what the  
17 pilots were sensing and compared to what we could back out of  
18 the accelerometer data on the FDR.

19 MR. YAGER: Right. I have not seen the actual  
20 vehicle and decelerometer that was used at the airport  
21 facility, and I'm at a loss today as to give you actual  
22 variables that could have contributed to the difference between  
23 what the ground vehicle measured and what the airplane  
24 measured. All I can do is make some assumptions, and --

25 MR. CLARK: All right. Mr. Marinelli, you've talked,

1 FAA is certainly reluctant to embrace this concept and put it  
2 into use now but for example, this graph to set this figure to,  
3 for the scatter and the data, could you not just normalize the  
4 line downward slightly and all the scatter would be on the  
5 conservative side? Wouldn't that be an acceptable method to  
6 give our pilots the best information out there?

7 MR. MARINELLI: I suppose you could do that but  
8 there's an economic cost to diverting flights that probably  
9 don't need to be diverted. I'm not sure how much you have to  
10 skew that line down in order to make it conservative enough.

11 MR. CLARK: Well, I don't know how to compare that  
12 economic cost against an airplane off the end of the runway.  
13 That's my difficulty right now. And I don't know whether we're  
14 going to get into it but we're making downwind landings when we  
15 could have bought a lot of margin making an upwind landing. So  
16 there's an economic cost of not disrupting Midway. So I guess  
17 we're talking a lot about safety here as long as it just  
18 doesn't disrupt certain operations that seem to be somewhat  
19 sacred. So if I were to drop that line down, you're suggesting  
20 that there would be a number of flights that could not land  
21 because of the performance calculations or they'd have to take  
22 other means such as not take downwind landings or watch their  
23 weight. All of that I assume is --

24 MR. MARINELLI: Well, again, I'm not an aircraft  
25 performance person. So I really can't speak to that directly.



1 But, you know, I'm not sure how much you'd have to adjust that  
2 number of .67 down to where it would have made sense on this  
3 flight.

4 MR. CLARK: Well, I think the .67 is -- that's a big  
5 unknown. That's an issue with the friction measurement  
6 equipment that for right now to get consistency for whatever  
7 the Canadians are doing, they're getting a lot of consistency  
8 they believe and I think the work needs to go on on that. The  
9 consistency for the measurements and then my question is how  
10 good does that scatter have to be. We're never going to be  
11 perfect on this. But take your data, drop that line a little  
12 bit by your margin, that's what we need to do, and --

13 MR. MARINELLI: I'm not sure that's the solution, but  
14 it's certainly something we're willing to look at.

15 MR. CLARK: All right. Thank you.

16 CHAIRMAN ROSENKER: Thank you, Mr. Clark.

17 Mr. Benzon.

18 MR. BENZON: I have nothing, sir.

19 CHAIRMAN ROSENKER: Okay. I just have a couple of  
20 questions before we release this panel and let me thank you for  
21 your outstanding presentations and your very thoughtful answers  
22 to the questions. We appreciate that very much.

23 I'd like to talk to Mr. Boccanfuso please, talk a  
24 little about the experience that you've had since you've begun  
25 looking and using the -- do you call it CRFI or CRFI?

1 MR. BOCCANFUSO: CRFI, sir.

2 CHAIRMAN ROSENKER: CRFI.

3 MR. BOCCANFUSO: Well, when we initially started the  
4 program, we thought -- we didn't think we were going to be able  
5 to have -- we didn't know about all the problems were we  
6 actually going to encounter. Some of the equipment varied  
7 quite substantially, even the same makes and manufacturers,  
8 bought at the same time. Some of the tests we conducted, there  
9 was a great variation. So in terms of our Canadian experience,  
10 we had to pass what we call a JBI index, JBI system that we  
11 used way back when. So we used the opportunity of the Joint  
12 Winter Runway Friction Program to solidify some of the data  
13 that we've had in the past, and by doing that, it certainly  
14 raised the level of confidence in the pilots because every data  
15 point on that chart has been gathered as a result of the  
16 testing done over the past seven, eight years.

17 So although there still is different decel devices  
18 that are currently being used in Canada, and there is slight  
19 variation between the decel device overall, just for those  
20 particular surfaces, we feel quite confident that what we're  
21 using is right now, even though it's not an exact science,  
22 probably the best thing out there.

23 CHAIRMAN ROSENKER: How about actual operational  
24 experience, results, reduction in runway overrun?

25 MR. BOCCANFUSO: I don't have that figure. We did a

1 cost benefit analysis that I maybe could provide to the Court.  
2 I don't have that figure currently.

3 CHAIRMAN ROSENKER: That would be interesting.  
4 Perhaps you could submit that later for the record.

5 MR. BOCCANFUSO: I will.

6 CHAIRMAN ROSENKER: Thank you. And also if you  
7 noticed any increased diversion.

8 MR. BOCCANFUSO: Well, one of the things with the  
9 CRFI, there is a certain amount of conservatism built in. So  
10 an operator that does choose to go just with the CRFI system  
11 may experience more diversions than they would with another  
12 otherwise less conservative system, but really that's -- this  
13 is why it's advisory material and we leave it up to the  
14 operators to make that decision.

15 CHAIRMAN ROSENKER: Thank you. And if I could just  
16 ask for just a moment, Mr. DeGroh, talk a little about -- you  
17 indicated the subjectivity and clearly we spent a lot of time  
18 dealing with the issue of subjectivity of a pilot's  
19 characterization of what the conditions are. How do you make  
20 that decision? How do you decide? Is that kind of a consensus  
21 between you and the first officer, the captain and the first  
22 officer? How do you come up with that characterization?

23 CAPT. DeGROH: Well, most likely it would be an  
24 assessment made by the pilot actually handling the flight  
25 controls, and it's made oftentimes based on experience. As I

1 said before, if you get a pilot who is flying in conditions --  
2 in winter conditions he's not used to, he may tend to be a  
3 little more conservative in his braking action report than one  
4 who is used to those conditions. So it really is dependent I  
5 think on pilot experience and comfort level and again, perhaps  
6 is a reason why there may be -- it might be useful to have some  
7 other guidance in general terms to assist pilots in selecting a  
8 more appropriate term that perhaps might be a little more  
9 consistent.

10 CHAIRMAN ROSENKER: Now when you hear, as you begin  
11 your approach and begin your landing, do you change any of your  
12 procedures or perhaps technique any when you hear that it is  
13 fair to poor, that type of thing?

14 CAPT. DeGROH: Certainly. I think what we look at or  
15 at least what I look at if the runway is being reported with  
16 less than dry conditions, we're going to look at where our  
17 plane touchdown point is going to be. We're going to look at  
18 making sure we are on speed at the 50 foot point, typically V  
19 rev or however that particular airline has a speed additive  
20 perhaps and make sure the aircraft is properly configured, and  
21 if you have autobrakes that's armed and spoilers armed, you're  
22 going to try to grab that first brick possible. So, yes, you  
23 may tend to be a little less stringent in your planning on a  
24 purely dry runway and pilots are taught, you need to land in  
25 the touchdown zone, and typically that's the first 3,000 feet

1 as marked out on the runway. But when you're faced with  
2 slippery, contaminated wet runway, you tend to be a little bit  
3 more cognizant where the touchdown point's going to be.

4           And, I might add, it's important on any advisory data  
5 or if we can ever get to certified data on these contaminants,  
6 that the assumptions used be forwarded to the pilots. Some of  
7 the assumptions might say, this assumes that the touchdown is  
8 going to occur at 1,000 feet. Well, that needs to be made  
9 known to the crew so they know that they don't have that full  
10 3,000 feet available. They need to make sure they work for the  
11 1,000 foot, and where the touchdown point may be with an auto  
12 land system. All those assumptions need to be made available  
13 to the crew in order that they can realize the data that  
14 they're looking at.

15           CHAIRMAN ROSENKER: Thank you very much, Mr. DeGroh,  
16 and I will also ask that question to Southwest and the  
17 Southwest Pilots Association so they may be prepared for the  
18 same type of question. Thank you very much.

19           Let me excuse the witness panel. Again, I thank you  
20 so much for your presentation and what you've been able to  
21 contribute to this inquiry today.

22           We will take a 7, make it 8 minutes. I'll try to  
23 begin again promptly at noon, and we'll try to go for around  
24 30, 40 minutes, and then we'll try to get a lunch break and  
25 reconvene, and we will try to get as many panels in as we

1 possibly can today. Thank you.

2 (Off the record.)

3 (On the record.)

4 CHAIRMAN ROSENKER: Thank you for being here,  
5 Mr. Rodriguez. Your presentation.

6 MR. RODRIGUEZ: Thank you for inviting me,  
7 Mr. Chairman.

8 CHAIRMAN ROSENKER: Thank you.

9 (Whereupon,

10 ALBERTO RODRIGUEZ

11 was called as a witness, and having been first duly sworn, was  
12 examined and testified as follows:)

13 MR. RODRIGUEZ: Good morning. I'd like to begin by  
14 providing you with a brief overview of Midway Airport, followed  
15 by some insight into how we approach snow removal operations.

16 Again, my name is Alberto Rodriguez. I'm the Chief  
17 of Operations at the Department of Aviation at Midway  
18 International Airport.

19 Midway International Airport is known in many circles  
20 as aviation's busy square mile. We are currently configured to  
21 provide five runways, two of which are available for air  
22 carrier operations. Our longest runway spans 6,522 feet. We  
23 have three precision approaches into Midway at this time.

24 CHAIRMAN ROSENKER: Hang on for just a second. I  
25 don't believe your think is on the screen.

1 MR. RODRIGUEZ: Okay. There we go.

2 CHAIRMAN ROSENKER: Thank you.

3 MR. RODRIGUEZ: I'll just move onto the next slide.  
4 In 2005, Midway Airport accommodated nearly 285,000 aircraft  
5 operations, serving approximately 17.8 million passengers. Ten  
6 airlines serving more than 55 domestic and international  
7 destinations call Midway home, and I also want to point out  
8 that we have received a no discrepancy rating by the Federal  
9 Aviation Administration during our annual airport certification  
10 inspection for the last 10 years in a row, and most recently of  
11 which was this year in May of 2006.

12 Our snow removal plan is based on the standards that  
13 are provided by the Federal Aviation Administration, and in  
14 specific, Federal Aviation Regulation Part 139, as well as the  
15 advisory circular on airport winter safety and operations. Our  
16 goal is not only to comply with but also exceed these  
17 standards. We consider our snow removal process an ongoing,  
18 year round process that can be divided into these three  
19 categories, planning, preparation and execution.

20 At the end of the previous year's snow season, really  
21 marks the beginning of our planning and preparation phase.  
22 During this process, nearly everyone at the airport who has a  
23 stake and/or role in the success of our snow removal operation  
24 is involved. Over the course of the year, we do a lot of  
25 proactive activities and continually follow industry

1 advancements as well as new technologies that could further  
2 enhance our operation. An example of this new technology is  
3 the electronic log system which I will expand on a little bit  
4 more during my presentation.

5 In order to maintain our proficiency, the airport  
6 staff undergoes an extensive recurrent training and procedure  
7 review process. Typically we invest in an average of 40 hours  
8 of training per employee prior to the first snow event. As you  
9 can see by the slide here, we have an adequate amount of  
10 staffing as well as equip to address any of the winter  
11 challenges that we might meet.

12 This brings us to the implementation of our practical  
13 or more so the effective application of our efforts, and  
14 basically what happens here is we begin by implementing our  
15 snow plan. A unique and particular item of our snow plan is  
16 the fact that we have an airport operation staff member  
17 positioned in the aircraft control tower to facilitate the  
18 efficient and safe movement of our snow removal teams in  
19 conjunction with the air traffic. Although this is not a  
20 required option, this is something that presents a very  
21 beneficial process by which we can facilitate the snow removal  
22 operation. And he also serves as an additional source of  
23 airport condition information to the air traffic controllers.

24 In assessing our current and expected meteorological  
25 conditions, the airport takes a toolbox approach to obtaining



1 this critical information. We take into consideration a  
2 multitude of meteorological weather sources. We review and  
3 compare that information to try to arrive at the most accurate  
4 estimate of what can be expected. The information that we  
5 obtain from all the different weather sources addresses both  
6 ambient and surface temperatures and variables, as well as on  
7 the local and national scope of the overall operation.

8 We even have a -- program which enables us to  
9 superimpose or follow Midway specific traffic in relation to  
10 the current radar imagery.

11 In determining runway conditions, we use multiple  
12 tools. We never rely on one particular variable. What you see  
13 here is some of the items that we take into consideration.  
14 What we have found is that friction surveys and our visual  
15 inspections or physical inspections of the runway tend to be  
16 the least subjective and the most factual.

17 The Federal Aviation Administration offers similar  
18 guidance in this respect. Federal Aviation Advisory 150/5200-  
19 30A specifies guidelines for when to conduct friction surveys,  
20 and these are done primarily for the benefit of the aircraft  
21 operator. We both meet and exceed these standards and, in  
22 addition to doing that at a minimum, we also conduct the  
23 standards to provide us with the most up-to-date accurate  
24 picture that's possible. So we're actually on the runway quite  
25 a bit.

1           In addition to the publications by the FAA, many  
2 other industry standards also recommend the use of friction  
3 surveys. I believe that many of the airline flight operations  
4 manuals as well as the Airline Pilots Association recommend the  
5 use of friction surveys.

6           There are two basic types of FAA approved devices.  
7 Midway utilizes both types, and we actually own two of each  
8 type. Our staff is very conversant with this equipment as it  
9 is utilized year round, and what is beneficial about these  
10 devices to the airport is that they are self-calibrating and  
11 contain an on-board diagnostic computer system that pretty much  
12 eliminate the potential for human error.

13           After obtaining this information, the question  
14 becomes or the issue becomes how to get this information in a  
15 timely and effective manner to your end users, be it the air  
16 traffic control tower and aircraft or aircraft operator inbound  
17 to the airport or outbound of the airport. How we do this is  
18 the Department of Aviation implemented the electronic log  
19 system back in 2002, and this system, what it does is it  
20 enables us to provide instantaneously the information that is  
21 obtained from a current runway condition assessment or an  
22 airfield condition assessment, and in addition to friction  
23 data, we also have information in respect to what type of  
24 contaminants and how much of a contaminant is on the runway.  
25 We also do a supplement to the flight service station NOTAM

1 reporting system. We list our locally issued, our airport  
2 issued NOTAMs on the system as well. Some of the information  
3 that you would typically see during the winter operation  
4 actually touches on some of the items that were mentioned  
5 earlier by the Airline Pilots Association representative here,  
6 and that is we specify the type of contaminant on the runway,  
7 also in relation to percentages, how much is out there, how  
8 deep is it, and what type of contaminant it is. And also  
9 referenced on that and you can see by the image on the right  
10 side, that's where you would see mu numbers which will be  
11 broken down by thirds of the runway as well as an average, and  
12 that item will also include what type of friction device  
13 computed those numbers and then also what time were the  
14 friction runs done, and that will all be updated on this  
15 airport condition screen.

16           Some of the users that have access to the website,  
17 it's pretty much every tenant at Midway Airport. All the  
18 airlines, the fixed based operators. I have a slide here that  
19 breaks that down for you a little bit. If you look from top to  
20 bottom, once the condition data is obtained, that is  
21 instantaneously transmitted via radio to the airport website  
22 and also to the Midway traffic control tower. What happens at  
23 this point, from the airport website, all the users, the  
24 Department of Aviation users, the fixed base operators, the  
25 corporate tenants, all airline operations, as well as airline

1 dispatch offices obtain this information. The item that I  
2 would like to point out here is that the Midway traffic control  
3 tower actually receives the information from at least two  
4 different sources. One, via radio communication and, two, via  
5 their IDS 4 system. The IDS 4 system is a FAA proprietary  
6 computer system that we actually developed the link so that our  
7 computer system can speak to theirs and provide that same  
8 runway information that all the users are getting to them  
9 electronically, and it happens instantaneously. So at the same  
10 time the information posts to the air traffic control system,  
11 the information is posting to the website which is accessible  
12 24 hours a day to all users.

13           And the most benefit of the system, and the reason  
14 why we're doing this, is in the end, the aircraft is the final  
15 user. This is who we want to get the information to as soon as  
16 possible so that he can make or she can make their decisions or  
17 calculations that they need to arrive at Midway Airport. And  
18 that, as you can see on this chart here, the aircraft actually  
19 receives it from at least three different sources, either from  
20 communication through the air traffic control tower frequencies  
21 or through the ATIS information service and then also through  
22 the airline dispatch centers.

23           This brings us to December 8. On December 8th, we  
24 initiated a snow alert at 11:00 hours in anticipation of a snow  
25 event that was to take place later that afternoon. The

1 heaviest snowfall for Midway occurred between the hours of  
2 17:00 and 18:00 hours where we received 3 inches within that  
3 hour. After that time, after 18:00 hours local time, the snow  
4 decreased significantly.

5           In response to this weather, the City of Chicago and  
6 the Department of Aviation was conducting continuous runway  
7 snow removal operations by brooming, plowing and deicing, or  
8 anti-icing I should say. We also activated about 21 additional  
9 pieces of equipment that are on call. So what that does for us  
10 is by having those additional on-call pieces of equipment at  
11 the airport, that pretty much releases all of the aviation  
12 specific equipment to address the movement areas. So the 21  
13 additional on-call pieces of equipment were brought out to  
14 address some of the terminal ramp areas and gate area  
15 locations.

16           To further emphasize the point here, when we realize  
17 that we were going to be getting this substantial amount of  
18 snowfall, what we did, we were in a two runway configuration  
19 where both runways were available for use. After we seen some  
20 information from in respect to the change in the weather  
21 forecast, what we did is preemptively position ourselves in a  
22 single runway configuration whereby we coordinate with the  
23 tower and close the non-ideal runway for use and concentrated  
24 on a single runway configuration to maximize our snow removal  
25 effort, and that was 31C.

1           I would like to point out also that that evening,  
2 regardless of the snowfall amount or snow rate, there were  
3 never more than a trace to a 1/16 of an inch of snow  
4 accumulation on any of the primary surfaces, and that I think  
5 was a very big plus on the airport snow operations' part.

6           What we see here is just some excerpts from our snow  
7 log and field condition log. Basically it just provides an  
8 outline of some of the activities that took place just over an  
9 hour prior to the actual accident. You know, essentially  
10 again, throughout the whole day, we were doing continuous snow  
11 removal operations on the runway and most of our friction  
12 surveys were confirming all the information that we were seeing  
13 out there visually, that the runway was in acceptable  
14 conditions throughout the event, and even during the heaviest  
15 portion of the snowfall.

16           And then again, we never had more than an  
17 accumulation of the last field vision report that was sent out  
18 to everyone at 18:50 hours, and at that time, we had 90 percent  
19 trace, a 1/16 of an inch of snow with the remaining 10 percent  
20 of the runway was clear and wet, and that tended to be the  
21 condition for most of the evening. We had anti-iced. We used  
22 over 12,000 gallons of anti-icing fluids out on the runway, and  
23 our anti-icing product has a, has a freezing temperature below  
24 negative 75 degrees Fahrenheit, and finally, the other item  
25 here on this page that I wanted to point out is again at 19:22

1 hours, approximately 8 minutes after the Southwest Flight 1248  
2 arrived, our friction average was .40 which is considered good  
3 by many aviation industry standards.

4 In summary, I'd just like to leave you with these  
5 points. We do year-long planning in respect to snow removal  
6 operations. We meet and exceed all the FAA guidelines on  
7 winter snow operations. Again, we have received no discrepancy  
8 FAA certification inspection awards for the last 10 years, and  
9 one item that I forgot to include in my report here is that  
10 Midway is also the recipient of the Colonel Balchen Snow Award  
11 for snow removal excellence. Thank you.

12 CHAIRMAN ROSENKER: Thank you very much,  
13 Mr. Rodriguez. We'll begin with our Technical Panel.  
14 Mr. George.

15 MR. GEORGE: Thank you, Mr. Rodriguez. You were on  
16 the airfield the night of the accident. Is that correct?

17 MR. RODRIGUEZ: That is correct.

18 MR. GEORGE: Can you describe to me and everyone  
19 else, where you were when you heard about it, then all of your  
20 activities, taking you out onto the airfield, if you actually  
21 went out on there, and what you saw?

22 MR. RODRIGUEZ: I was located at the southeast corner  
23 of the airfield. I was actually heading over to the terminal  
24 side at that time, and had just gotten that call. So what I  
25 did was I immediately turned my vehicle around, traversed the

1 general aviation ramps there directly in front of the air  
2 traffic control tower, and joined Yankee taxiway. Once I  
3 confirmed my clearance to drive onto the movement areas, I  
4 proceeded on Yankee taxiway and took a right turn and headed  
5 northeast to 31C. At that point, I jumped on the runway and  
6 expedited down to the end of the runway trying to assess where  
7 the aircraft location was and I think the visibility was fairly  
8 poor. So it was quite sometime before I was actually able to  
9 see that the aircraft had indeed penetrated the airport fence.

10 MR. GEORGE: So you were actually on the accident  
11 runway pretty nearly -- pretty soon after the accident?

12 MR. RODRIGUEZ: Yes, sir. I believe I was the first  
13 vehicle followed immediately by the fire department. They  
14 caught up with me on the 31C.

15 MR. GEORGE: How long was it after that, that the  
16 friction test was done?

17 MR. RODRIGUEZ: I want to say roughly about 8 to 10  
18 minutes after that because we were -- I think initially  
19 everyone's initial response was to respond to the incident, and  
20 en route, one of my other colleagues had called over the radio  
21 requesting for a friction test to be done and the individual  
22 operating the electronic decelerometer happened to be the  
23 closest or in the closest proximity to that runway and he then  
24 proceeded to go onto the runway while the remaining airport  
25 staff was in response to the actual accident location.



1           MR. GEORGE: Well, could you describe what the runway  
2 looked like to you? What was the -- you were apparently the  
3 next vehicle down at what -- describe it to us.

4           MR. RODRIGUEZ: The runway appeared to me, there was  
5 a trace coverage of snow. I didn't have the opportunity to  
6 stop and measure it, but I mean it was a very light trace  
7 coverage. The pavement markings were still visible to me. I  
8 was probably traveling in excess of 50 miles an hour once I was  
9 on the actual runway. So I'd say that was about the general  
10 condition, I'd say like a trace, you know, of an inch of snow  
11 or so.

12           MR. GEORGE: You could still see the markings through  
13 the snow?

14           MR. RODRIGUEZ: Yes.

15           MR. GEORGE: What was the nature of the coverage?  
16 Was it dry snow, powdery, wet or what?

17           MR. RODRIGUEZ: The snow on the runway was fairly  
18 dry. That, that coincided with some of the earlier forecasts  
19 that we had. We were expecting dry snow, and then after the  
20 incident, we had actually called to confirm the type of  
21 snowfall and one of our meteorological forecasters gave us or  
22 provides us with observation data for the Chicago area, and he  
23 had told us that the ratio of the snowfall was a 24 to 1 I  
24 believe, which is considered a dry snowfall.

25           MR. GEORGE: We spent sometime earlier talking about

1 slush on runways. Was there slush on the runway?

2 MR. RODRIGUEZ: No, I would not call that slush, no.

3 MR. GEORGE: Did you see any ruts from any other  
4 vehicles, airplanes included?

5 MR. RODRIGUEZ: No, I didn't. To be honest with you,  
6 I didn't notice any kind of tracking or anything like that.

7 MR. GEORGE: And this is a subjective question, but  
8 you said you were going 50. How slick was it on the runway  
9 when in your vehicle?

10 MR. RODRIGUEZ: I don't, I don't recall it being  
11 slick at all. I would say probably no worse than a wet  
12 condition on a runway. At the end of the runway it had come,  
13 you know, obviously to an abrupt stop. I think it was beyond  
14 the -- high speed before I actually saw that an aircraft or  
15 where the aircraft had actually come to a stop, and it had come  
16 to an abrupt stop and I made a hard right, a 90 degree turn to  
17 the right and exited one of the FAA service roads onto the  
18 surface to go around some of the debris and try to get over to  
19 the aircraft location. So I did not have any problems braking  
20 or anything like that.

21 MR. GEORGE: The snow cover -- one more question  
22 about that. You could discern the difference between the  
23 runway and off the side of the runway? You could tell. It  
24 wasn't a uniform white cover all the way across or --

25 MR. RODRIGUEZ: There was a trace coverage on the

1 runway surfaces and I'd say that the trace coverage was uniform  
2 but it was light in the fact that you could see the markings on  
3 there, and then once you got off of the runway edge line  
4 obviously or onto the shoulders, then you'd have a little bit  
5 thicker coverage in that, you know, you wouldn't be able to  
6 discern where the shoulder and the grass area ended or began.  
7 So I think that's where you would have but fairly -- on the  
8 runway was a fairly uniform coverage of just a trace.

9 MR. GEORGE: I think you touched on this a little  
10 earlier but I wanted you to flush it out a little more. You  
11 say that Midway staffs a position in air traffic control tower  
12 during snow removal procedures. Could you tell us a little bit  
13 more in depth what, what that person does, who they're talking  
14 to, and what the rationale for having them there is?

15 MR. RODRIGUEZ: Sure. The person that we send up  
16 there is usually one of our senior airport operations  
17 supervisors, and what he does is he goes up there, situates  
18 himself usually next to the tower supervisor position just  
19 behind. It's a very small tower. So it's just behind all of  
20 the local and/or air and ground controllers. What he does is  
21 he's up in the control tower with equipment radios as well as  
22 the tower ring down phone that we have a direct line to in our  
23 office, and what he does is he keeps the air traffic control  
24 tower abreast of what we need to do and at the same time  
25 coordinates spacing with the air traffic control tower to get

1 our teams out there and try to be, you know, the least  
2 disruptive that we can but still, you know, do our job and I  
3 think that works very well. What they typically do is we say,  
4 okay, 15 minutes from now we're going to want to get on the  
5 runway and do a snow removal pass and then we also do a  
6 friction run immediately after that. So they would coordinate  
7 a gap. So by the time the aircraft prior to our gap arrive,  
8 there wouldn't be a huge or any delay for the following  
9 aircraft because it had already been coordinated, and he does  
10 that, and then in addition to doing that, he also receives the  
11 same transmissions that are received in our airport operations  
12 office and, and is able to tell the control tower here's our  
13 friction numbers, here's the latest field condition  
14 information, in addition to the fact that the tower has that  
15 information also on their screen. It's just another source to  
16 confirm the change in information or just to make sure they are  
17 abreast of that information being passed, but he does that, you  
18 know, primarily.

19 MR. GEORGE: Okay. So in the tower, they're going to  
20 get the friction measurements just as soon as they're -- as  
21 soon as they come in?

22 MR. RODRIGUEZ: Absolutely.

23 MR. GEORGE: When you as the airport operator, when  
24 you start hearing about or hearing braking action reports that  
25 are less than favorable, what do you do?

1           MR. RODRIGUEZ:  What we'll do is we'll respond to the  
2 runway, to the area in question, and what we'll do is it will  
3 usually be a simultaneous response.  We'll have an individual  
4 that's assigned to the airfield in addition to an air side  
5 manager.  We have an operations supervisor who is also assigned  
6 to the airfield to monitor conditions which is separate from  
7 the friction testing individual and usually you'll have all  
8 three resources possibly heading out to that location to make  
9 an assessment, to try to preclude a closure of a runway, and to  
10 see whether the pilot reports, you know, confirm what is  
11 actually out there or is it, you know, not in, you know, not in  
12 concurrence with what we're seeing, and that's kind of what we  
13 do, our initial response is, and we might suspend an aircraft  
14 operation, let's say for example, we've got a poor report or  
15 nil or some type of a bad report.  We'll respond, assess the  
16 situation.  If need be, we would ask the control tower to send  
17 the aircraft around if it's a close proximity between arrivals,  
18 and then make that assessment.  If we need to close the runway,  
19 we'll close the runway or we might conduct a snow removal team  
20 pass to improve the conditions if, in fact, they are in  
21 conjunction with what the pilots are reporting.

22           MR. GEORGE:  Let's say that on the night of the  
23 accident that the accident had not occurred.  What would you  
24 estimate the time period that the snow removal team would have  
25 been back on 31C?

1           MR. RODRIGUEZ: I believe they had -- they were  
2 trying to get back or they were getting stuff to get back on  
3 the runway prior to that aircraft arriving. I think we were  
4 averaging -- I want to say in about a five hour span prior to  
5 the accident, we had about 15 friction surveys conducted. So  
6 we were probably averaging about three an hour. So usually  
7 what happens is when our snow removal team moves onto a runway,  
8 our friction device is either moving with them or immediately  
9 after the exiting of our snow removal team, our friction device  
10 will enter the runway and conduct his pass. So it all happens  
11 fairly quickly, but we were probably in the process around that  
12 time to try to get back on the runway because we were at the  
13 31C pad location completing our, our clean off of the  
14 equipment. So --

15           MR. GEORGE: How long does it take to -- once you get  
16 finished at one end, all the way down the runway, to get that  
17 entire broom team and plows and everybody back around to the  
18 approaching?

19           MR. RODRIGUEZ: The pass from one end of the runway  
20 to the other, and this varies slightly depending on the  
21 intensity of the snow, the type of snowfall and whatnot, and  
22 also wind direction, typically I'd say about anywhere from 10  
23 to 12 minutes is an average timeframe to get from one end to  
24 the other, and then the other consideration is that you have to  
25 take into consideration the cross runways and taxi runways

1 because you can't plow snow onto those areas if they're being  
2 utilized. So you have to swing out and grab that as well. So  
3 I'd say an average of about 10 to 12 minutes to get to one end,  
4 and then they need to cycle back and usually that happens via  
5 the primary taxi route back to the terminal and then or back to  
6 the runway. So I would say 10 to 12 one way and then maybe  
7 another, you know, 10 to 12 or 10 to 15 the other way. So --

8 MR. GEORGE: Are you ever hampered in taking friction  
9 surveys due to air traffic?

10 MR. RODRIGUEZ: No, we have a pretty good  
11 relationship with our air traffic control tower and like I  
12 said, the coordination is key between airport operations  
13 individual working side by side with that controller, and I  
14 think that having that there is what facilitates quick and  
15 continuous or repetitive friction testing on the runways.

16 MR. GEORGE: There at Midway you have both continuous  
17 friction measuring equipment and decelerometer devices  
18 available and they were available that night. Given the  
19 conditions on the night of the accident, would there be any  
20 advantage in using one type over another?

21 MR. RODRIGUEZ: I'd say that they're pretty  
22 interchangeable for us. We don't have any problems using one  
23 device or another, and that night we were running both of them  
24 so that we can monitor, you know, the field more completely.  
25 So, yeah, I'm sorry, the answer would be no, there's no,

1 there's no correlation or difference between the two for us.

2 MR. GEORGE: Well, you've been around both types in  
3 the job for a while. What's your gut feeling on the accuracy  
4 of the different types? Do you have any opinions there?

5 MR. RODRIGUEZ: I mean we don't have any problems  
6 using the devices. It's a very useful tool that provides us  
7 great, you know, factual data. That's kind of what we're  
8 looking for is some kind of a realistic assessment of what's  
9 going on outside of whatever everybody else thinks is going on  
10 out there. So that's a very useful tool in that respect and,  
11 you know, we're very happy with the results and then tend to  
12 correlate with, you know, in our experience in past snow  
13 events, tend to correlate with what we're doing out there.

14 MR. GEORGE: When was the last time the Beaumont that  
15 was used that night, when was the last time that machine was  
16 calibrated?

17 MR. RODRIGUEZ: That machine was calibrated in 2005,  
18 I want to say May of 2005, somewhere at the beginning of that  
19 month. I'm not exactly sure of the date.

20 MR. GEORGE: Is that in accordance with the  
21 manufacturer's recommendations on --

22 MR. RODRIGUEZ: Correct. We send those out for  
23 calibration every year, prior to the snow season, of course.

24 MR. GEORGE: Could you describe the level of  
25 experience of the gentleman that was operating the Beaumont



1 that night? How many months or years of experience does he  
2 have working that sort of equipment and taking that kind of  
3 reading?

4 MR. RODRIGUEZ: The individual that operated that  
5 piece of equipment that night, and coincidentally he was the  
6 same person that took both readings and all the Beaumont  
7 readings throughout that even, he, he's been with the  
8 Department of Aviation for over 10 years, and he's operated it  
9 pretty much every piece of friction device that we've had over  
10 the years which is more so than the two different types that we  
11 have right now but he's had quite some experience with that,  
12 and in addition to the snow removal operations, we also use the  
13 friction devices year round. So that's something that, you  
14 know, is beneficial in respect to CFMEs, our staff uses them  
15 during the non-winter season, as frequently as once per week  
16 per runway. So he's pretty proficient with all of that  
17 equipment.

18 MR. GEORGE: Do you provide or does Midway Airport  
19 provide any kind of training per se on -- let's just stick with  
20 the friction testing equipment. Do you supply any particular  
21 training for the different types for the drivers?

22 MR. RODRIGUEZ: Initially when we acquire a device  
23 like the friction or decelerometer or electronic decelerometer,  
24 we get the initial training done by the manufacturer. They  
25 provide us with manuals and quick reference cards, and then

1 every year we do a review of the operation of our equipment  
2 that we utilize for our operations staff. In addition to that,  
3 we also review the advisory circulars to keep up with any  
4 changes or recommendations that might have come up. So that's  
5 primarily an annual review process for us in addition to like I  
6 said, you know, the friction test is specific. It's something  
7 that, you know, we utilize year round. So it's hard to forget  
8 how to use it.

9 MR. GEORGE: Well, for somebody like me that really  
10 doesn't have any experience at it, could you take us through or  
11 describe what a person would be doing if they were -- if they  
12 had the Beaumont out there, and they were going to do a  
13 friction survey?

14 MR. RODRIGUEZ: Sure. When, when they initially  
15 acquire the device, they go out into the vehicle, properly set  
16 that up inside the vehicle. The way we utilize it, we set it  
17 up in the front passenger seat. It gets strapped in with the  
18 seatbelt. At that time, we go out onto the surfaces. They do  
19 a series of calibration tests on that device to make sure that  
20 everything is zeroed out and ready for test. Once you get the  
21 okay from the system, then they go ahead and proceed their  
22 test. We do a minimum of three tests per each third of the  
23 runway. On occasion, some of our staff will even go as far as  
24 doing 15 and as long as we do them in variables of three, the  
25 computer system is able to calculate and figure out the

1 averages. So that's basically how you go and we do that along  
2 the whole process of the runway, and again, the electronic  
3 decelerometer provides us or enables us to provide the aircraft  
4 operator with a more conservative report of what's out there  
5 because we're going to be looking for the problematic areas or  
6 anything that's of a concern that's on a runway, and that's  
7 where we're going to try to get a read in the process of all  
8 the nine reads for the three thirds of the runway.

9 MR. GEORGE: Even more fundamentally, do take off and  
10 go up to 40 and slam on the brakes and then take off and go up  
11 to 30, 40, whatever your --

12 MR. RODRIGUEZ: Yeah, that's, that's part of the  
13 process and that's part of the training that was done with the  
14 manufacturer and they actually went out with each individual  
15 airport staff member and went out and explained to them the  
16 proper application of, of the braking methods.

17 MR. GEORGE: Well, with your knowledge and your  
18 experience in airport operations over the years, this is a  
19 philosophical question, can you think of any changes in FAA  
20 requirements, in snow removal procedures, in friction testing  
21 procedures, dissemination of information, or anything else that  
22 would improve safety during winter operations from the airport  
23 perspective?

24 MR. RODRIGUEZ: I think any supplement to what we're  
25 doing is always helpful in respect to communicating the

1 friction information for example and this is -- I'm just  
2 conceptually speaking, but any supplement to how we're doing  
3 things is a very necessary method because some of that enables  
4 us to rely on scientific data if you will. So a supplement to  
5 that would be to possibly figure out a way to get the  
6 information to the aircraft more directly or more promptly. I  
7 mean we're doing it pretty quickly with the electronic log  
8 system but I think there were ever developed a direct link to  
9 the aircraft from the airport operator in some respect, maybe  
10 that would be helpful and then, you know, conversely from that  
11 end back to ours, you know, if there is any type of correlated  
12 friction information that the airport can obtain from the  
13 aircraft, that will also help us to paint a better picture of  
14 what we're looking at on the runway and assist the conditions,  
15 but again, any supplement to what we're doing would always be  
16 considered helpful.

17 MR. GEORGE: Is there anything that you think the  
18 airport should have done differently on the night of the  
19 accident with relation to snow removal procedures or friction  
20 testing or runway condition reporting?

21 MR. RODRIGUEZ: I don't -- that's a good question. I  
22 don't believe that there was much of anything else we could  
23 have done. The snow that night was very manageable be it a  
24 great amount occurred over a short period of time but the fact  
25 that we had all the resources on hand enabled us, like I said,

1 to maintain that runway condition to pretty close to wet  
2 condition and outside of throwing more of the same at it, I  
3 mean I don't know how much of a benefit that, you know, we only  
4 have 150 foot wide runway. So I can't foresee doing anything  
5 else that could have improved that operation I don't think.

6 MR. GEORGE: Thank you. I don't have anymore  
7 questions.

8 CHAIRMAN ROSENKER: Thank you, Mr. George. We'll  
9 begin with the parties. Southwest Pilots Association?

10 CAPT. HEFNER: We have no questions.

11 CHAIRMAN ROSENKER: Thank you. Southwest Airlines?

12 MR. LOGAN: No questions, Mr. Chairman.

13 CHAIRMAN ROSENKER: Boeing Aircraft?

14 MR. SMITH: No questions from Boeing, Mr. Chairman.

15 CHAIRMAN ROSENKER: FAA?

16 MR. WALLACE: Just one. Mr. Rodriguez, would you --  
17 you talked about the factors in deciding when to do snow  
18 removal. Would you do snow removal on occasion just based on a  
19 runway friction measurement?

20 MR. RODRIGUEZ: How do you mean, sir?

21 MR. WALLACE: Well, for example, after the accident,  
22 the prior witnesses showed that the friction measurements were  
23 in the order of .4 or something like that. Would that -- to  
24 what extent would that dictate that you do snow removal or  
25 would it be just a factor you consider?

1           MR. RODRIGUEZ: Well, I think the way that we  
2 approach snow removal operations at Midway Airport, is  
3 regardless of whether our friction numbers are .4 or .67 or  
4 .80, for us if there's a precipitation occurring, we are in the  
5 snow removal process. Whether the -- are all good all day long  
6 and friction numbers are through the roof, if it's snowing,  
7 we're still running snow equipment out there, and I don't know  
8 if that completely answers your question but, you know, at a  
9 minimum we would obviously conduct them according to the  
10 standards that FAA sets forth, but we are never near that  
11 point, and again anytime any precipitation is occurring, we are  
12 mitigating that regardless of whether the readings are great or  
13 average or fair.

14           MR. WALLACE: Thank you. Nothing further.

15           CHAIRMAN ROSENKER: Thank you. Finally the City of  
16 Chicago?

17           COMMISSIONER FERNANDEZ: The City of Chicago has no  
18 questions for the witness.

19           CHAIRMAN ROSENKER: Thank you, Commissioner. We'll  
20 begin with the Board of Inquiry. Dr. Ellingstad.

21           DR. ELLINGSTAD: Thank you. Now you mentioned this  
22 particular operator that was working the friction test the  
23 evening of the accident had about 10 years of experience?

24           MR. RODRIGUEZ: Yes, sir.

25           DR. ELLINGSTAD: How many operators do this testing

1 for you?

2 MR. RODRIGUEZ: We have approximately 12 operators  
3 that conduct friction surveys.

4 DR. ELLINGSTAD: So this is pretty much an  
5 interchangeable thing in terms of who might do it at a  
6 particular time?

7 MR. RODRIGUEZ: Absolutely.

8 DR. ELLINGSTAD: And you mentioned that there is  
9 training that your organization receives when you procure new  
10 equipment. I didn't catch whether or not there is a recurrent  
11 kind of a training for the operators on any regular basis. Is  
12 there?

13 MR. RODRIGUEZ: Right, there is, and that is  
14 conducted by our own staff.

15 DR. ELLINGSTAD: Do you accomplish any kind of  
16 performance evaluation for the operators? Are they checked out  
17 and is their skill in doing this systematically evaluated?

18 MR. RODRIGUEZ: What we do is we actually go out with  
19 each individual and have them run through some testing.

20 DR. ELLINGSTAD: So it's an OJT sort of a process?

21 MR. RODRIGUEZ: Exactly. Our senior airport  
22 operations staff oversees that part of the training.

23 DR. ELLINGSTAD: Okay. And finally, I know you had a  
24 slide with respect to your system, your electronic logging, but  
25 would you just refresh me again in terms of in accomplishing a

1 particular test after the runway is cleared, and you've done  
2 these tests for each third of the runway, specifically how  
3 does, how does the data get to where the carriers or the pilots  
4 can use it?

5 MR. RODRIGUEZ: Sure. The information is transmitted  
6 initially via radio transmission. An airport operators staff  
7 member in the office that's dedicated to obtaining this  
8 information, he takes that information immediately and enters  
9 it into the log system, which is an interface by which the  
10 information is posted to the website. So it's a form that we  
11 use that is not -- it's fairly similar to what the end user is  
12 seeing on their screen but what that individual does, he enters  
13 the information and then once that is entered, it automatically  
14 posts to the airport website and automatically and  
15 simultaneously posts to the FAA IDS 4 system, and at that time,  
16 it can be viewed by anybody at anytime. I mean an operator or  
17 an airline operator can essentially log onto an alarm system  
18 and leave it on a display screen all day long and it'll update  
19 automatically. It has similar to the ATIS system, it has an  
20 authentication letter and timeframe so you know what you're  
21 looking at and when it was last reported, in addition to the  
22 times being referenced on the friction surveys and field  
23 condition reports.

24 DR. ELLINGSTAD: But mechanically the operator of the  
25 friction tester is radioing in these measurements and then it



1 is being --

2 MR. RODRIGUEZ: Entered.

3 DR. ELLINGSTAD: -- transcribed.

4 MR. RODRIGUEZ: Correct, and then the person at the  
5 control tower is also relaying this information because he's  
6 monitoring the radio transmission as well, and the operator has  
7 obtained this information from the actual -- printout.

8 DR. ELLINGSTAD: Okay. Thank you.

9 CHAIRMAN ROSENKER: Thank you, Dr. Ellingstad.

10 Mr. Clark.

11 MR. CLARK: No questions.

12 CHAIRMAN ROSENKER: Mr. Benzon.

13 MR. BENZON: Just one, sir. The first post-accident  
14 friction test, was that part of a checklist item that you  
15 gentlemen automatically do or is it a good thought on  
16 somebody's part or what?

17 MR. RODRIGUEZ: That is actually criteria that's  
18 spelled out by the FAA. That's one of many factors that  
19 dictate when you need to conduct a friction survey.

20 MR. BENZON: So the FAA says do one after every off  
21 runway incident or whatever?

22 MR. RODRIGUEZ: After every incident, yes, correct,  
23 sir.

24 MR. BENZON: Okay. Thank you. That's it.

25 CHAIRMAN ROSENKER: Thank you, Mr. Rodriguez.

1 MR. RODRIGUEZ: Thank you, Mr. Chairman.

2 CHAIRMAN ROSENKER: I appreciate your testimony.

3 Your contributions today, your presentation and your candid  
4 answers. You're excused as a witness

5 (Witness excused.)

6 CHAIRMAN ROSENKER: And we will take a -- I'll be  
7 generous, a 45 minute break. We'll be back at 1:30 promptly to  
8 begin our next panel. We're in recess.

9 (Whereupon, at 12:45 p.m., a luncheon recess was  
10 taken.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A F T E R N O O N     S E S S I O N

(1:30 p.m.)

CHAIRMAN ROSENKER: We're reconvened, and we'll call the Southwest Airlines witness, Mr. Denny Mosseller. Mr. Benzon, will you swear in the witness please?

MR. BENZON: Okay. I'll do it from up here this time.

CHAIRMAN ROSENKER: Okay.

MR. BENZON: Sir, remain standing please. Raise your right hand. (Whereupon,

DENNY MOSSELLER

was called as a witness, and having been first duly sworn, was examined and testified as follows:)

MR. BENZON: Sir, before we begin, we'll need to qualify you a little bit. Could you spell your last name for us and then tell us what you do at Southwest?

CAPT. MOSSELLER: Yes. The last name is spelled M O S S E L L E R, and I'm the Senior Director of Training and Standards for the Flight Operations Department of Southwest. My responsibilities include the oversight of the Flight Training Center, all of our training programs, our standardization programs and our manuals.

CHAIRMAN ROSENKER: Thank you for joining us here, Mr. Mosseller. I appreciate your contributions and your

1 testimony that you're about to give. Do you have a  
2 presentation first?

3 CAPT. MOSSELLER: I do not, sir.

4 CHAIRMAN ROSENKER: You do not.

5 CAPT. MOSSELLER: I do not.

6 CHAIRMAN ROSENKER: Okay. We'll begin with the  
7 question areas, with Captain Kirchgessner first.

8 CAPT. KIRCHGESSNER: Captain Mosseller, welcome.

9 CAPT. MOSSELLER: Thank you.

10 CAPT. KIRCHGESSNER: I appreciate you attending to  
11 give us your input here for the hearing. I have a few  
12 questions for you, and if you're ready to get started, we'll go  
13 ahead and get started.

14 CAPT. MOSSELLER: Absolutely.

15 CAPT. KIRCHGESSNER: Okay. I'm interested in how  
16 your pilots determine the adequacy of the landing runway when  
17 adverse conditions are present, and I'd like you to start with  
18 a description of the information the pilot receives from the  
19 dispatcher for the destination runway.

20 CAPT. MOSSELLER: Typically the captain will receive  
21 a weather packet and a dispatch release prior to departure, and  
22 once that's given to him from the operations agent, at the  
23 departure station, he will review that dispatch release and the  
24 weather packet and if there are questions as to the nature of  
25 the conditions that are in place at his arrival at the airport,

1 then at that point there will be a phone call typically to the  
2 dispatcher to discuss what those conditions were, how lately  
3 had they been updated what the fuel load looked like, alternate  
4 situation, what the likelihood of actually getting in, what the  
5 weather had been doing for the past few hours, and questions of  
6 that sort. So it would actually begin with that process  
7 followed by a review by both the captain and the first officer,  
8 where that information is hopefully shared with both sets of  
9 eyes taking a look at it and making a preliminary decision as  
10 to whether or not the plan that the dispatcher has laid out for  
11 them is something that they feel is feasible and prudent.

12 CAPT. KIRCHGESSNER: Okay. Once he has all that  
13 information, how does he use that information en route in his  
14 decision making as to whether or not to land at the  
15 destination?

16 CAPT. MOSSELLER: Once the flight has actually  
17 departed, then typically during the climb out and first portion  
18 of the en route, that period of time is more devoted to getting  
19 on the proper route and establishing the cruise altitude but as  
20 they get closer to the station, at about the 150 mile point,  
21 then typically the activity will pick up again where the pilot  
22 not flying or the pilot monitoring, will gather the ATIS  
23 information, contact the station, calculate the landing data,  
24 the projected landing data in an on-board performance computer,  
25 and then basically once they've gotten that information, the

1 pilot flying is required to give an arrival brief, and what  
2 we're basically doing at that point in time, is building a plan  
3 for not only the arrival, but the approach, the landing runway,  
4 even to include the taxiway that we might be using to exit the  
5 runway. That would certainly include at that time any adverse  
6 conditions that are present at the airport.

7 It would also include considerations as to whether or  
8 not we would be -- what type of an approach we would be flying,  
9 and what we would expect.

10 From that point, once the initial plan is made, then  
11 the pilots would typically continue to gather information from  
12 different sources as they began the descent into the arrival  
13 city. Typically that would be either via an ACARS data link  
14 with our dispatch, a radio contact with the station, even  
15 listening to the tower frequency on a secondary radio, as they  
16 got closer within radio range, VHF radio range, to hear exactly  
17 what is going on at that moment in time at their arrival  
18 airport. That continues on all the way through the descent  
19 phase and as they get over onto approach, typically approach is  
20 going to have very up to date and reasonably accurate reports  
21 about what is going on. Again, they'll be listening. If it's  
22 really adverse conditions, they'll be listening to the tower.  
23 They'll be considering rerunning the data in the on-board  
24 performance computer if the conditions have changed  
25 significantly, and from that point they continue to refine that

1 plan to gather that information and to make a determine, in  
2 sorts a mini risk assessment as to whether or not the approach  
3 they're going to fly, the arrival runway and their plan is  
4 prudent, and that would continue right up through the approach  
5 and the arrival.

6 CAPT. KIRCHGESSNER: I believe Southwest has what's  
7 known as a field condition report. Can you explain what that  
8 field condition report is and how it's utilized?

9 CAPT. MOSSELLER: Well, typically as an airport  
10 begins operations for the day, very early in the morning, the  
11 operator will give a -- will take an assessment of what the  
12 facility, what is going on at the facility at that particular  
13 morning. That assessment might include runways that are  
14 partially closed, completely closed, nav aids, taxiways out of  
15 service, anything that might be unique or unusual to the  
16 operation that can then be shared with the tower which is  
17 subsequently shared with our flight dispatch department and  
18 then ensuing that to the pilots via the weather packet and the  
19 dispatch release information that they get, although I might  
20 add that the field condition reports, as you could expect,  
21 things can change quickly especially in a very dynamic  
22 situation, that the pilots are encouraged via a note on the  
23 weather packet, for current field condition reports, contact  
24 the dispatcher.

25 CAPT. KIRCHGESSNER: Well, is there a process for

1 updating the field condition reports?

2 CAPT. MOSSELLER: I'm not familiar with the  
3 requirement that the advisory circular sets out for the  
4 operators as to how often they have to update the field  
5 condition reports. I do know that they do it first thing of  
6 the day, and you'll see them in the weather packet but the  
7 typical scenario would be that the captain, if concerned about  
8 that field condition, would just pick up the phone and call our  
9 dispatch office.

10 CAPT. KIRCHGESSNER: Would it be typical for the  
11 dispatcher to automatically relay the field condition report to  
12 an en route pilot?

13 CAPT. MOSSELLER: If there are conditions at the  
14 airport, obviously the dispatcher's role is one of oversight of  
15 that flight and not only the planning, but also the oversight  
16 and flight following of that flight, and he would certainly, if  
17 conditions were changing, send an ACARS message or do a radio  
18 hookup with that flight to let them know what the circumstances  
19 are for that arrival, as it obviously has huge implications on  
20 alternates that they've already planned and/or fuel loads and  
21 such as that.

22 CAPT. KIRCHGESSNER: Okay. All right, Captain.  
23 Let's move into another area. At Southwest, how much emphasis  
24 is placed on mu values and what type of training does the pilot  
25 receive regarding interpreting those values?



1           CAPT. MOSSELLER: The mu values, we have to my  
2 knowledge since I've been a captain which has been since 1984,  
3 to my knowledge the mu values, we've always had a chart in our  
4 operations manual, and it's obviously discussed during the  
5 captain upgrade process as to -- and initial training, as to  
6 what value do we give it, what purpose does it serve, how do  
7 you weight it, and essentially and I'm more familiar with the  
8 captain upgrade discussion on that, that comes from both the  
9 classroom discussion that they have and also during our  
10 operating experience, is that they are basically given and  
11 taught, that is one piece of information, that it's obviously  
12 more of a quantitative measurement than a pilot braking report,  
13 but that it is just one piece of the puzzle in building that  
14 picture that might also include the approach you're flying, the  
15 visibility, is it night or is it day, how long is the runway,  
16 projected stopping margins, the actual weather conditions  
17 existing at the time of the approach, that it's added in as one  
18 of those pieces of the puzzle, that the pilots are trying to  
19 build a picture. So they then, in doing their risk assessment,  
20 decide whether to shoot that approach and to land on that  
21 runway is prudent or not.

22           So directly in response to your question, I think  
23 that the training that is given on mu is the fact that it is in  
24 our books, that it is a piece of information that can be used  
25 by them, but nothing specific as to the -- obviously we tell

1 them that there are different types of vehicles and devices  
2 that are used, but we don't really get into any very detailed  
3 specifics about those individual devices and their  
4 relationship.

5 CAPT. KIRCHGESSNER: And based on your experience,  
6 Captain, would you say it's common or uncommon for a pilot to  
7 receive a mu value report?

8 CAPT. MOSSELLER: Based on my personal experience,  
9 and I've been flying at Southwest now for 35 -- 29 years, for  
10 29 years at Southwest and a Captain since '84, it's been my  
11 experience that you don't get a lot of mu readings unless -- my  
12 personal experience has been that if it's an extremely bad  
13 runway surface, adverse conditions, that you could see them in  
14 the ATIS, and I have seen them in the ATIS several times over  
15 the years, and that the tower controllers will give you the new  
16 reading once it's below I believe about a .40, and I have had  
17 the tower controllers give it to me but on a scale of how many  
18 times have I gotten it, I would say it's relatively infrequent.

19 CAPT. KIRCHGESSNER: Okay. Now we've gotten a pretty  
20 good description of what braking action reports are earlier  
21 today. So I'm not going to ask you to go through that, but I  
22 would like you to describe how the Southwest pilots are trained  
23 to give a braking action report.

24 CAPT. MOSSELLER: Typically as I believe the  
25 gentleman from United, Mr. DeGroh, discussed, when our pilots

1 show up as I'm sure United's as well, the competitive  
2 environment that we're in right now, our new hire pilots have  
3 5,000 hours average flight time when they show up on the  
4 property of which about 2400 of that is pilot-in-command time  
5 in turbine, turboprop or turbojet type of aircraft. That time  
6 may have taken them from as little as 5 years, 6 years, to 10  
7 years plus to gather that, in any number of environments  
8 including military aircraft and/or civilian operations flying  
9 in all kinds of weather. So we hire very good people. When  
10 they do show up, during their initial training, we have a two  
11 day course, it's not quite a total of two days but during that  
12 module, we talk about takeoff and landing safety and during the  
13 landing safety portion of it, they receive instruction on  
14 adverse conditions, how they're entered into the on-board  
15 performance computer, and how we actually deal with that. Once  
16 they go out onto the line with their check airman for 25 hours  
17 of operating experience, essentially there is a discussion item  
18 that the check airman cover with them as far as approaches and  
19 landings include adverse conditions. The pilot will typically  
20 spend 6 years in the right seat at Southwest currently, and  
21 during that time, they'll accrue another 5,000 hours of  
22 operating experience, real line operations in our system,  
23 flying our aircraft throughout our 61 or 62 cities, in all  
24 kinds of weather, so that by the time they upgrade to captain,  
25 they've basically got around 10,000 hours average, and 6 year

1 minimum in the 737 in our system. So the way it was described  
2 this morning, I would have to agree with completely, is that it  
3 is an experience gained that gives you the ability to determine  
4 what braking action you're feeling at that time, that by  
5 putting a definition on paper, albeit a noble cause, it's very  
6 difficult to take a definition from a piece of paper and to  
7 translate that into what it actually feels like to land on a  
8 runway with poor or fair or nil braking for that matter. So  
9 they go through the captain upgrade process, again a discussion  
10 item in ground school from our references in the FOM. We have  
11 a several page section on landing with braking advisories, less  
12 than good. We go into great depth with them in the  
13 communications aspect of the captain's job, and that we don't  
14 teach them how to give a PIREP or a braking action report  
15 because the AIM basically covers that and that's in very early  
16 on in the piloting phases. We don't cover that exactly but  
17 what we do talk about is the importance of gathering  
18 information from all available sources and not short siding  
19 yourself and cutting people off, whether it be your dispatcher  
20 or the station or the first officer or whomever, to make sure  
21 you get all the pieces of information and then to make an  
22 informed decision. So that once they're out there as a captain  
23 then, they're basically we feel very tuned -- in tune with the  
24 criticality and the flight operations directs them, that it is  
25 essential that they give accurate and timely weather reports,

1 whether they be hazardous weather or just PIREPs of a normal  
2 nature, but certainly on a braking action as critical as that  
3 can be, that they give that in a timely manner to the tower and  
4 to the station, and as they follow up, once they get to the  
5 gate, to pick up the phone and call dispatch and make sure that  
6 the dispatcher working that city is aware of what's going on  
7 and not depend or assume that a report getting passed to them.

8           CAPT. KIRCHGESSNER: So based on the subjectivity of  
9 it, you feel that the training at Southwest is adequate in that  
10 area?

11           CAPT. MOSSELLER: It is certainly a very subjective  
12 area. I mean it is one of those things that again I would say  
13 I do believe that what we're giving our new hires and our  
14 captains are good tools to go out there and make those  
15 subjective decisions. The fact is that it's almost impossible  
16 to avoid experiencing those conditions over six years and, you  
17 know, you go back to how many actual takeoffs and landings we  
18 do a day, we fly over 3,000 flights a day, almost a million a  
19 year. You know, our guys are generally getting 30 to 40  
20 takeoffs and landings each a month, not as a crew, but each,  
21 that it's almost impossible not to see those conditions. And  
22 so then we feel like just by virtue of the subjective nature of  
23 that whole area, that we want to -- we've discussed giving it  
24 to them in the simulator, we've done a lot of -- given it a lot  
25 of thought quite frankly, and we come back to the same

1 conclusion, that the training on that area has -- the vast  
2 majority of the real training has to be through line experience  
3 and hence the supervision of a captain or a check airman and  
4 experience gained before they get into that position.

5 CAPT. KIRCHGESSNER: Okay. Very good. If you would,  
6 would you please compare and assess the value of a braking  
7 action report given by a Southwest pilot versus that of a Part  
8 135 or a Part 91 aircraft pilot.

9 CAPT. MOSSELLER: I guess I would have to  
10 characterize it as if I, me personally, I were out there, my  
11 order of choice would be that I would hear the braking action  
12 from another Southwest 737 aircraft. My second choice would be  
13 another 737 aircraft from another carrier. Third choice would  
14 be another air carrier jet aircraft. Probably fourth choice  
15 would be either a Part 135 or Part 91 jet aircraft. And last  
16 choice would be some sort of a turboprop type of aircraft due  
17 to the differences in the stopping devices that they have on  
18 those airplanes as compared to ours. But I would certainly  
19 prefer to hear it from one of our pilots based on what I  
20 previously said, the fact that we do have a very standardized  
21 operation and it's -- you can, you can count that if somebody  
22 lands and they followed our procedures which we have to assume  
23 that they did and got the aircraft safely stopped, that that's  
24 going to be a reasonably accurate assessment of what you can  
25 expect as long as it's not a long time delay between the

1 arrival of that aircraft and your aircraft. I would not  
2 discount a Part 135 or Part 91 if a very severe braking  
3 condition report was given but what it would cause me to do is  
4 to either hold and/or just not shoot the approach until I  
5 gathered some additional corroborating information, whether it  
6 be a friction report from the airport or another aircraft  
7 landing or something of that nature, that I would be hesitant  
8 to accept the risk with very minimal stopping margins just  
9 based on a Part 91 or 135 operator, if that's all I had to go  
10 with.

11 CAPT. KIRCHGESSNER: Okay. We've also gotten a few  
12 definitions earlier in the hearing on the mixed braking  
13 reports. So I won't ask you to redefine that, but can you tell  
14 me how a mixed braking report prior to the accident was  
15 addressed in the flight operations manual?

16 CAPT. MOSSELLER: Yes, sir. As a matter of fact, the  
17 verbiage that was contained in the flight operations manual at  
18 the time of the accident which we thought certainly addressed  
19 that issue, basically said braking action reports less than  
20 good are classified according to the most critical term (fair,  
21 poor or nil). In conjunction with that, I think that's --  
22 again, if you take that out of context, the piece that goes  
23 along with that is the fact that we do try, in that in our  
24 initial new hire training during the takeoff and landing safety  
25 module, and they're clearly shown there and get to work

1 problems with an adverse condition, where they're given a good  
2 to fair or fair to a poor and they see that you have to enter  
3 the most critical condition into the performance computer to  
4 get an appropriate answer out of it. That's again covered in  
5 our 2005 recurrent training class, and it's been modified  
6 slightly, but it's covered again this year in 2006 recurrent  
7 training class where they're given a snow scenario in Baltimore  
8 I believe that basically requires them to see that it's a  
9 variable mix braking action report and that they're to enter  
10 the most critical term.

11 CAPT. KIRCHGESSNER: Can you read the definition one  
12 more time that you had prior to the accident?

13 CAPT. MOSSELLER: Yes, sir. Braking action reports  
14 less than good are classified according to the most critical  
15 term (fair, poor or nil).

16 CAPT. KIRCHGESSNER: Now does that definition refer  
17 to the pilot or does it refer to an actual ATC report?

18 CAPT. MOSSELLER: It -- in our estimation, it's the  
19 directive to the pilot to say that the most critical term is  
20 what you use. Now the most -- obviously the tower would, if  
21 they're giving a mixed braking action report, and say fair to  
22 poor, how they choose to interpret that I'm not sure but that's  
23 the way that our guys are taught to interpret it.

24 CAPT. KIRCHGESSNER: Okay. And then you mentioned  
25 that this has been modified a little bit since the accident.



1 Has that verbiage been changed any?

2 CAPT. MOSSELLER: It has been modified slightly since  
3 the accident, the initial sentence that I just read to you is  
4 still present and immediately following that is an additional  
5 sentence that says if a combination is given, example, fair to  
6 poor, use the more restrictive of the two. And that was added  
7 as an attempt to hopefully beyond any doubt decrease any doubt  
8 in anybody's mind that if you're given a condition, whether  
9 it's concerning braking action or tailwind, you use the more  
10 restrictive condition and put in the worst condition.

11 CAPT. KIRCHGESSNER: And has the new verbiage been  
12 put out to the pilots?

13 CAPT. MOSSELLER: Yes, sir, it has.

14 CAPT. KIRCHGESSNER: Okay. One final questions,  
15 Captain, that I wanted you to clarify for us. A little bit  
16 earlier, Captain DeGroh mentioned that most pilots did not know  
17 that a reverse thrust credit was factored into many of the  
18 landing calculations. Prior to the accident, was that  
19 statement true at Southwest?

20 CAPT. MOSSELLER: Prior to the accident, out pilots  
21 were taught, in again that initial takeoff and landing safety  
22 when they are first hired with Southwest, in on-board  
23 performance computers, there were problems from both types of  
24 aircraft, the classics and next gens, that the classics, it was  
25 not considered in the credit, the stopping margin credit. It

1 was not given credit for, and conversely that it was given  
2 credit in the 700. Our manual at the time, there was one  
3 inconsistency in there that has since been corrected, that we  
4 realized that it was -- probably could lead someone to believe  
5 that, in fact, in the next generation aircraft that perhaps the  
6 thrust reverser was not considered but that has been corrected,  
7 and it matches up throughout the book.

8 CAPT. KIRCHGESSNER: Okay. Thank you, Captain  
9 Mosseller.

10 CAPT. MOSSELLER: Thank you, sir.

11 CAPT. KIRCHGESSNER: I have no further questions,  
12 Mr. Chairman.

13 CHAIRMAN ROSENKER: Thank you very much, Captain.  
14 Dr. Lemos, did you have questions?

15 DR. LEMOS: No questions. Thank you.

16 CHAIRMAN ROSENKER: Thank you very much. We'll now  
17 go to our parties. City of Chicago.

18 COMMISSIONER FERNANDEZ: The City of Chicago has no  
19 questions for this witness.

20 CHAIRMAN ROSENKER: Thank you, Commissioner.  
21 Southwest Pilots Association.

22 CAPT. HEFNER: The Southwest Pilots Association has  
23 no questions.

24 CHAIRMAN ROSENKER: Thank you. Boeing, do you have  
25 questions?

1 MR. SMITH: Boeing has no questions.

2 CHAIRMAN ROSENKER: Thank you. The FAA.

3 MR. WALLACE: I just have one or two, Mr. Chairman.

4 Captain Mosseller, you talked briefly about what goes  
5 in the OPC and -- the issue of the lower braking action report  
6 has been clearly covered. Thank you. One question about  
7 accepting braking action reports, my sense then is you don't  
8 have any prohibition against accepting braking action reports  
9 from non-Part 121 operators so that it's the pilot's discretion  
10 judgment I assume?

11 CAPT. MOSSELLER: Yes, sir. Certainly there's no  
12 prohibition. The example I would give you was that at some of  
13 the smaller airports, certainly not at Chicago Midway, but at  
14 some of the smaller airports, the first one or two aircraft  
15 arriving may very well be general aviation aircraft and it  
16 might be a Falcon 20 or a DeHavilland Twin Otter or any version  
17 of aircraft and hence my discussion about what you would prefer  
18 to have but, no, we would not discount that completely. It  
19 would just give me personally cause to gather more information  
20 before I made that decision as to whether or not I was going to  
21 land or not.

22 MR. WALLACE: And in your training, I understand that  
23 there is a prohibition, a tailwind maximum, am I correct, of 5  
24 knots maximum tailwind component permitted when braking  
25 conditions are reported as poor?

1           CAPT. MOSSELLER: Yes, sir. That's presently in our  
2 operating manual.

3           MR. WALLACE: Okay. And was it in your operating  
4 manual at the time of the accident?

5           CAPT. MOSSELLER: Yes, it was.

6           MR. WALLACE: Okay. Thank you. No further  
7 questions.

8           CHAIRMAN ROSENKER: Finally the Southwest Company.

9           MR. LOGAN: Southwest Airlines has no questions.  
10 Thank you.

11           CHAIRMAN ROSENKER: Thank you very much.  
12 Dr. Ellingstad of the Board of Inquiry.

13           DR. ELLINGSTAD: Just one question. In using  
14 information about runway friction measurements, is there a way  
15 to factor into your decision making differential friction on  
16 different segments of the runway?

17           CAPT. MOSSELLER: I think the only role that that  
18 would play in my opinion is that depending on the projected  
19 stopping margin of the aircraft that our performance computer  
20 is giving us, depending on the weather conditions obviously,  
21 the type of approach that we're flying, whether it be a non-  
22 precision or precision, do we have a reasonable expectation  
23 that we're going to be able to get it on the ground brick 1,  
24 certainly at the 1,000 foot and very close to that point, that  
25 if the condition is called poor in some segment of the runway,

1 I have to decide if that's -- to what degree that's going to  
2 affect my arrival, and will I be stopped, if it's a 13,000 foot  
3 runway, and the last 1,000 feet is poor, will that really  
4 affect my arrival. So I would factor it in that way, just try  
5 to make an assessment of how much that portion of the runway  
6 and what its report was, would affect my own arrival.

7 DR. ELLINGSTAD: So this would be reflected in the  
8 pilots decision rather than in any kind of an algorithm.

9 CAPT. MOSSELLER: That's correct, sir.

10 DR. ELLINGSTAD: Thank you.

11 CHAIRMAN ROSENKER: Thank you, Dr. Ellingstad.

12 Mr. Clark?

13 MR. CLARK: Just a couple. It wasn't clear to me the  
14 issue of the OPC and being unfactored data. Was that clear to  
15 all your pilots? When you saw a number in the OPC, that was  
16 the number. There were no safety margins. There were no  
17 additives in that data.

18 CAPT. MOSSELLER: And I think at the risk of going  
19 someplace that I'm a complete expert, I would defer to Brian  
20 Gleason, our performance engineer, but that the pilots, the  
21 number that they see in the on-board performance computer as to  
22 what level of safeguards if you will or margins that are bought  
23 in or built into that number, that stopping margin number, I  
24 would say other than the reverse thrust calculation, that it  
25 probably -- I would be speculating on how many of them could

1 tell you exactly what that is based on, other than the fact  
2 that our procedures, if it happens to pertain to reverse  
3 thrust, that we do basically the same thing every time with our  
4 thrust reverse so that it's a very much ingrain habit to select  
5 the reverse thrust up to the same level basically every time.

6 MR. CLARK: I understand that. But on this  
7 particular day, if the crew had used a value of fair, that  
8 would have said they had a 500 foot margin the way your OPC is  
9 set up, and did they believe there was extra margin on that or  
10 is that typical for a crew to accept that in these harsh  
11 conditions they're going to land and all things average, expect  
12 to stop within 500 feet of the runway -- of the end of the  
13 runway?

14 CAPT. MOSSELLER: The information, and we do teach  
15 this, that it is certainly if all stopping margins are  
16 bracketed, we can't land. So in that regard, it's not  
17 advisory. We're prohibited from landing, but certainly when a  
18 crew sees a 500 foot margin and begins to weigh that into, you  
19 know, their condition, you know, how perfectly can they execute  
20 the approach, the touchdown, and the stopping of the aircraft,  
21 that that would certainly have to weigh into their calculation  
22 that -- I don't think any of our crew members would think that  
23 if it said 26 feet, that they could get out of the airplane at  
24 the end of the runway and walk off 26 feet, that it is an  
25 approximate, and it is information that they use again to make

1 that decision as to whether or not they can execute it to that  
2 degree, that it will be a safe approach and landing.

3 MR. CLARK: In that sense, I can understand the 26  
4 feet, but even 500 feet seems awfully close for all of the  
5 things that not necessarily go wrong, but all of the things  
6 that can not go perfectly.

7 CAPT. MOSSELLER: There are certainly a lot of  
8 variables, and obviously we discuss that very explicitly that  
9 if the aircraft is landed beyond 1500 feet, that no matter what  
10 system you have, thrust reverse, auto brakes, the best  
11 technique in the whole world, that that data could become  
12 invalid, and at that point, all bets are off, and we very  
13 clearly tell them that. The issue as to what margins are built  
14 in, I would rather Brian Gleason, he can go into better detail  
15 I think than I can with that.

16 MR. CLARK: Well, I understand from kind of the  
17 engineering side that, and we'll get into those discussions of  
18 what margins were, were not available, but I was asking more  
19 from the operational side, as a pilot, sitting there looking at  
20 all things unfactored which means there's no additives other  
21 than that touchdown point, I guess your airline was comfortable  
22 that 500 feet would be an acceptable distance remaining to  
23 shoot for.

24 CAPT. MOSSELLER: And I think that the answer would  
25 be that, yes, our policy was that you had to have some sort of

1 positive stopping margin at that point. That's certainly not  
2 to say that once the operation specification C082 comes out,  
3 that there won't be some adjustments made to that.

4 MR. CLARK: Okay. And then one more area. My  
5 understanding is in short order before the accident occurred,  
6 one of your pilots did divert. Have you talked to him or found  
7 out what prompted him to not land at Midway?

8 CAPT. MOSSELLER: Other than just reading their  
9 irregularity report about how they made that decision, that  
10 crew -- my memory tells me that that crew basically looked at  
11 the margins and realized that with -- at the point of their  
12 arrival, at that moment when they were going to make the  
13 approach, that the winds were pretty variable and that they  
14 were getting some fair to poor braking action reports, and that  
15 they elected -- they made the decision at that point that they  
16 didn't feel they could execute that landing, that approach and  
17 landing to the degree that they needed to, to successfully do  
18 that, and they diverted. I can't remember where they diverted  
19 to, but it seems like it was Indianapolis.

20 MR. CLARK: Have you provided any further guidance to  
21 your crews on the issue of downwind landings and how much to  
22 accept or do they still go with the OPC or do you try to  
23 discourage that now?

24 CAPT. MOSSELLER: We actually -- our limitations have  
25 not changed since the accident, that the -- and, and partly



1 because of the fact that we do have a systems analysis team  
2 that is working through I believe six or seven issues that were  
3 brought to us by the FAA, and also with the knowledge that at a  
4 point in the future which we have begun now, that we were going  
5 to do a complete review of our operating margins which would  
6 include all tailwind limitations and any limitation basically  
7 in our book and also policy as far as our operating margins,  
8 and that has begun, but to this date, the tailwind limitations  
9 have not changed.

10 MR. CLARK: Okay. Thank you.

11 CHAIRMAN ROSENKER: Thank you, Mr. Clark.

12 Mr. Benzon.

13 MR. BENZON: Just one quick one, sir. Are you aware  
14 of any hazards to the use of reverse thrust with a contaminated  
15 runway, slush ingestion perhaps or something like that, on a  
16 737?

17 CAPT. MOSSELLER: With a -- specifically with a -- we  
18 have a prohibition. If there's clutter on the runway, we  
19 cannot dispatch within an operative thrust reverser but for the  
20 actual damage that could potentially be done with a slush,  
21 loose, wet snow condition, that potentially, it is my  
22 understanding, that if you sustain a reverse thrust at a very  
23 low speed, there is potential for that, that it can be ingested  
24 certainly in the engine and on the cell.

25 MR. BENZON: Okay. Thank you very much.

1           CHAIRMAN ROSENKER: Thank you. Captain, I would like  
2 to ask a couple of questions as well. You say you're in the  
3 midst of review?

4           CAPT. MOSSELLER: Yes, sir.

5           CHAIRMAN ROSENKER: So you have not made any changes  
6 yet?

7           CAPT. MOSSELLER: We have not.

8           CHAIRMAN ROSENKER: And do you propose to have these  
9 changes perhaps before we get into the winter flying season?

10          CAPT. MOSSELLER: Let me back up by saying that the  
11 systems analysis team, that's in place right now, we've been  
12 working through that for several months, and that we have  
13 implemented several of their recommended changes already, and  
14 there are more to be implemented. As far as our overall  
15 operational margins review, that has just begun but the  
16 intention is certainly to get it done and we're applying the  
17 resources needed to get it done.

18          CHAIRMAN ROSENKER: Before the winter flying season?

19          CAPT. MOSSELLER: Yes, sir.

20          CHAIRMAN ROSENKER: Thank you. And how about the  
21 revisions that you've done already. Perhaps you could share  
22 them with us, a couple of them.

23          CAPT. MOSSELLER: I'm drawing a blank.

24          CHAIRMAN ROSENKER: All right.

25          CAPT. MOSSELLER: I do have a document that shows,

1 and I can provide you with that.

2 CHAIRMAN ROSENKER: That would be fine, Captain. I  
3 appreciate that. And just finally I asked Mr. DeGroh, and I  
4 will ask you the same thing, when you get into a situation  
5 where you begin to get reports that you're getting fair to  
6 poor, what procedural changes do you have or technique changes  
7 that you must utilize in order to accomplish a safe landing?

8 CAPT. MOSSELLER: Well, certainly our guidance to the  
9 pilots in any normal landing is 1,000, 1500 feet down the  
10 runway with the center line between the main gear, and that as  
11 the conditions deteriorate, and the stopping margins decrease,  
12 that certain as Boeing, from their flight crew training manual,  
13 and we've obviously emphasized that in our landing with braking  
14 advisories less than good, that the airplane is to be touchdown  
15 firmly, get the airplane in a three point stance with the nose  
16 wheel on the ground, and immediately deploy the thrust  
17 reversers to maximum if needed, and certainly make sure that  
18 the speed brake has been deployed by virtue of the fact that it  
19 is a slippery runway, and to continue with maximum manual  
20 braking with maximum thrust reverse until the aircraft, if need  
21 be, all the way to a stop. But -- I'm sorry.

22 CHAIRMAN ROSENKER: That's fine. Thank you. I  
23 appreciate that explanation, and finally I recognize it's  
24 extremely inconvenient and -- both for passengers, crew and the  
25 company to divert, what does it take to make a decision to

1 divert?

2           CAPT. MOSSELLER: Well, typically unless you get a  
3 surprise where the weather has changed and it wasn't  
4 forecasted, or something either via an air traffic control  
5 situation has popped up or the radar goes down or a power  
6 failure at the airport, something that just completely catches  
7 you by surprise, which it does happen from time to time  
8 obviously, but the decision to divert is basically again at the  
9 top of the descent or part of the top of descent knowing that  
10 the weather is either very low visibility and/or ceilings  
11 and/or it could be an adverse condition that's at the airport  
12 right then, that you begin that planning process right then and  
13 have that conversation with the dispatcher and again, even  
14 though there was a divert field alternate listed on your  
15 release, is to not assume and go back and reconfirm that by  
16 checking the ATIS at the alternate airport, by talking to the  
17 dispatcher and coming up with a new plan based on how much fuel  
18 will we leave here with, and at that point in time then  
19 continuing to update that plan based on whatever estimated time  
20 your clearance may be given to you either out of the holding  
21 pattern or to just physically proceed to the airport but that  
22 decision is one that is a very high workload decision,  
23 typically one pilot flying the airplane and talking on the  
24 radio and the other pilot calculating through the flight  
25 management computer or the on-board performance computer and

1 talking on the radio or sending ACARS messages back and forth  
2 to our dispatch, and as well talking to the station. It's a  
3 busy sequence.

4 CHAIRMAN ROSENKER: It's a big deal.

5 CAPT. MOSSELLER: It's a pretty big deal.

6 CHAIRMAN ROSENKER: It's a big deal. But somebody  
7 did do it prior to landing. Is that correct?

8 CAPT. MOSSELLER: Yes, sir.

9 CHAIRMAN ROSENKER: Another aircraft did?

10 CAPT. MOSSELLER: Yes, sir.

11 CHAIRMAN ROSENKER: Thank you. Captain Kirchgessner,  
12 did you have a clarifying question?

13 CAPT. KIRCHGESSNER: Yes, I do, Mr. Chairman.

14 CHAIRMAN ROSENKER: Certainly.

15 CAPT. KIRCHGESSNER: I just wanted to clarify  
16 something for the record. I believe I heard Mr. Wallace ask  
17 the Captain if the runway conditions are poor, is the tailwind  
18 limit 10, and the Captain agreed, and I believe it's 5.

19 CAPT. MOSSELLER: It is 5. I'm sorry. I thought he  
20 had said it was 5 before.

21 CAPT. KIRCHGESSNER: I may have been misheard.

22 CHAIRMAN ROSENKER: It will be changed in the record  
23 please, thank you.

24 Captain Mosseller, I appreciate your testimony.

25 Thank you for joining us and participating with us again today,

1 and we appreciate your candor and the information you shared  
2 with us today.

3 CAPT. MOSSELLER: Thank you, sir.

4 CHAIRMAN ROSENKER: Now you're excused as a witness.

5 (Witness excused.)

6 CHAIRMAN ROSENKER: We'll take a -- I don't think we  
7 need a break. This is a relatively short segment, and  
8 Mr. Benzon is as efficient as anyone I've ever seen in this  
9 business, and he'll be able to get that nameplate changed I'm  
10 confident for the next panel.

11 MR. BENZON: No problem. Would you please stand and  
12 raise your right hand.

13 (Whereupon,

14 JAMES MARINELLI and DAVE BENNETT

15 were called as a witnesses, and having been first duly sworn,  
16 was examined and testified as follows:)

17 MR. BENZON: And we heard from Mr. Marinelli, but  
18 Mr. Bennett, could you give us an idea of what you do for the  
19 FAA and how long you've been doing it?

20 MR. BENNETT: Yes. I've been with the FAA since '79,  
21 partly in the FAA Office of the Chief Counsel. For the last 11  
22 years, I've been Director of the Office of Airport Safety and  
23 Standards, and that office is responsible for the engineering,  
24 airport's design, standards, Part 139 safety certification and  
25 grant compliance.

1           CHAIRMAN ROSENKER: Thank you. And this topic is  
2 Topic II. Is that correct, Mr. Benson? Runway safety area at  
3 Midway Airport and other airports with land use constraints.

4           We'll begin our questions with the Technical Panel.  
5 Mr. George. Did you have a presentation?

6           MR. BENNETT: We do if you want to do that.

7           Runway safety area, it's a cleared area around a  
8 runway, graded, free of unnecessary obstructions. It serves as  
9 a safety area for aircraft that go off the runway. We consider  
10 it an enhancement for safety, a very important and valuable  
11 enhancement, but it's not related to any operational  
12 requirement in any FAA rules. It's defined in Advisory  
13 Circular 150/5300-13, airport design, provides the dimensions  
14 and physical requirements and that was updated. Change 8  
15 recently added an engineered material arresting system or EMAS  
16 as a means of achieving a standard runway safety area as an  
17 alternate to a defined area of ground.

18           The AC 5220-22A provides the specifications for an  
19 engineered material arresting system.

20           The current policies we have on runway safety areas  
21 are basically listed here. We'll go through each one  
22 individually starting with Part 14 C.F.R. Part 139, airport  
23 certification. The 1988 revision of the rule required to the  
24 extent practicable, each commercial airport would have to  
25 upgrade to the standard runway safety area at the next time

1 there was major work on the runway and the standards, current  
2 standards for runway safety areas were in effect before that  
3 time. I think from the mid eighties.

4 In 2004, Part 139 was upgraded to change that  
5 language to, in a manner authorized by the Administrator but  
6 the meaning was the same.

7 The phrase to the extent practicable is not formally  
8 defined but the concept recognizes that it just may be  
9 technically possible to do a project but just not feasible or  
10 affordable or make sense for some reason. In practice, we've  
11 considered several factors to go into practicability. Clearly  
12 technical difficulty. It's just from an engineering standpoint  
13 very difficult but that can also include political and  
14 environmental considerations. Cost, cost benefit, and we bring  
15 that in with FAA Order 5200.9 which we'll talk about in a  
16 minute. Also the ownership or the control of the land needed  
17 for the RSA, and this is the Bridgeport situation, where the  
18 airport is perfectly willing to acquire and pay for the land  
19 for a runway safety area, but simply cannot get it from a  
20 neighboring jurisdiction that won't release the land.

21 And finally, we have considered the effect of kinds  
22 of solutions for runway safety areas on airport operations. If  
23 something shortens the runway to the point that it adversely  
24 affects the use of the airport and the utility of the airport,  
25 we would consider that not practicable.



1           MR. MARINELLI: We published Order 5200.8, runway  
2 safety area program in 1999, with the objective of bringing all  
3 runway safety areas at certificated and federally obligated  
4 airports up to standards to the extent that we could. We  
5 established the concept of the runway safety area determination  
6 in this order. This is a formal determination by our Regional  
7 Divisional Manager which would talk to the extent that we feel  
8 the runway safety area can be improved. It considers the  
9 entire runway safety area, even if the runway safety area is  
10 not standard. And, in the past, we considered the runway  
11 safety area up to the point where it existed and never really  
12 beyond that, and now we are trying to consider instrumental  
13 improvements to improve that 1,000 foot overrun as much as we  
14 can with the intent of sometime in the future, if possible, it  
15 would eventually be brought up to full standards.

16           This order also provides guidance to our field people  
17 in assessing the alternatives and requires that one of those  
18 alternatives that's being considered be EMAS.

19           Order 5200.9, and I won't read the title because it's  
20 just too long, was published in 2004. This provides guidance  
21 to our field personnel on financial aspect of the  
22 practicability of improving runway safety areas. It includes  
23 EMAS and basically provides our field people with a method of  
24 preparing the cost of a standard EMAS, and I can explain that a  
25 little later, with a standard runway safety area based on life

1 cycle cost.

2 MR. BENNETT: For the organization of the FAA and who  
3 works on runway safety areas, Regional Airports Divisions in  
4 the Office of Airports, inventory the FAA's work with  
5 individual airport managers on upgrade projects, each Regional  
6 Division Manager in the nine regions is responsible for doing a  
7 practicability determination on any non-standard RSA at a Part  
8 139 airport. Airport operators, to comply with Part 139 and  
9 also to be eligible for AIP grant funds for any work on the  
10 runway, would have to comply with the standards or the  
11 practicability determination issued by the Division Manager for  
12 that region. And in Headquarters, Rick's division, the Airport  
13 Engineering Division maintains the current inventory status,  
14 issues policy and shares responsibility with the other airports  
15 office, the Office of Planning and Programming for maintaining  
16 a funding plan for the upgrade of runway projects in the  
17 future.

18 MR. MARINELLI: There are several ways to improve a  
19 runway safety area. Some of these are actually buying land,  
20 through construction, through the establishment of EMAS, a  
21 concept of declared distances, that I will explain on the next  
22 slide, reconfiguring the runway, meaning shifting it in one  
23 direction or another or even possibly reorienting it, and  
24 elimination of non-frangible objects such as utility poles,  
25 ditches, even FAA navigation aids. And you'll notice that

1 these numbers add up to more than 100 percent because it's  
2 quite common for an improvement to include more than one of  
3 these items.

4 MR. BENNETT: Now these are the percentages used in  
5 the upgrades we've done since 2000, the various kinds.

6 MR. MARINELLI: Declared distance is a concept that  
7 allows an airport to meet runway safety area standards when  
8 they don't have ability to expand. The declared distance  
9 application for a runway safety area would affect the landing  
10 distance available and accelerate stop distance available. It  
11 doesn't actually decrease the length of the runway but it does  
12 require the airport to publish a number that subtracts the  
13 runway safety area shortage from the actual length of the  
14 runway. This provides the cushion of typically a 1,000 feet  
15 beyond what the pilot would normally calculate as necessary for  
16 a landing and takeoff.

17 In the case of landing distance available, if the  
18 adjustment were made for runway safety area prior to touchdown  
19 for landing, it may require the threshold to be displaced, and  
20 that would actually decrease the physical length of the runway  
21 available.

22 MR. BENNETT: FAA does have a formal program to  
23 upgrade runway safety areas at airports where they're non-  
24 standard. Following the accident at Little Rock in 1999,  
25 Little Rock had applied for a grant to put in an EMAS and we

1 had approved it, and that was being programmed at the time  
2 there was an accident. So the EMAS had not been installed at  
3 the time there was an accident.

4 At that time, we began looking hard at whether there  
5 were ways to accelerate the improvement of runway safety areas  
6 to standard or as close as we could get to standard that would  
7 be faster than what was required by Part 139.

8 The first thing to do with that was to do an  
9 inventory. We did that in 2000 of all Part 139 runways, found  
10 that about half were within standards, were within 90 percent,  
11 and for this purpose, we used within 90 percent because we  
12 didn't want to put a priority on ones that almost met the  
13 standards. We really wanted to put the focus where the ones  
14 that needed much more improvement, but those runways within 90  
15 percent are still obligated to be upgraded in accordance with  
16 139. They're not waived.

17 We found some could not be improved at that time.  
18 Those numbers would probably be smaller now, and at the time  
19 found 456 runway safety areas were not within 90 percent of the  
20 standards but could be improved and that became our target  
21 group. We began with a seven year plan to initiate upgrades,  
22 to begin the planning and planning for funding and getting  
23 under grant sooner than required by Part 139. So these would  
24 be standalone projects.

25 By 2005, we had initiated enough that we switched to

1 the project which people were more interested in anyway or the  
2 goal which they're interested in, and that's the completion of  
3 projects, when they would be done. For this purpose, we did a  
4 comprehensive new inventory nationally, looked at every Part  
5 139 airport, and had the airports and our regional people  
6 develop a funding plan for that, and the result of that is we  
7 will have completed all of the possible upgrade projects by  
8 2015.

9 By 2010, we will have done the upgrades at 92 percent  
10 of the regional 456 that we started with. So it's kind of  
11 front loaded but there's a small number that will take that  
12 extra five years.

13 At the end of the program in 2015, 86 percent will be  
14 -- it says runways, it's runway safety areas, will  
15 substantially meet Part 139 standards and the remaining 14 will  
16 have been upgraded to the extent practical at that time. We  
17 would expect continuing upgrades after that.

18 Since 2000, under the program, we've done more than  
19 200 of the projects we started and as of last year, August,  
20 when we did the inventory, 997 runways, we had about 66 percent  
21 which substantially, 90 percent or more, met standards of all  
22 runways. We had 248 left to be upgraded at that time, and we  
23 planned as our goal for our business plan, 34 to be scheduled  
24 for completion this year, and that's on track.

25 At Midway, we saw a chart earlier. There's four

1 runways at the airport but only two are regulated under Part  
2 139, commercial runways. So that's four ends that are subject  
3 to the requirement for runway safety areas. And they are all a  
4 problem obviously and I think they're constrained by the roads  
5 on each corner, the airport's within a square of major streets.  
6 There are blast fences, navigation aids in there, and the fact  
7 that the runways are oriented toward the corners, to get  
8 maximum runway length, means that the land off the end of the  
9 runway tapers and, of course, makes it even more difficult to  
10 fit a standard runway safety area in there.

11 Relations between the FAA and Chicago, we've been  
12 working with them for a number of years on this began probably  
13 formally in 2000, where we did our first practicability  
14 determinations in conjunction with the survey we did that year.  
15 The City found that none of the options available that year  
16 were practicable and advised us that we didn't disagree with  
17 that but the ADO, our Airports District Office, who is our main  
18 contact with the airports sent a transmittal letter back urging  
19 the City to continue to explore all options. So we have always  
20 considered it an option issue, and I think it has been that for  
21 the last five years, six years.

22 In continuing discussions, there's lots of  
23 discussions between the ADO and the City of Chicago and all  
24 sorts of things all the time but this did come up. In 2004, at  
25 our request, the City did a new practicability report of its

1 own and its consultant did a very thorough analysis, and again  
2 found that none of the options for improving the RSA were  
3 practicable at that time.

4 We went back with the letter, it's dated 12/4 and  
5 actually never signed. It was handed as a draft in a meeting  
6 as a comment really in early 2005, and again not disagreeing  
7 with the conclusion, but requesting more information on the  
8 cost of some of the options that might have allowed some  
9 improvement, even if we couldn't get the standard runway safety  
10 area.

11 The accident in December 2005, soon after that, the  
12 City and the FAA convened a meeting. Headquarters was there.  
13 We had the Regional Office there and the Headquarters office  
14 was represented, and the ADO met with City and consultants and  
15 there have been regular meetings between the ADO and the  
16 consultants since then, and we took another really hard look at  
17 what could be done with the runway safety areas at the airport.  
18 And what had changed really by then was the possible  
19 availability of some new technology in EMAS. This is a very  
20 constrained site that we would not have considered for EMAS  
21 several years ago. We are beginning to see some uses of it and  
22 we are doing some research at LaGuardia at this time on placing  
23 an EMAS unit much closer to the end of the runway than we had  
24 been able to do before, and that's based on some improvements  
25 in the EMAS system itself.

1           As a result of that, the City has developed plans for  
2 use of EMAS. They formally requested our approval of EMAS I  
3 believe at all four runway ends, and that was approved by the  
4 FAA by letter this month. FAA has issued a \$15 million AIP  
5 grant. I don't know if it has actually been issued yet. It  
6 has been approved at least, for phase 1 of the work, and  
7 eventually all four runway ends will be funded with AIP  
8 assistance. The phase 1 will go toward the design, and I  
9 believe the first project will be the departure end of Runway  
10 31C. And that's the end of our presentation.

11           CHAIRMAN ROSENKER: Does that complete your  
12 presentation, Mr. Bennett?

13           MR. BENNETT: Yes, it does.

14           CHAIRMAN ROSENKER: All right. We'll begin with our  
15 Technical Panel. Mr. George.

16           MR. GEORGE: Thank you very much. You pretty much  
17 answered almost all my questions but I have a couple left here  
18 that I can find. These may have the same numbers. My  
19 questions may ask for the same numbers that you put up there  
20 but in a different form, and tell me if that's true.

21           As of the 2000 RSA inventory, FAA stated 42 runways  
22 did not meet standards but 456 could be improved or brought up  
23 to standards. My question, my first question is what does  
24 brought up to standards mean?

25           MR. BENNETT: Brought up to standards means brought



1 up to standards.

2 MR. GEORGE: Full length, full --

3 MR. BENNETT: Depending on how we use that, generally  
4 we mean as good as we can get. I mean --

5 MR. GEORGE: It doesn't mean full, dimensional --

6 MR. BENNETT: Not necessarily because we won't really  
7 know that until we do the design work. So it's usually a  
8 preliminary indication that it falls one way or the other. So  
9 I think -- when we say improve, we don't mean up to standards  
10 at that time. The 456 was either up to standards or improved  
11 somewhat.

12 MR. GEORGE: Okay. So improved and brought up to  
13 standards in FAA jargon is a different thing. What is improved  
14 versus brought up to standards?

15 MR. BENNETT: I think standards means standards. It  
16 would be a standard runway safety area and that could use EMAS  
17 at this time, a standard EMAS installation but with runway  
18 safety areas, there's a lot of benefit to some improvement. I  
19 mean it's not every 10 percent you get of 1,000 feet is not  
20 equal. The first 10 percent is worth much more than the last  
21 10 percent. So anything you can add to what you have is the  
22 benefit, even if you can't get the full 1,000 foot.

23 MR. GEORGE: Granted. In this particular case, I'm  
24 trying to judge the success of the runway safety area program  
25 based on the stated goal which was to bring runway safety areas

1 up to standards. To that end, I want some numbers to find out  
2 how many of the ones, the 456 that could have something done  
3 to, actually achieved full dimensional standards as opposed to,  
4 let's take that, out of 456, how many?

5 MR. BENNETT: Yeah, we have some summary numbers in  
6 here but I would rather get that back to you separately if I  
7 could. I mean it's on the order of 66 percent but --

8 MR. GEORGE: Okay.

9 MR. BENNETT: -- one thing, these numbers are moving  
10 targets because they're being worked on.

11 MR. GEORGE: I understand that. I've been asking for  
12 sometime for some of these numbers and I'm just -- I thought  
13 maybe I could get them today.

14 Refer to slide number 9. Can you get that back up?  
15 It's on your machine, but it's not up there. There it is. I  
16 had a couple of questions. You answered one. These are not  
17 mutually exclusive. They fall into several categories, many of  
18 those things there.

19 MR. BENNETT: Right, any particular project might use  
20 more than one means. So they'll add up to more than 100  
21 percent.

22 MR. GEORGE: I'm going to sound like a parrot here in  
23 a minute. Land acquisition, that 3 percent that's there, can  
24 -- do those represent ones that were brought up to dimensional  
25 standards based on -- because of land acquisition?

1           MR. BENNETT: Yeah, these are not broken down by the  
2 ones that are full standards versus improved. So --

3           MR. GEORGE: So full dimensional -- ones that were  
4 brought up to full dimensional standards would fall under  
5 either of those two -- first two categories?

6           MR. BENNETT: Yes, they could be in any of them.

7           MR. GEORGE: Okay. Well, declared distances, you  
8 wouldn't need declared distances if you had a full --  
9 necessarily, if you had a full dimensional RSA.

10          MR. BENNETT: You're right about declared distances,  
11 but the last two could bring them up to full standards.

12          MR. GEORGE: So construction grading is -- whenever I  
13 see something like construction grading, am I -- I'm not  
14 necessarily looking at construction of a full dimensional RSA.  
15 It may just be smoothing out a ditch or something in the 200  
16 foot RSA and that would fall under that category?

17          MR. BENNETT: Right. That's correct.

18          MR. GEORGE: I think you've answered the declared  
19 distances. I had a question about how declared distances are  
20 applied and how they increase the margin of safety, and I think  
21 Mr. Marinelli handled that adeptly.

22                 5200.9 of the Order changed some of the -- was it the  
23 -- how the money was allocated, what was financially feasible  
24 which it wouldn't have been financially feasible in the past?  
25 Could you explain 5200.9 a little bit more.

1           MR. MARINELLI: I'll try. It didn't really change  
2 what was financially feasible because we had no numbers to  
3 apply to it before that. It established a financial aspect of  
4 feasibility to give our field people some guidance as to what's  
5 reasonable to spend on a runway safety area at a particular  
6 airport.

7           MR. GEORGE: Okay. So it established that. I think  
8 we all realize that our airports are all different to a lot of  
9 different extents. There's different number of operations,  
10 different size of airplanes, different numbers of passengers,  
11 and there's different kinds of obstacles or threats in the  
12 runway safety area, whether it's a river or a whatnot, a road.  
13 Does the FAA have any method of prioritizing RSA projects based  
14 on relative risk?

15           MR. BENNETT: Well, by selecting these 456 that  
16 didn't meet the 90 percent standards, we have put all of them  
17 in a group of priority projects. So we have done that. Within  
18 that, probably not formally, each Regional Division Manager  
19 knows his airports, knows which ones he considers important, is  
20 working with airport directors to know which projects are ready  
21 to go. Some will take more years, more environmental reviews.  
22 Some could be done more quickly. So there's a lot of things  
23 that might result in a project being done earlier rather than  
24 later without an analysis of the risk benefit of it. But  
25 eventually they're all targeted for improvement. So they're

1 not left behind. It's just --

2 MR. GEORGE: Well, from looking through this, I find  
3 a lot of smaller airports and I don't want to hurt anybody's  
4 feeling if this is their hometown, but Roanoke, Hyannis,  
5 Massachusetts, Dutchess County, Greenville, downtown South  
6 Carolina, Greater Binghamton, New York, these airports have had  
7 EMAS installed, and then we have such as, I don't want to say  
8 National because they have relatively standard, or at least  
9 some of their RSAs are relatively standard. Some of them are  
10 right next to the river, but you've got some others like say  
11 Midway. Midway seemingly was a high risk area where you've got  
12 very short RSAs, you've got lots and lots of traffic, and I was  
13 just wondering if the FAA had anything, any thoughts in there  
14 that we need to prioritize these based on the relative risk,  
15 and that's, that's not the case?

16 MR. BENNETT: No, I can't say that there are but, of  
17 course, on Midway, we had been looking at it since the  
18 beginning of the program in 2000. I'm guessing if you looked  
19 at those other airports that they were projects that were  
20 probably not difficult to do. It was an obvious solution. It  
21 was available, didn't require the developments and EMAS  
22 technology that we've seen in the last few years. It could be  
23 done with the original installation, and they were just  
24 available. It was a good project and it was funded.

25 MR. GEORGE: This is a similar question and I

1 actually had Little Rock written here, but I scratched it out  
2 when you told me they were already -- reminded me they were  
3 already putting in EMAS there but Burbank, Teterboro and now  
4 Midway all had EMAS installed almost immediately following an  
5 accident, and my question is, does the occurrence of an  
6 accident move you up on the priority list of AIP funds or --

7 MR. BENNETT: Well, I don't think there's any  
8 question that we don't take a very hard look at an airport  
9 again when there is an accident to see what we could do, and  
10 I'm sure in each of these cases, there had been work done on it  
11 but that that harder look of whether a very innovative and non-  
12 standard solution was available, did come after the accident.  
13 And in Burbank, it really is in a very small area, and I think  
14 that was the first time that that had been done, and the  
15 question is whether that could be repeated elsewhere, and I  
16 don't think Teterboro's is in yet. They've just applied for it  
17 and are considering it. So that's fairly recent, and again we  
18 have some research going on at LaGuardia as to how close we can  
19 put the EMAS bed to the runway which is critical to determining  
20 whether it's feasible in an airport that does not have too much  
21 area off the end of the runway. So we will probably get the  
22 results of that, I would guess in time to benefit Teterboro and  
23 Midway and a lot more about those, the design of those projects  
24 as a result of the LaGuardia work, but that's all very recent.

25 MR. GEORGE: You brought up Burbank. Burbank is a

1 non-standard EMAS. It is also right up next to the end of the  
2 runway. At the time, was there any provisions within the FAA  
3 to allow for a non-standard EMAS installation?

4 MR. MARINELLI: We consider a non-scattered EMAS  
5 installation, any installation that does not provide 70 knots  
6 stopping performance to the critical aircraft. I don't believe  
7 that Burbank is close to the runway. I believe there's a 75-  
8 foot setback there which is pretty much the older standard.

9 MR. GEORGE: But it probably does accept less than a  
10 70 knot performance?

11 MR. MARINELLI: Yes, I'm sure it does and it was  
12 always our intention from the beginning when the Advisory  
13 Circular was first published that the 70 knot performance be a  
14 target but not a hard and fast rule. It was never intended  
15 that if you couldn't get 70 knot performance, you did not  
16 consider EMAS.

17 MR. GEORGE: It didn't have anything to do with if  
18 the FAA would pay for it or not, whether it had a 70 knot  
19 capability?

20 MR. MARINELLI: No, it never came into play.

21 MR. GEORGE: Okay. This is just kind of a general  
22 question about this. I'm trying to wrap this up so that I  
23 understand it. Is it possible that under the current FAA  
24 policy that some runways may be improved in some way but the  
25 RSAs will not meet the dimensional standards and that they will

1 not have arrester beds installed and that those projects will  
2 be completed by the FAA?

3 MR. BENNETT: Yes, that's possible at the end of the  
4 program.

5 MR. GEORGE: Congress passed a law recently that in  
6 effect mandates all air carrier airports comply with FAA RSA  
7 requirements by the year 2015. I'm sure you know all about it.  
8 Will the FAA accomplish that mandate by the deadline?

9 MR. BENNETT: Yeah, that essentially duplicates our  
10 program. The mandate is, of course, on airports, not on the  
11 FAA but we already have the program in place and expect the  
12 funding. Obviously we don't do our own appropriation, but we  
13 assume the appropriation will make funds available for this,  
14 and I believe the law was actually based on the plan that we  
15 provided, that we completed in August 2005. So we think it's  
16 an overlay to the plan we have in place that will have airports  
17 obviously interested in completing it and working on those  
18 projects but there should be no problem completing it as  
19 required.

20 MR. GEORGE: This may be duplication of my other  
21 question. Will that law encompass or will it allow the same  
22 kind of airports that I mentioned a second ago or runway ends  
23 let's say, that will not meet dimensional standards and will  
24 not have arrester beds installed as well? Could a runway like  
25 that be considered completed and satisfy the intent of the law,



1 the Federal law?

2 MR. BENNETT: Yeah, it's related to Part 139  
3 standards. So it brings in that practicability consideration.

4 MR. GEORGE: Here's a theoretical question that we  
5 have from time to time. Can the FAA revoke Part 139  
6 certification for an airport?

7 MR. BENNETT: Yes.

8 MR. GEORGE: Have you ever done it?

9 MR. BENNETT: No, we've suspended them.

10 MR. GEORGE: What was that for?

11 MR. BENNETT: It's basic Part 139 -- mostly operating  
12 conditions, availability of ARF equipment or management of the  
13 airport.

14 MR. GEORGE: So if you wanted them to put in an EMAS  
15 and they didn't want to, you couldn't force them by threatening  
16 to take their certificate?

17 MR. BENNETT: Refer that to a legal officer, in  
18 theory.

19 MR. GEORGE: Okay. Are you aware of any alternative  
20 aircraft arresting systems other than EMAS?

21 MR. BENNETT: Well, there are the military type  
22 arrester systems which are not used for civil aircraft.

23 MR. GEORGE: So for civil aircraft it's a no?

24 MR. BENNETT: I don't think we have any other  
25 commercial systems.

1           MR. MARINELLI: No, EMAS is all we have right now for  
2 arrestment of civil aircraft. I should mention specifically  
3 that EMAS is considered a generic term. It does not specify a  
4 particular product. So it is possible that another technology  
5 could come along. If it met the performance requirements, we  
6 would still call it EMAS but it would be an alternative, but as  
7 of now, there's really nothing on the horizon.

8           MR. GEORGE: The nature of my question was that I had  
9 heard rumor that there was something else out there, and I  
10 thought you guys would know about it.

11           MR. MARINELLI: There's beginnings of a proposal  
12 under the Airport Cooperative Research Program which is a new  
13 program that's really just fully funded this year, to propose a  
14 system that may show some promise but that would be years away  
15 from deployment.

16           MR. GEORGE: Thank you. I don't have any further  
17 questions.

18           CHAIRMAN ROSENKER: Thank you, Mr. George. We'll now  
19 go to the parties. Boeing, do you have any questions?

20           MR. SMITH: Boeing has no questions.

21           CHAIRMAN ROSENKER: Thank you. City of Chicago?

22           COMMISSIONER FERNANDEZ: The City of Chicago has no  
23 questions, Mr. Chairman.

24           CHAIRMAN ROSENKER: Thank you, Commissioner.  
25 Southwest Pilots Association?

1           CAPTION HEFNER: Southwest Pilots Association has no  
2 questions.

3           CHAIRMAN ROSENKER: And finally the FAA?

4           MR. WALLACE: No questions.

5           CHAIRMAN ROSENKER: I'm sorry. I missed Southwest  
6 Airlines.

7           MR. LOGAN: We had no questions anyway. Thank you.

8           CHAIRMAN ROSENKER: Thank you very much. I'm sorry I  
9 missed you.

10           We'll go to the Board of Inquiry. Dr. Ellingstad.

11           DR. ELLINGSTAD: Just briefly. Do you employ some  
12 formalized cost benefit methodology in terms of prioritizing?

13           MR. BENNETT: It's not really prioritizing, but in  
14 determining what we do for a particular runway safety area, how  
15 we determine what we will do, there's fairly clear guidance in  
16 Order 5200.9 as to how you do the cost benefit including life  
17 cycle costs.

18           DR. ELLINGSTAD: Thank you.

19           CHAIRMAN ROSENKER: Mr. Clark.

20           MR. CLARK: I have a couple. My understanding is  
21 that if there were major upgrades at an airport, the runway  
22 safety area improvement should have been included in that. It  
23 appears it wasn't. Is that correct? Two things. Is my  
24 statement correct that it should have been upgraded and that in  
25 fact it was not?

1 MR. BENNETT: At this airport? At Midway?

2 MR. CLARK: Yes, at Midway.

3 MR. BENNETT: There was major work done in 1993 when  
4 the requirement for upgrading, at the time when runway safety  
5 area work was relatively new. We don't have a record of  
6 consideration of that but, in fact, the solution, what we know  
7 15 years later, is that EMAS, a non-standard EMAS is the only  
8 practical solution without acquiring blocks and blocks of city  
9 land covered by homes and businesses. At the time, EMAS was  
10 not available. The system didn't exist and would not have been  
11 considered. So in effect there was a practicability  
12 determination under Part 139 that found that nothing could be  
13 done at the time.

14 MR. CLARK: In 1993.

15 MR. BENNETT: In '93, and that's the last time that  
16 kind of work was done on air carrier runways at Midway.

17 MR. CLARK: And then you referred to distances off  
18 the end of the runway that, I think it was a 75 foot standard  
19 distance and new technology. Can you tell us a little bit  
20 about that?

21 MR. BENNETT: I could but I think you would be better  
22 off waiting for Mr. Thompson who would be able to address that.

23 MR. CLARK: Well, I'm going to ask how that affected  
24 the FAA operations?

25 MR. BENNETT: What it does for us is it allows us to

1 put an EMAS about 35 feet from the end of the runway instead of  
2 75 feet. So we get 40 more feet of arrester bed which makes a  
3 difference between it being a practical solution at Midway and  
4 not being a practical solution.

5 MR. CLARK: How much room do you have at Midway now?

6 MR. BENNETT: It depends on how it's measured. I  
7 believe we've got -- I'm not sure what the distances are at the  
8 end of the runway but there are navigation aids that have to be  
9 moved in order to make this possible.

10 MR. CLARK: Okay. But that 30 or 40 feet right now  
11 we can pick up some 100 feet or 200 or something out there,  
12 whatever that number is, and you're saying that the difference  
13 right now is to be able to pick up that extra 40 feet because  
14 of the new technology makes all this difference in the world or  
15 makes all the difference in making it practicable?

16 MR. BENNETT: According to our published guidance,  
17 yes.

18 MR. CLARK: Okay. Part of that published guidance --  
19 well, let me go back to this 40 feet. I assume that's an  
20 erosion problem and there's a surface coating that minimizes  
21 the erosion?

22 MR. BENNETT: Right. It's a jet blast issue.

23 MR. CLARK: Right. For the kind of protection you  
24 can get from EMAS, is that 40 feet really that significant?

25 MR. BENNETT: All I can say is that according to our

1 published guidance, which establishes, and it's not a hard  
2 number, but we generally look for a minimum of 40 knot  
3 performance before we consider it practicable to install EMAS.

4 MR. CLARK: Okay. So that's a lower number that's --

5 MR. BENNETT: Right.

6 MR. CLARK: -- affected. So if I buy my 40 feet, I  
7 get something over 40 knots then?

8 MR. BENNETT: That's correct.

9 MR. CLARK: You also mentioned there were some  
10 structure out there that had to be moved, antennas, is that  
11 still a requirement that type of material has to be moved to  
12 make it practicable?

13 MR. BENNETT: I believe so, yes. It may be possible  
14 to get the 40 knot performance without moving that navigation  
15 equipment but we can get even more if we do move it. So we've  
16 been working with our counterparts and other line of business  
17 and FAA to get that equipment moved.

18 MR. CLARK: Okay. But if you left that in there, and  
19 just ignored the fact that it was there, would you be able to  
20 gain that improvement from EMAS?

21 MR. BENNETT: I haven't looked at the design that  
22 closely to determine exactly what performance we would get up  
23 to the existing --

24 MR. CLARK: Well, I guess my question for the last  
25 six years, we were going to hit those antennas going off the

1 end, so if we're in EMAS hitting those antennas, isn't that a  
2 better situation?

3 MR. BENNETT: I just can't answer that question. I'm  
4 sorry. I don't know.

5 MR. CLARK: You talk about your design standards and  
6 your performance manual, has anybody taken a look at those to  
7 look at, not the practicability, but some practical  
8 improvements that, you know, such as not worrying about the 40  
9 feet or not worrying too much about some antennas that may be  
10 in the path of the airplane if it's going through EMAS? Is  
11 there any review in your standard going on right now to buy  
12 every single bit we can get out of those design specs?

13 MR. BENNETT: Well, I'd say given the fact that we're  
14 now seeing the second or third installation in a very small  
15 area, and it is presenting some special problems, that plus the  
16 new information we're getting from LaGuardia tests, we would do  
17 a change for that anyway because the setback is part of the  
18 specification, and if there's a minimum and it's lower than we  
19 have now, we would change our AC to provide that. If we find  
20 that there are ways for certain kinds of antennas to be  
21 incorporated into the EMAS bed and -- as a result of the Midway  
22 design work, then that would certainly get into our standards  
23 also but we haven't done the design work yet.

24 MR. CLARK: If you're going to hit it anyway, we  
25 might as well be using EMAS or if there's erosion, how much

1 does erosion degrade in that 40 foot area, not accept erosion  
2 and still take some benefit out of that 40 foot?

3 MR. BENNETT: It's not just a question of some  
4 erosion. We had an installation at LaGuardia Airport that was  
5 completely destroyed.

6 MR. CLARK: Do you put any -- when you're trying to  
7 look at these airports, I heard earlier there were 285,000  
8 operations at Midway, and I don't believe we come anywhere  
9 close to that, or Bridgeport or some of these other airports  
10 that were mentioned, does that move Midway to the top of the  
11 list in FAA's estimation for making improvements in these RSAs?

12 MR. BENNETT: Well, I guess that's really the same  
13 question. They're all going to be done. I mean every one of  
14 these runway ends are going to be addressed, and the reason  
15 Midway wasn't first wasn't because it wasn't looked at and  
16 discussed at length between the City and the FAA. It was  
17 because there just really wasn't an easy, practicable solution  
18 to the problem at the time when it was looked at. But within  
19 any region, the Regional Division Manager will know the  
20 projects that really -- he gets the most benefit from.

21 MR. CLARK: And then I noticed that you're going to  
22 start with 31C. Is that the most active runway at Chicago  
23 right now?

24 MR. BENNETT: I don't remember the numbers. Probably  
25 the people from Chicago would have more information on that but



1 I believe it is direction, that runway is one of the most  
2 heavily used at the airport.

3 MR. CLARK: Okay. Thank you.

4 CHAIRMAN ROSENKER: Thank you, Mr. Clark.  
5 Mr. Benzon?

6 MR. BENZON: Just a couple. You peaked my interest  
7 here when you said the unit at LaGuardia was destroyed. Was  
8 that because of jet blast?

9 MR. BENNETT: A combination of jet blast and I  
10 believe acoustic energy, just the low frequency vibration from  
11 the engines.

12 MR. BENZON: What other kind of maintenance problems  
13 have you run across with EMAS that may, well, may hurt it?

14 MR. BENNETT: Well, there's a history of development  
15 of EMAS. The original system required an -- paint which had to  
16 be reapplied on occasion. It also -- the seams had to be  
17 recaulked. The development of the system has progressed to the  
18 point where we hope that the next generation will not require  
19 any painting at all and will only require caulking of seams on  
20 maybe a three year basis.

21 MR. BENZON: That's the seams between the blocks of  
22 material you mean?

23 MR. BENNETT: That's correct.

24 MR. BENZON: Any -- now that would -- any moisture  
25 problems with these devices, underground water seeping in or

1 anything?

2 MR. BENNETT: There have been instances where ground  
3 water or surface water does seep into the blocks but we haven't  
4 found it to affect the performance of the system.

5 MR. BENZON: Okay.

6 MR. BENNETT: I can add, I think the manufacturer  
7 would say that the system recognizes that there will be a high  
8 level of moisture in there, and it's built for it. It's built  
9 with drainage and the ability to withstand quite a lot of  
10 water.

11 MR. BENZON: Okay. I think we're going to talk with  
12 them shortly. So I'll ask them.

13 MR. BENZON: That's all I have, sir.

14 CHAIRMAN ROSENKER: Thank you. I just have one  
15 question and it may have been discussed earlier and I may not  
16 have heard it very well. Prior to December 8, 2005, have the  
17 City of Chicago and the FAA discussed EMAS at anytime?

18 MR. BENNETT: Every time there was a practicability  
19 determination, it was -- well, in the two that were done in  
20 2000 and 2004, it was listed and considered along with every  
21 other option, and it was rejected as a standard option because  
22 there wasn't enough room for a standard EMAS installation.

23 CHAIRMAN ROSENKER: So are you telling me something  
24 significant has happened since December 8th and today that  
25 would allow that to happen, to be installed?

1           MR. BENNETT: I think the answer is yes, and it is  
2 the technology of getting a 40 knot plus performance system in  
3 an area that size, that that was really not just known to us at  
4 the time.

5           CHAIRMAN ROSENKER: So simply stated, the  
6 improvements in technology --

7           MR. BENNETT: Yes.

8           CHAIRMAN ROSENKER: -- and the manufacturing  
9 capability and ultimately the result now give you a capability  
10 that you could not have done prior to December 8, 2005?

11          MR. BENNETT: That's right.

12          CHAIRMAN ROSENKER: Okay. Thank you very much, and I  
13 appreciate your testimony and thank you for your answers as  
14 well.

15                 And we will take a 10 minute break. Make it a 15  
16 minute -- well, actually, it'll be a 12 minute break. We'll  
17 start at 3:15.

18                 (Off the record.)

19                 (On the record.)

20          CHAIRMAN ROSENKER: Mr. Benz on, if we could call the  
21 next witness from the City of Chicago please.

22          MR. BENZON: Okay. The Board calls Mr. James  
23 Szczesniak to the stand please, and remain standing there, Jim,  
24 for a second. Please raise your right hand.

25                 (Whereupon,

1 JAMES SCZCESNIAK

2 was called as a witness, and having been first duly sworn, was  
3 examined and testified as follows:)

4 MR. BENZON: Okay. Please have a seat. We  
5 understand you have a presentation and before you begin, could  
6 you give us an idea of how long you've worked for the City of  
7 Chicago and in what capacity?

8 MR. SCZCESNIAK: My name is Jim Sczcesniak. I'm the  
9 Assistant Commissioner for Airport Planning for Chicago. I  
10 worked for the Department of Aviation for eight years. I spent  
11 six of that in airport operations at O'Hare and the last two in  
12 airport planning.

13 CHAIRMAN ROSENKER: Thank you very much.  
14 Mr. Sczcesniak, do you have a presentation before we continue?

15 MR. SCZCESNIAK: Yes.

16 CHAIRMAN ROSENKER: Thank you.

17 MR. SCZCESNIAK: Good afternoon. Today I'm going to  
18 give you a presentation regarding the runway safety areas at  
19 Midway Airport. In order to understand the runway safety areas  
20 at Midway Airport, you need to understand the history of Midway  
21 Airport.

22 Midway Airport was dedicated in 1927 in Chicago  
23 Municipal Field. By the 1950s, the Airport had 9 runways,  
24 handled 10 million passengers and over 431,000 aircraft.  
25 Midway Airport at this time was the world's busiest airport.

1 The picture that you see on the screen is actually a picture of  
2 Midway Airport circa 1937. You'll actually notice that through  
3 the center of Midway ran a railroad track. Okay.

4 Today Midway Airport is located within a vibrant  
5 community. It is surrounded by multiple residential and  
6 commercial developments just outside the boundaries of the  
7 airport. This picture shows you an aerial view of what Midway  
8 is. As you can see, all four corners have the land development  
9 constraints that have been referenced in prior presentations.  
10 But you can see from the original 1937 configuration, that one  
11 square mile configuration for the airport still exists today.

12 As the airport has evolved, and so has aviation, so  
13 have the standards that govern the airport. Runway safety area  
14 criteria prior to the 1950s was pretty much non-existent. In  
15 the 1950s, you get the predecessor to the runway safety area  
16 that extended somewhere around 200 feet off the end of the  
17 runway. Today that dimension is up to 1,000 feet.

18 Midway Airport is not unique in its ability to  
19 provide a full runway safety area. This inability basically  
20 exists at 300 of the 450 commercial service airports in the  
21 United States.

22 When looking at compliance alternatives, we used FAA  
23 Order 5200.8. Some of the options that are available to  
24 increase or bring the runway safety area to full standards are  
25 either a runway relocation or realignment, a reduction in

1 runway length, a combination of the two, declared distances on  
2 an arrester bed system.

3 In September of 2000, the FAA and the City of Chicago  
4 worked together on a runway safety area determination. That  
5 determination found that there were no alternatives that were  
6 possible at that time to bring these safety areas up to full  
7 standards. In May of 2004, the City completed its own study.  
8 It came to the exact same conclusions.

9 In June of 2006, the FAA issued a new runway safety  
10 area determination that also found that it's not feasible to  
11 install or basically improve the runway safety area up to full  
12 standards.

13 This graphic represents a picture of a four runway  
14 safety area at Midway Airport. The area in red depicts the  
15 runway safety area outside of the airport boundaries that would  
16 be required. As you can see, it encompasses numerous  
17 residential dwellings, commercial dwellings, and then also  
18 major arterial roadways. Now this picture represents one  
19 corner of Midway Airport, but the other three corners are in a  
20 similar configuration.

21 So as we looked at the operations or at the options  
22 to improve the runway safety area, we looked at the arrester  
23 bed system as a way to improve the safety area inside the  
24 boundaries of the airport. A standard arrester bed system is  
25 impractical to install it at Midway due to the airfield

1 constraints. The previous generations of EMAS would not have  
2 worked at Midway even in a non-standard installation.

3 By September of 2005, the FAA had actually just  
4 recently released a new FAA guideline in the Advisory Circular  
5 relating to EMAS. That gave better clarity to non-standard  
6 EMAS installations.

7 In the spring of 2005, new generation EMAS arrester  
8 beds had successfully withstood its first full year of jet  
9 blast and also weathered a full freeze/thaw cycle. With that  
10 added experience, in April of 2006, the Department of Aviation  
11 transmitted our preliminary study of arrester bed capabilities  
12 at Midway to the FAA, and then in June of 2006, the FAA has  
13 awarded us grant funding to do this and then also had changed  
14 the runway safety area determination to say that non-standard  
15 EMAS was a way to improve the runway safety area at Midway.

16 When we're trying to look at arrester bed technology,  
17 we look at LaGuardia as a good apple to apple comparison, as to  
18 what the conditions are at Midway. You have similar fleet  
19 mixes, similar weather conditions and similar setback  
20 constraints. In the fall of 1999, the EMAS was installed at  
21 LaGuardia with a 35 foot setback. By the winter of '99, that  
22 had begun to fail and then by the fall of 1999, the EMAS  
23 installation was actually removed. With the problems that were  
24 caused by the jet blast and the acoustics, the FAA, the  
25 manufacturer, and the Port Authority went back to the drawing

1 board looking at ways to improve the blast mitigation of EMAS  
2 installation, and as I said earlier, in the winter of 2006, the  
3 installation at LaGuardia has survived and has also survived a  
4 freeze/thaw cycle.

5           Now when I'm talking about the EMAS installation at  
6 LaGuardia, you can see the pictures on the left depict the old  
7 EMAS installation. You can see that the area of EMAS was  
8 ravaged by the effects of jet blast. With a 35 foot setback  
9 and the fleet mixes that exist at both Midway and LaGuardia,  
10 that EMAS is subject to Category 5 hurricane winds on a regular  
11 basis as aircraft are departing.

12           The picture on the right depicts the new LaGuardia  
13 EMAS installation that had been installed for a similar time as  
14 the old one that has failed. As you'll notice, there is a  
15 remarkable difference in the existing EMAS installation that is  
16 there. It has been withstanding the jet blast and has been  
17 withstanding the weather.

18           So with the experience gained and with the knowledge  
19 gained at LaGuardia, at Midway now we are able to install a  
20 non-standard EMAS installation that will allow us that jet  
21 blast resistant coating, to install this non-standard with the  
22 35 foot setback, and then we'll also work with the FAA to look  
23 at relocating the localizer to provide additional space for  
24 EMAS thruster beds.

25           So in closing, EMAS is the promising solution for



1 Midway to improve the runway safety areas. Right now we are  
2 currently in the process of working with the manufacturer and  
3 the FAA on planning, design and engineering on the  
4 installations. We are proposing that we are going to install  
5 one EMAS arrester bed by the end of 2006, and the remaining  
6 three will be in by the end of 2007.

7 That concludes my remarks.

8 CHAIRMAN ROSENKER: Thank you, Mr. Szczesniak. We'll  
9 ask our Technical Panel if you have any questions. Mr. George?

10 MR. GEORGE: Thank you, Mr. Szczesniak. I do have a  
11 couple of questions. Can you tell me what order the runway  
12 ends will be installed?

13 MR. SCZCESNIAK: The first end will be the 13C  
14 painted end, and we're going installing these based on order of  
15 the configuration usage. So that would be to protect on  
16 overruns of people arriving 31C. And then we would move onto  
17 the four right painted end.

18 MR. GEORGE: Could you discuss the RSA compliance  
19 alternatives that you talked about early on, such as shortening  
20 of the runways and using declared distances? Can Midway  
21 accomplish any of those or could you tell me why those aren't  
22 good solutions for Midway?

23 MR. SCZCESNIAK: Yes. When you look at the  
24 relocation or realignment of the runways within the confines of  
25 Midway, Midway is a square. So the longest distance you can

1 get is the diagonal through the square. So that's why the  
2 runways are aligned like that. Being able to change that  
3 configuration is not a possible without shortening the runways.  
4 Declared distance is also a similar principal that would  
5 shorten the runway lengths and with that, you would have an  
6 impact to air traffic operations.

7 MR. GEORGE: Has the airport ever considered, and I  
8 know they have because we've talked, at what level did you  
9 consider acquiring land outside the airport in order to meet  
10 dimensionally full dimensional standard RSAs, and what, what  
11 would that cost?

12 MR. SCZCESNIAK: When we were doing our runway safety  
13 area practicability study, we looked at the ability to acquire  
14 the land outside of the airport. We were using FAA Order  
15 5200.9 which was the -- what gave you the guidance on the  
16 financial practicability of RSA alternatives. We surveyed  
17 basically the neighborhood and came up with some, some numbers  
18 where we would have to acquire about 700 houses, about 130  
19 businesses and relocate a number of major roadways, do some  
20 rail line work, all kinds of stuff like that, in order to  
21 provide a full standard safety area on the expanses of the  
22 airport. That was going to cost in land acquisition along was  
23 \$300 million approximately and that didn't include all the road  
24 work, the rail work, relocation, environmental. So once we got  
25 to the \$300 million, you can see that it's impractical.

1           MR. GEORGE:  What will your arrester beds cost by  
2 comparison?

3           MR. SCZCESNIAK:  We're looking at all four  
4 installations approximately \$40 million.

5           MR. GEORGE:  Could you summarize all the interactions  
6 that Midway's had with the FAA say since 2000, the runway  
7 safety area program and how the discussions went back and  
8 forth?

9           MR. SCZCESNIAK:  Sure.  Absolutely.  Chicago's  
10 blessed because of the fact that we actually have our FAA  
11 Region located basically about a mile from O'Hare.  So we have  
12 regular interaction with our Regional folks.  I specifically  
13 actually sit in a meeting with them every Friday to talk about  
14 things.  So RSA compliance is always one of our topics that we  
15 try and discuss when new things come, but as the previous  
16 speakers had mentioned, there was this point where we had  
17 looked at the options and there wasn't anything that was really  
18 available to us until you get this new technology with the new  
19 generation of EMAS.  There was really this point where we had  
20 looked at the options, and we knew technology would ultimately  
21 solve our issues but it wasn't quite right there.  I mean if  
22 you looked at the pictures from the LaGuardia experience, you  
23 could see that there would be no way we would be able to  
24 install all the old generation EMAS without it being destroyed  
25 also at Midway.

1           MR. GEORGE: So you have been in contact with the FAA  
2 pretty much constantly throughout this entire time. Is that  
3 what you're saying?

4           MR. SCZCESNIAK: Yes.

5           MR. GEORGE: And that's what my next question was  
6 going to be, when did you first start considering arrester  
7 beds?

8           MR. SCZCESNIAK: What we as the Chicago Airport  
9 System do, is we're a pretty regular participant at the Airport  
10 Council International. So we always reach out to our airline  
11 partners and airport partners and also to the industry. We are  
12 always watching the EMAS developments as they came along. So  
13 we've seen numerous presentations on it. We've seen it change  
14 over its years to see if it was improving, and that's why we  
15 always knew kind of the technology would eventually catch up to  
16 meet our needs.

17          MR. GEORGE: Did you ever have any dealings with ESCO  
18 prior to the last year or so, and going back 10 years or so  
19 say?

20          MR. SCZCESNIAK: Yes. I mean they have come out to  
21 the Department of Aviation I think to do some presentations and  
22 obviously we've had -- we've seen their presentations out at  
23 the ACI meetings and in the industry.

24          MR. GEORGE: This may not be a good question but I'm  
25 going to try it anyway. At the time prior to the FAA policy

1 allowing non-standard EMAS installations, were you aware of  
2 other airports such as Burbank where they had non-standard  
3 EMAS?

4 MR. SCZCESNIAK: Yes, we, you know, obviously we  
5 talked regularly with our airport colleagues. We were aware of  
6 the installations that were at other airports but again when we  
7 were looking at or trying to do an apples to apples comparison  
8 to see the survivability of this product, we looked at  
9 LaGuardia as a very good comparable for Midway. Burbank with  
10 the weather conditions and the fleet mix, doesn't exactly  
11 mirror Midway. We looked at LaGuardia as the better  
12 comparison.

13 MR. GEORGE: And this is about EMAS in general and  
14 the desirability of such a system at an airport. Other than  
15 your initial cost, what are the downsides for -- let's say for  
16 Midway, life cycle costs, durability, maintenance? What  
17 adverse consequences to having that do you see at the airport?

18 MR. SCZCESNIAK: Well, it's going to require  
19 obviously a thorough maintenance program that we're going to  
20 have to go out and monitor on a regular basis. I mean it's a  
21 four by four cellular block that's caulked together. The  
22 caulking sometimes needs to be repaired to prevent water  
23 penetration. So that's the main maintenance issue. On  
24 occasion I think on the older generations of EMAS, even some of  
25 the debris that was thrown by the jet blast would damage the

1 panels, but the newer panels tend to look like the jet blast  
2 hasn't impacted them. We actually did a field tour to  
3 LaGuardia about a month ago to look at their installation and  
4 to see how it has been holding up and the noticeable difference  
5 was that when you looked at the old pictures versus the new  
6 pictures, you could see that there's a very marked improvement.

7 MR. GEORGE: Probably the most important question, do  
8 you believe that the installation of EMAS at Midway will  
9 increase the margin of safety available for overruns?

10 MR. SZCESNIAK: Yes.

11 MR. GEORGE: I have no further questions.

12 CHAIRMAN ROSENKER: Thank you, Mr. George. We'll go  
13 to our Parties. Boeing, do you have any questions?

14 MR. SMITH: Boeing has no questions.

15 CHAIRMAN ROSENKER: The FAA?

16 MR. WALLACE: No questions from the FAA. Thank you.

17 CHAIRMAN ROSENKER: Southwest Pilots Association?

18 CAPT. HEFNER: No questions.

19 CHAIRMAN ROSENKER: Southwest Airlines?

20 MR. LOGAN: No questions, Mr. Chairman.

21 CHAIRMAN ROSENKER: And finally, the City of Chicago?

22 COMMISSIONER FERNANDEZ: The City of Chicago has no  
23 questions, Mr. Chairman.

24 CHAIRMAN ROSENKER: Thank you, Commissioner. Thank  
25 you, Mr. Szczesniak, for -- excuse me. I have to check with

1 our Board. I suspect -- do they have any questions?

2 Mr. Clark. Dr. Ellingstad has no questions.

3 MR. CLARK: I did note your one comment that it was  
4 certainly to your advantage to have the FAA so close by. I  
5 don't think I've ever heard anybody else say that before but  
6 I'm sure Mr. Wallace does appreciate that.

7 But a question along that line is what advice would  
8 you have for other airports that have a similar situation?

9 MR. SCZCESNIAK: I mean I think the advice I would  
10 have for airports now is that you need to make sure that you're  
11 following the updates within the industry. As we've been  
12 following these trends, you can see the improvement in the  
13 technology and an option that wasn't available to us in the  
14 past has now come to meet our needs. So other airports should  
15 also be continuing to watch this product as well as other  
16 products that might, you know, work at their airport.

17 MR. CLARK: But how would, I guess the -- as this  
18 thing developed starting in 2000, and there was one letter in  
19 2004, one in what, 2002, it seemed like they were several years  
20 apart with some of the specific correspondence that dealt with  
21 improving the runway safety areas. Could that have been  
22 speeded up at all?

23 MR. SCZCESNIAK: Well, I mean I guess maybe it's  
24 something that's unique to Chicago was the fact that we have  
25 the ADO that is so close to us. So written correspondence

1 might not be a good record indication of the work that went on  
2 because of the fact that we do see our FAA friends on a regular  
3 basis, basically weekly.

4 MR. CLARK: Okay. Thank you.

5 CHAIRMAN ROSENKER: Mr. Benzon?

6 MR. BENZON: Yes, sir. Since you've decided along  
7 with the FAA to install EMAS, have you thought ahead to long  
8 range upkeep and maintenance and would the airport have to do  
9 that or is that other contractors or the manufacturer would  
10 take care of that or how does that work?

11 MR. SCZCESNIAK: Actually again we're kind of -- the  
12 Port Authority of New York is kind of spearheading this, and  
13 they're working on a maintenance program with the EMAS  
14 manufacturer. We're going to follow the similar path. Because  
15 of the fact, remember, EMAS is a priority project that or  
16 product that they knew best. We as the airport don't. So  
17 we're going to need their continued expertise to be able to  
18 evaluate what, you know, that the product continues to perform  
19 and that it is maintained in a proper manner.

20 MR. BENZON: Okay. I've been hopping up and down  
21 here. So I may have missed this, but do you anticipate any  
22 problems with the installations when they get covered with  
23 snow, things like that? Are they going to be knocked about by  
24 your equipment perhaps or anything like that that worries you?

25 MR. SCZCESNIAK: Well, you know, we did talk with our



1 counterparts at LaGuardia, and they did actually have their  
2 installation go through a major snow event this year with no  
3 ill effects. I think they had a snow event that had 18 inches,  
4 and the system held up.

5 MR. BENZON: That's all I have, sir.

6 CHAIRMAN ROSENKER: Thank you, Mr. Benzon. When did  
7 the LaGuardia put its new system into effect?

8 MR. SCZCESNIAK: July. I think it was July of 2005.

9 CHAIRMAN ROSENKER: So the technology was there  
10 perhaps before the December 8th incident -- accident?

11 MR. SCZCESNIAK: Well, again, it was one of those  
12 things, they installed it in July of 2005, but it had not  
13 proven itself in a winter environment that both LaGuardia and  
14 Chicago share. They, you know, somebody had to be first. They  
15 installed it --

16 CHAIRMAN ROSENKER: Was this considered a test bed?

17 MR. SCZCESNIAK: Yes.

18 CHAIRMAN ROSENKER: It was considered a test?

19 MR. SCZCESNIAK: Yes.

20 CHAIRMAN ROSENKER: Okay. And you are going to  
21 install it?

22 MR. SCZCESNIAK: Yes.

23 CHAIRMAN ROSENKER: When?

24 MR. SCZCESNIAK: The first one should be late fall of  
25 2006, and the remaining three should be during the construction

1 season or spring, fall, summer of 2007.

2 CHAIRMAN ROSENKER: Okay. Thank you, Mr. Szczesniak.  
3 I appreciate your testimony and participation today. I  
4 appreciate your answers as well. And I thank you. We will  
5 excuse the witness.

6 (Witness excused.)

7 CHAIRMAN ROSENKER: And let's take a -- let's do a 10  
8 minute break. We'll go until quarter of 4:00 since we're  
9 running at a nice pace. And we will then have our final  
10 witness for today in this topic, Runway Safety Areas at Midway  
11 and Other Airports with Land Use Constraints and we will then  
12 begin promptly tomorrow at 9:00. We're in recess for 10  
13 minutes.

14 (Off the record.)

15 (On the record.)

16 CHAIRMAN ROSENKER: I'll ask everyone to take their  
17 seats please.

18 We'll begin with our final witness for today on the  
19 topic of runway safety areas at Midway Airport and other  
20 airports with land use constraints. Mr. Benzon, will you call  
21 the witness please?

22 MR. BENZON: Yes, sir. From ESCO, Incorporated,  
23 Mr. G. Kent Thompson please, and remain standing for a second,  
24 sir. Please raise your right hand.

25 (Whereupon,

1 G. KENT THOMPSON

2 was called as a witness, and having been first duly sworn, was  
3 examined and testified as follows:)

4 MR. BENZON: Okay. Have a seat please. And we  
5 understand you have a presentation also, but first of all,  
6 could you tell us, spell your last name first, and then tell us  
7 a little bit about how long you worked for ESCO and what you do  
8 for them.

9 MR. THOMPSON: Last name is Thompson, T H O M P S O  
10 N. I'm the Vice President for Airport Engineering and Sales at  
11 ESCO EMAS division. I've been with the company for 22 years,  
12 about 8 years now working with the EMAS product and EMAS team.

13 MR. BENZON: Thank you.

14 CHAIRMAN ROSENKER: Mr. Thompson, do you have a  
15 presentation before we begin?

16 MR. THOMPSON: Yes, sir, I do.

17 CHAIRMAN ROSENKER: Thank you.

18 MR. THOMPSON: Okay. If I could start the  
19 presentation, first off, I'd like to thank you for the  
20 opportunity to be here.

21 Topics I'd like to cover briefly first include the  
22 overrun problem, why is there a need for EMAS, a brief overview  
23 of the EMAS product and our company's involvement in it, and  
24 then finally a bit about design of the product and its  
25 performance.

1           The overrun problem, there are about 10 overruns per  
2 year at airports in the U.S., and that's been pretty consistent  
3 over the last 20 years. Most of those overruns, about 70  
4 percent take place during landing, many, more than half,  
5 involve contaminated runways. Many death, injuries and  
6 aircraft damage take place most often on the short safety areas  
7 that don't have an EMAS installed.

8           CHAIRMAN ROSENKER: Mr. Thompson, could you just get  
9 a tiny bit closer to that microphone please. That will help us  
10 hear you better.

11          MR. THOMPSON: Is that better?

12          CHAIRMAN ROSENKER: Much better. Thank you.

13          MR. THOMPSON: Thank you. Some of the recent overrun  
14 history are summarized here. You can see these include  
15 overruns both within and outside the United States. One of  
16 what we think is the very important thing when you look at the  
17 very unfortunate tally of casualties and aircraft destroyed is  
18 one that stands out is January 2005, Kennedy Airport, a 747  
19 cargo plane went off the end of the runway at more than 70  
20 knots and was safely stopped by the EMAS installed by the Port  
21 Authority there.

22          We've been working with the FAA for nearly 15 years  
23 in the ongoing development and improvement of this product.  
24 Our background, how we came to be involved is ESCO has been  
25 developing and making arresting systems for about 50 years.

1 Our experience comes from working with the military primarily,  
2 although we've done some special applications including backup  
3 system to catch the space shuttle if it has to make an  
4 unplanned landing. These systems are deployed in 70 countries  
5 and we're supplier to the Air Force, the Marine Corps, and the  
6 Navy. We started under a cooperative research and development  
7 agreement, started formal relationship working with FAA and  
8 this product development in 1994.

9           You might ask, what is an EMAS? We've heard a bit  
10 about it today but haven't talked too much about what it really  
11 is. It's a bed of jet blast resistant cellular cement blocks  
12 placed at the end of a runway to decelerate an aircraft when it  
13 overruns a runway in an emergency. It's a completely passive  
14 system. It's designed to reliably and predictably crush under  
15 the weight of an aircraft and that crushing, through that  
16 crushing decelerates the aircraft.

17           A little bit about how it works. It's principal is  
18 quite simple. As the tires crush the material, it creates a  
19 tire material interface at the front, at the leading edge of  
20 those wheels and that interface against the material provides  
21 the decelerated load, a drag load to slow the airplane down.  
22 That load's transmitted up through the landing gear and the  
23 support structure for the landing gear to decelerate and stop  
24 the aircraft.

25           A very important point here, it does not rely on

1 friction to be able to slow an aircraft down. It's all this  
2 interaction with the material that does the job.

3 The system's tailored for the mix of aircraft of the  
4 runway, and we do that during the height of the system,  
5 depending on how big the wheels are, and what aircraft are in  
6 the mix.

7 When we're working with an airport and their  
8 consultants to design a system, some of the criteria, first and  
9 foremost, we try to maximize deceleration within the limits of  
10 that landing gear, and we use a computer model that's been  
11 validated through about 12 years of testing and R&D at this  
12 point. The model takes into account more than 100 different  
13 variables for each aircraft.

14 What performance you can achieve is really dependent  
15 primarily on how much space is available and what kind of  
16 aircraft you have in operation. We can vary the material  
17 properties in the system, essentially different strengths,  
18 along with the heights of the blocks, to maximize the  
19 performance of the system for each location.

20 And a little bit about the configuration. We're  
21 guided in our work with configuring the system by FAA's  
22 Advisory Circular for EMAS that the FAA folks discussed with  
23 you earlier today, AC 150/5220-22A, which is a performance spec  
24 and describe an engineered material arresting system which is  
25 the spec that our company's product has to meet. They also had

1 and also talked earlier today about FAA Order 5200.9 which  
2 shows FAA's key policy in how EMAS is to be implemented and  
3 where it's cost effective.

4           Two different types of EMAS that you see. There's a  
5 standard EMAS which provides 70 knot performance and typically  
6 in that configuration allows 600 feet for the undershoot of an  
7 company and there's a non-standard EMAS which provides a  
8 minimum of 40 knots deceleration up to the 70 knot goal or non-  
9 standard could also mean there's less than 600 feet available  
10 for undershoots.

11           Typically the arrester beds set back from the end of  
12 the runway to provide a buffer for jet blasts. You saw some  
13 pictures that would show you why you would want to do that  
14 earlier. Fortunately, our development has brought us to the  
15 ability to put the system very close to the end of the runway  
16 now.

17           Typically it's the width of the runway plus step  
18 sides to allow easy access for fire fighting and rescue  
19 vehicles and you'll see those in a later slide.

20           The front of the system is ramped. This allows a  
21 smooth transition as the nose wheel and the main gear of the  
22 aircraft roll into the bed. It minimizes the vertical loads on  
23 the aircraft landing gear as it transitions and gradually goes  
24 into deeper material to bring the aircraft to a stop.

25           The back of the bed is the deepest part, and that's

1 where you get a maximum -- the maximum depth, gives you the  
2 maximum deceleration for the plane.

3           There are currently 20 EMAS installed at 16 airports,  
4 15 in the United States and 1 outside. A quick summary of  
5 those, you can see JFK International was the first system, the  
6 first prototype in 1996. We've got systems installed at  
7 Minneapolis-St. Paul, and at that point, you can see that the  
8 application started to gain more acceptance and was gradually  
9 used by smaller and smaller airports in addition to some of the  
10 larger airports in the country.

11           If you get down to near the bottom of the list, some  
12 of the most recent history, you can see was discussed earlier,  
13 two systems were installed at LaGuardia last year and that was  
14 a culmination of an R&D effort to prove the system could  
15 withstand and did withstand for several years jet blast very  
16 close to the end of the runway. So this was the completion of  
17 that program, and those two systems installed last year. Also  
18 a system installed at Boston Logan, at Laredo and earlier this  
19 year the first system outside the U.S. in a runway system at a  
20 tourist area in China.

21           Just to highlight the importance and the meaning of  
22 the non-standard EMAS, it's always an option. The FAA folks  
23 described the policy related to that already. You can see that  
24 there are already 13 of the systems, of the 20 systems out  
25 there are non-standard EMAS. The performance for the designed



1 aircraft, you can see in those cases ranges from that minimum  
2 of 40 up to about 60 knots at the Fort Lauderdale with the 767.

3           Just a pictorial so you can see a couple of the  
4 recent installations, at Boston Logan, it's not hard to see why  
5 they might want to do that there, and the system is located in  
6 that case very close to the end of the runway and you can see  
7 there's water just beyond the end of the runway. The system in  
8 the other picture at Laredo, Texas, was recently installed and  
9 that gives you a look at those side steps that I mentioned  
10 earlier, so you can see how it's installed and how you would  
11 traverse to get on and off of this system easily.

12           You can also see, if you look closely, the pattern of  
13 blocks, 4 foot by 4 foot blocks, and the blocks are protected  
14 from the environment by a moisture seal in between the joints.

15           More installations are coming up soon. We're going  
16 to be doing another installation at this Zhiago Airport (ph.)  
17 in China later this year. Installation's coming up at  
18 Charleston, West Virginia, at Teterboro, New Jersey, another  
19 system at Boston Logan is planned for late summer this year,  
20 San Diego, and Madrid. It looks like we're working with the  
21 Spanish now on a design contract and will probably be putting  
22 two systems in there by the end of the year, and a system will  
23 be going in in Cordova, Alaska, next summer.

24           That picture by the way is at Binghamton Airport. It  
25 was mentioned before I think that it's not a real big, not a

1 real busy airport but if you look at the picture, you can see  
2 why the need for an arresting system at the end.

3           A little bit about the successful arrestment history,  
4 besides the long test program with aircraft arrestments, that  
5 we did with FAA, since the systems have been installed, there  
6 have been three overruns, all successful. The first one in  
7 1999, was a Saab 340 aircraft. The plane weighed about 22,000  
8 pounds, went off the runway at more than 70 knots and was  
9 safely stopped at Kennedy Airport. In 2003, there was an  
10 overrun of an MD-11, a low speed overrun that came to a safe  
11 stop in EMAS, and then the arrestment I mentioned in January of  
12 2005, of a 747 at Kennedy traveling more than 70 knots and  
13 landing in bad weather conditions.

14           We were asked by the NTSB to estimate what the  
15 performance of an EMAS might have been under the conditions of  
16 the overrun that occurred on December 8th of last year. What  
17 we did, we put in -- did a quick design simulation with EMAS at  
18 the end and we got data from the NTSB to use in the modeling  
19 exercise. The weight of the aircraft, about 118,000 pounds,  
20 the runway exit speed. There's a couple of different ways the  
21 data were reduced. One indicated 51, the other 53 knots. So  
22 we looked at both of those. The condition of max reverse  
23 thrust by the time the plane had left the runway end, and the  
24 point .08 breaking friction factor that you heard about earlier  
25 today.

1           The results of that simulation predicted that the  
2 airplane would be safely arrested within the existing runway  
3 safety area. The performance model indicated the plane would  
4 stop from 51 knots at about 198 feet from the runway end or  
5 about 206 feet from the runway end if the plane was going 53  
6 knots. The key there is that it was stopped before it would  
7 reach the existing blast fence which is at about 229 feet from  
8 the runway end.

9           Just a couple of other points. The National  
10 Transportation Safety Board made two recommendations, not the  
11 only two, but two that I want to talk about in the May of 2003  
12 requiring Part 139 airports to upgrade safety areas to meet the  
13 standards of the airport design advisory circular and  
14 highlighted that the idea that the upgrade should be made  
15 proactively rather than waiting for other runway improvement  
16 projects. They issued a similar recommendation in that report  
17 suggesting that EMAS be required on those runway safety areas  
18 that couldn't, with feasible improvements meet the minimum  
19 standards of the airport design advisory circular. And again,  
20 the highlight was the concept of going ahead and working  
21 proactively to do that rather than waiting for runway  
22 improvements.

23           The timing, you know, how the timing works, the FAA  
24 folks have already spoken to that. I think the Part 139  
25 requirement is to do those improvements when the runway -- when

1 there's major work on the runway to reconstruct or rehabilitate  
2 the runway, and that's been around for a while. FAA's current  
3 effort, the FAA flight plan, you heard the have a 2015 target  
4 for improving all the runway safety areas at the remaining  
5 deficient safety areas in the country's airports.

6 I just wanted to highlight that they do lack the  
7 formal, in my opinion anyway, they lack the formal authority to  
8 meet that date. I believe it would require a rule making or  
9 Congressional legislation to make sure that that happens.  
10 However, FAA has taken a proactive approach. I think they're  
11 doing everything that they can do to achieve that. They're  
12 working informally to encourage airports to be proactive and  
13 make those improvements and we see a lot of that taking place.

14 That concludes my presentation. Thank you.

15 CHAIRMAN ROSENKER: Thank you, Mr. Thompson. We  
16 appreciate your presentation this afternoon.

17 We'll begin with questions from our Technical Panel,  
18 and from Mr. George.

19 MR. GEORGE: Thank you, Mr. Thompson. I'm going to  
20 ask about the formal authority because I'm curious about that  
21 too. I asked the FAA earlier today what sort of authority they  
22 had and they assured me they had plenty. What is it that  
23 you're getting at with that lacking formal authority?

24 MR. THOMPSON: I think it's difficult for the FAA to  
25 pull somebody's Part 139 license. Just from my understanding,

1 a Part 139, the clause that requires airports to upgrade safety  
2 areas when the runways are improved is pretty clear but I don't  
3 think there's anything in Part 139 that, that generates that  
4 proactive program. So FAA is doing it on their own, and I  
5 think they're working hard at it and it got a 10 year, 9 year  
6 remaining program to get all the runways done. But if an  
7 airport doesn't want to improve their runway safety area, I'm  
8 not sure that FAA really has a strong tool to make that happen.

9 MR. GEORGE: Is ESCO the only manufacturer and  
10 installer of EMAS in the world?

11 MR. THOMPSON: ESCO is the only company with a  
12 product that's been accepted by FAA.

13 MR. GEORGE: Do you know anybody else that makes a  
14 product that's not accepted by the FAA?

15 MR. THOMPSON: No, sir.

16 MR. GEORGE: You mentioned undershoot up there. That  
17 was -- I noticed that both standard and non-standard had a 600  
18 foot limitation on there. So it sounds like undershoots are  
19 important. What would happen to an airplane, I mean what do  
20 you imagine, if you were to land in that or to land before that  
21 and come into the deepest part of the EMAS?

22 MR. THOMPSON: Well, FAA had some concerns about that  
23 early in the development of the system. What they did was at  
24 FAA's flight simulator in the Oklahoma City Test Facility, they  
25 ran a series of simulations, landing into an EMAS at different

1 flap setting and different conditions, and their conclusion was  
2 that there was no loss of control of the aircraft. Basically  
3 you don't get that much strike compression when the plane is  
4 still flying to substantially penetrate the bed. So it skips  
5 off of the arrester system and at flying speeds, one skip and  
6 you're on the runway.

7 MR. GEORGE: You mentioned a lot of -- a couple of  
8 times in there about sealing the thing from -- the blocks from  
9 water and things. Is water particularly detrimental to the  
10 performance of the blocks?

11 MR. THOMPSON: Not so much the performance as the  
12 durability. Water and freeze/thaw conditions are the systems  
13 enemy in terms of long term durability. What we've done is  
14 we've created in the installation design a number of ways to  
15 make sure that water doesn't cause problems. We sealed the  
16 joints in between the individual blocks but at the same time,  
17 we leave spaces between the blocks and a ventilation system in  
18 the bed so that even if water does get in, it has a pathway to  
19 get back out.

20 MR. GEORGE: Do you have a ready made way to say  
21 check a block that's well on the inside, hard to get to let's  
22 say, on the bottom and see if it's taken up water or --

23 MR. THOMPSON: Sure, we do. There's a couple of ways  
24 we can do that. We did a series of tests a couple of years ago  
25 to try and really understand how much moisture does get in and

1 what we did essentially going and putting a tube in between the  
2 blocks and penetrating the block and taking essentially a core  
3 sample of material out and then you can take it, dry it, you  
4 can measure the weight, you can dry it in the lab and weigh it  
5 again and find out how much moisture is in it. What we learned  
6 was that the systems tend to reach a certain equilibrium of  
7 moisture very quickly once they're installed, and it's an  
8 acceptable level. If moisture gets in, it tends to fall to the  
9 bottom and settle or run out of the system.

10 MR. GEORGE: This is going to be kind of a hard  
11 question and maybe unfair, but can you give me a ballpark  
12 estimate what standard EMAS 150 feet wide would cost to buy and  
13 install and also the same figure for a non-standard?

14 MR. THOMPSON: Sure. It can vary quite a bit  
15 depending on what aircraft you have to design to stop but  
16 typically for a standard EMAS you're probably in the range of 3  
17 to \$6 million and for non-standard EMAS on the basis that the  
18 system is shorter, there's not enough space in order to get  
19 that 70 knot requirements it might be 2 to \$4 million per  
20 system.

21 MR. GEORGE: How much of that --

22 MR. THOMPSON: It certainly can vary outside of that  
23 depending on other parameters but --

24 MR. GEORGE: I hate to dwell on cost, but how much --  
25 what percentage of that is installation and how much is

1 materials?

2 MR. THOMPSON: The materials would be, you know, the  
3 site preparation work is the biggest variable. The system  
4 itself, the blocks, the materials are probably 80 to 90 percent  
5 of the cost of what our company provides.

6 MR. GEORGE: Now here's my last question. What --  
7 why was there an EMAS or EMAS needed at Laredo, Texas? That's  
8 just to satisfy my curiosity?

9 MR. THOMPSON: Well, believe it or not, they have  
10 airplanes down there.

11 MR. GEORGE: No, I was thinking of land use or land  
12 constraints.

13 MR. THOMPSON: They are constrained. I don't recall  
14 exactly what the constraint is at the end of the safety area,  
15 but they're able to get enough I think to get a standard EMAS  
16 but not enough to get a full 1,000 feet.

17 MR. GEORGE: Okay. Well, thank you very much. I  
18 have no more questions.

19 MR. THOMPSON: Thank you.

20 CHAIRMAN ROSENKER: Thank you, Mr. George. We will  
21 move to our Parties for questions, starting with Southwest  
22 Pilots Association?

23 CAPT. HEFNER: We have no questions.

24 CHAIRMAN ROSENKER: Thank you. Boeing?

25 MR. SMITH: Just one question and it's more of a



1 curiosity than anything else. About how long does it take to  
2 install an EMAS system?

3 MR. THOMPSON: Typical installation time to actually  
4 put it in is probably on the order of six weeks. The biggest  
5 part is really preparing the site which in many cases might  
6 take a month to do. Actually installing the blocks is probably  
7 a two week process or so, two to three week process.

8 CHAIRMAN ROSENKER: Thank you. City of Chicago.

9 COMMISSIONER FERNANDEZ: As a matter of fact,  
10 Mr. Chairman, I do have a question. And it's really a two  
11 part. Mr. Thompson, if you could please discuss your  
12 commitment to support your product after installation? And the  
13 second part is, is there any ongoing R&D taking place that  
14 would increase the useful life and reduce maintenance?

15 MR. THOMPSON: Well, certainly we're committed to  
16 supporting all the installations and I think checking with  
17 airports that have installed EMAS, I think we've got an  
18 excellent record of doing that support. In fact, your question  
19 is a good one. We just recently released an upgrade to the  
20 system configuration, improved materials for the top protective  
21 surface of the system which should eliminate the need to  
22 repaint the system periodically, so that it will extend the  
23 durability and reduce the maintenance costs a lot.

24 COMMISSIONER FERNANDEZ: Thank you.

25 CHAIRMAN ROSENKER: Southwest Airlines.

1 MR. LOGAN: We have no questions, Mr. Chairman.

2 CHAIRMAN ROSENKER: And the FAA?

3 MR. WALLACE: Just a few. With regards to cost,  
4 Mr. Thompson, I heard many times in this room claims about how  
5 inexpensive certain things are, whether it's video recorders  
6 for aircraft or whatever. So we heard earlier that the City of  
7 Chicago expects to spend \$40 million to do 4 runway ends and  
8 the FAA is paying a portion of that. So are those cost figures  
9 you said 2 to 4 I believe for a non-standard EMAS. What  
10 factors do those take into consideration in terms of things  
11 like moving localized antennas or whatever grading or  
12 construction is necessary?

13 MR. THOMPSON: The 2 to \$4 million typically would be  
14 where there's not a lot of site preparation work required. So  
15 it wouldn't take into account moving of a localized antenna.

16 CHAIRMAN ROSENKER: I think you're not on microphone,  
17 Mr. Thompson.

18 MR. THOMPSON: I'm sorry. Is that any better?

19 CHAIRMAN ROSENKER: Much better. Thank you.

20 MR. THOMPSON: Okay. So the 2 to \$4 million would  
21 typically be the system cost and the installation of the system  
22 and minimal site preparation work, you know. Would you like to  
23 ask anymore about that?

24 MR. WALLACE: Well, you heard the -- I assume you  
25 heard the testimony earlier today about the plan to install

1 EMAS at the four runway ends at Chicago, and this \$40 million.  
2 Are you surprised it costs that much?

3 MR. THOMPSON: I'm not sure. I think the Chicago --  
4 I'm sure the Chicago folks now the basis of that. We haven't  
5 gotten far enough into the design process with them to  
6 understand and to be working with that. The product part  
7 itself, the product and its installation would be considerably  
8 less.

9 MR. WALLACE: Okay. Thank you. Nothing further.

10 CHAIRMAN ROSENKER: Thank you, Mr. Wallace. We'll  
11 move to the Board of Inquiry. Dr. Ellingstad.

12 DR. ELLINGSTAD: You mentioned that essentially the  
13 sizing of the systems depend on the, the fleet mix that you  
14 have, and is this pretty much a dimensional difference or  
15 material differences depending on the size and weight that it  
16 needs to stop?

17 MR. THOMPSON: It's really both. In many cases, with  
18 larger aircraft, the material is typically going to be -- the  
19 blocks will be taller but in some cases the material will also  
20 be stronger. So it really varies with the mix of aircraft at  
21 an airport. If the mix of aircraft are all large aircraft, if  
22 there's no small aircraft to be protected, the strength of the  
23 material can go higher. If you're trying to cover a range  
24 that's going to protect small and large aircraft, then it might  
25 be lower and for all small aircraft it might be lower still,

1 the block heights and the strengths.

2 DR. ELLINGSTAD: Okay. Is there a sacrifice of  
3 capability for smaller aircraft to the extent that you're  
4 designing for wide bodies for example?

5 MR. THOMPSON: There can be. Certainly to optimize  
6 for wide bodies would sacrifice performance for small aircraft.  
7 So it's a case by case decision and looking at the aircraft mix  
8 and what the priorities are for that airport.

9 DR. ELLINGSTAD: Okay. You mentioned that your  
10 principal or a significant part of your cost is the site  
11 preparation. In those cases where you have had the systems  
12 used, like at JFK, what does your replacement run?

13 MR. THOMPSON: Well, typically if there's an overrun  
14 into the system, you only have to replace the damaged portion  
15 which would be the wheel ruts and the area the aircraft travel.  
16 So in the experience for example of the 747, I think there was  
17 about -- I think it was close to a \$2 million cost to replace  
18 the bed. That was the most extensive damage that any of the  
19 systems have incurred to date.

20 DR. ELLINGSTAD: Thank you.

21 MR. THOMPSON: Thank you.

22 CHAIRMAN ROSENKER: Thank you, Dr. Ellingstad.  
23 Mr. Clark.

24 MR. CLARK: Dr. Ellingstad raised the issue about  
25 repairs, and I'm interested in what does it take to affect a

1 repair? What do you have to do?

2 MR. THOMPSON: It's really a straight forward  
3 process. The damaged material has to be removed and cleared  
4 from the area. Because the blocks are installed, they're pre-  
5 cast and they're already wrapped in this jet blast resistance  
6 coating system, they're ready to install when they arrive at  
7 the airport. So essentially the reinstallation of blocks in an  
8 area that has been damaged is done the same was as the original  
9 installation. The area is marked out in a grid and the blocks  
10 are adhered to the surface with usually an AC20 hot asphalt  
11 mix, and then the joints are sealed between the blocks. In  
12 fact, the latest joint seal for material which is an  
13 improvement over the caulk that was discussed earlier, it's  
14 another upgrade to speed a repair or original installation and  
15 reduce the ongoing maintenance costs.

16 MR. CLARK: Could that have also been the method to  
17 repair the erosion at LaGuardia?

18 MR. THOMPSON: It could be but that original bed, of  
19 course, in 1998, we hadn't developed the whole coating system  
20 at that time. So we really didn't know but, yes, the repair  
21 would have been similar. You would dig up with trucks, move  
22 out the material that was damaged and go back and place the  
23 individual blocks on the grid. The only difference in terms of  
24 installation, but it's a pretty big difference in terms of time  
25 and difficulty, is that at that time you had to install the

1 coating system on the blocks after they were put in place and  
2 then paint it, whereas now everything is already prefabricated.

3 MR. CLARK: How would you handle a design around the  
4 issue of antennas out in the EMAS? I think we saw the picture  
5 that the gentleman from Chicago put up that showed a red  
6 antenna ray and the EMAS running up to it. Why can't we run  
7 EMAS right on through that and take full advantage?

8 MR. THOMPSON: It could be done. It hasn't been done  
9 to date. Normally the system is located up to the localizer,  
10 within a few feet, and ends there but it could be done. The  
11 difficult issue is, you know, one of the missions following the  
12 FAA's Advisory Circular is to minimize damage to the aircraft.  
13 So when we put -- if we put the system around the antenna, then  
14 we can't really predict what's going to happen in terms of  
15 aircraft damage when it hits the antenna, but it could be done.  
16 Basically you'd have to provide the drainage around the antenna  
17 location to get water that came in there out which is very  
18 straightforward and build the system around it.

19 MR. CLARK: Well, if you build an EMAS up to the  
20 antenna, the airplane is going to go through that EMAS anyway.  
21 It's going to hit the antenna regardless. So don't you buy  
22 extra protection by having EMAS all the way to the fence?

23 MR. THOMPSON: It certainly could provide extra  
24 protection particularly if the aircraft doesn't hit the  
25 antenna.

1           MR. CLARK: How close can you put EMAS up to the  
2 perimeter fence and have some advantage of the EMAS?

3           MR. THOMPSON: Any EMAS that you put in is going to  
4 provide additional stopping capability. You could argue that  
5 if you lose the nose wheel when you hit the localizer antenna,  
6 that having more EMAS behind it wouldn't do much because the  
7 nose wheel would be the device providing the braking and that  
8 part of the system unless it travels far enough for the main  
9 gear to go past the antenna but it's potential safety increase  
10 in any of additional length that you put in.

11          MR. CLARK: Okay. All right. Thank you.

12          MR. THOMPSON: Thank you.

13          CHAIRMAN ROSENKER: Thank you, Mr. Clark.

14 Mr. Benzon.

15          MR. BENZON: Just a couple, sir. Did you say that  
16 the surface of an EMAS system can support a full sized fire  
17 vehicle?

18          MR. THOMPSON: Yes, sir. FAA did extensive testing  
19 during the early nineties and mid-nineties when we were doing  
20 aircraft tests at the Technical Center, and the normal process  
21 was after each arrestment to get a fire fighting truck out  
22 there and have it drive around not only on the bed as it's new,  
23 but in an actual rutted scenario. The vehicles are able to  
24 traverse the bed without even going to four wheel drive. They  
25 do damage the surface though. So you don't drive on it unless

1 you need to.

2 MR. BENZON: They wouldn't get in there and get  
3 stuck?

4 MR. THOMPSON: No, sir.

5 MR. BENZON: The whole concept behind this device is  
6 to stop the aircraft without permanently damaging it or serious  
7 damaging the aircraft. Is that correct?

8 MR. THOMPSON: Well, of course, the most important  
9 purpose is to stop the aircraft and to protect the people on  
10 board but the secondary purpose is to minimize structural  
11 damage to the aircraft and that is codified in FAA's Advisory  
12 Circular.

13 MR. BENZON: Now during the design phase of this  
14 thing, was there any thought given to accepting damage to the  
15 aircraft so you could perhaps make the EMAS bed shorter and  
16 maybe stop the aircraft a little more violently but  
17 successfully and still save lives? Do you follow me?

18 MR. THOMPSON: Yes, sir, and it's something that  
19 still comes up occasionally on a case-by-case basis in looking  
20 at a particular airport's design because with the wide range of  
21 mix of aircraft, you want to get the best performance you can  
22 out of it. What you don't want to do, in some cases, an  
23 aircraft like a 737 is maybe a bad candidate for sacrificing a  
24 nose gear because the engines sit so close to the ground anyway  
25 that you don't want to give up that height. So you probably



1 wouldn't want the design to fill in those gear to maximize  
2 performance but with some other aircraft it could be very  
3 desirable.

4 MR. BENZON: And you do it by just making the  
5 material more dense I suppose?

6 MR. THOMPSON: Or you could have the front edge  
7 steeper or faster to get up to maximum height or increase the  
8 maximum height.

9 MR. BENZON: Okay. That's all I have, sir.

10 CHAIRMAN ROSENKER: Thank you, Mr. Benzon. If I  
11 could go along the line of questioning that Mr. Benzon did.  
12 The minimal damage if you will to the aircraft, I heard some  
13 anecdotal evidence that in a number of cases you can actually  
14 pull these things out and with some inspections, they're  
15 airworthy again. Is that correct?

16 MR. THOMPSON: Yes, sir, I believe so. My  
17 understanding is that the Polar 747 that went off the runway at  
18 Kennedy last year at more than 70 knots, that essentially they  
19 replaced the nine tires and put it back in the air a few days  
20 later.

21 CHAIRMAN ROSENKER: And I see a picture here, I don't  
22 know if it's on your screen, a piece of that 747 it looks like  
23 with the nose wheel up, yet the land carriage itself, the  
24 wheel, most of the landing gear is embedded in this -- in the  
25 EMAS. Is that correct? Is that designed so that you don't get

1 the nose wheel sheered off?

2 MR. THOMPSON: The design is done to minimize the  
3 risk of nose gear damage, and anything's possible in the real  
4 world.

5 CHAIRMAN ROSENKER: And what about the maximum  
6 speeds? I realize that each aircraft it would be different.  
7 What is the maximum speed you've tested these things at and had  
8 them successfully stop?

9 MR. THOMPSON: The highest speed of an actual  
10 aircraft would be the Saab and the Polar overruns which were  
11 both at or in excess of 70 knots, and they do cover nicely the  
12 spectrum of aircraft weights in use today. Beyond that, we've  
13 done testing with individual aircraft wheels in our various R&D  
14 tests, testing aircraft down to the 20,000 pound aircraft and  
15 below range, and successfully tested it at 70 knots.

16 CHAIRMAN ROSENKER: And you really want the main gear  
17 to sink in. Is that what you're trying to do?

18 MR. THOMPSON: Yes, sir. The main gear does the vast  
19 majority of the braking work for you. You have a lot more  
20 surface area in the tires. So when that's presented to the  
21 material, it provides a lot of, probably 80 or 90 percent of  
22 the drag.

23 CHAIRMAN ROSENKER: Now the more of these systems you  
24 make, do they get cheaper?

25 MR. THOMPSON: That's hard to say but we'll have to

1 keep track in that.

2 CHAIRMAN ROSENKER: I don't care. I was just  
3 interested but I'm sure the FAA had some interest in that and  
4 maybe the City of Chicago.

5 MR. THOMPSON: It certainly helps with price  
6 stabilization when the volume is going up.

7 CHAIRMAN ROSENKER: Okay. Well, Mr. Thompson, I  
8 thank you for your testimony.

9 MR. THOMPSON: Thank you, sir.

10 CHAIRMAN ROSENKER: And I appreciate the opportunity  
11 to understand more about this system and its value.

12 (Witness excused.)

13 CHAIRMAN ROSENKER: I think we had a very good day  
14 today, a lot of excellent witnesses providing significant  
15 testimony in this hearing. Tomorrow we'll be dealing with  
16 Topic 3, aircraft landing performance including landing on  
17 contaminated runways, manufacturer's landing data, use of OPCs  
18 and use of thrust reversers.

19 We will have three witness panels tomorrow. If we  
20 move at the pace that we did today, I think we will have ample  
21 time to have a good discussion and yet still end this meeting  
22 without going above 5:00, and I will give everyone an hour  
23 tomorrow for lunch so they can look forward to that if we  
24 continue at this pace.

25 Tomorrow morning, we will reconvene at 9:00. Until

1 then, the meeting will be in recess.

2                   (Whereupon, at 4:30 p.m., the hearing was adjourned  
3 to reconvene on Wednesday, June 21, 2006, at 9:00 a.m.)

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF:            Southwest Airlines Co., Flight 1248,  
                                 Boeing 737-7H4, N471WN  
                                 Chicago, Illinois  
                                 December 8, 2005

DOCKET NUMBER:            DCA-06-MA-009

PLACE:                        Washington, D.C.

DATE:                         June 20, 2006

was held according to the record, and that this is the original, complete, true and accurate transcript which has been compared to the recording accomplished at the hearing.

---

Timothy J. Atkinson, Jr.  
Official Reporter