

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

* * * * *

Investigation of:

*

*

AMTRAK TRAIN 188 DERAILMENT NEAR

*

PHILADELPHIA, PENNSYLVANIA

* Docket No.: DCA-15-MR-010

MAY 12, 2015

*

*

* * * * *

Interview of: JOHN HINES

Sheraton Hotel
Philadelphia, Pennsylvania

Wednesday,
May 13, 2015

The above-captioned matter convened, pursuant to notice.

BEFORE: DAVID BUCHER
Railroad Accident Investigator

APPEARANCES:

DAVID BUCHER, Railroad Accident Investigator
National Transportation Safety Board

STEPHEN JENNER, Ph.D., Human Performance Investigator
National Transportation Safety Board

MICHAEL BULL, Operating Practices Inspector
Federal Railroad Administration (FRA)

DAVID NICHOLS, Chief Transportation Officer
Amtrak

EDWARD MRUK, Assistant General Trainmaster
Amtrak

WILLIAM BATES
National Safety Team
SMART Transportation Division

CARL FIELDS
Safety Task Force
Brotherhood of Locomotive Engineers and Trainmen (BLET)

<u>ITEM</u>	<u>I N D E X</u>	<u>PAGE</u>
Interview of John Hines:		
By Mr. Bucher		4
By Mr. Fields		6
By Dr. Jenner		8
By Mr. Bucher		12
By Mr. Bates		13
By Mr. Nichols		15
By Mr. Fields		15
By Dr. Jenner		18
By Mr. Bucher		19
By Mr. Fields		21

I N T E R V I E W

(10:50 a.m.)

1
2
3 MR. BUCHER: This is Dave Bucher, Rail Accident
4 Investigator for the National Transportation Safety Board. This
5 is May -- the date is May 13th, 2015. Time is 10:50. The
6 interview of Mr. John Hines. He's General Road Foreman for the --
7 for Amtrak, in Wilmington, Delaware. The interview is being
8 conducted at the Sheraton Hotel in Philadelphia.

9 To my right, I have --

10 MR. BATES: William Bates, B-A-T-E-S, SMART
11 Transportation Safety Team.

12 MR. NICHOLS: Dave Nichols, N-I-C-H-O-L-S, Chief
13 Transportation Officer for Amtrak.

14 MR. FIELDS: Carl, C-A-R-L, Fields, F-I-E-L-D-S,
15 Brotherhood of Locomotive Engineers and Trainmen, Safety Task
16 Force.

17 MR. MRUK: Edward Mruk, M-R-U-K, System General
18 Trainmaster with Amtrak.

19 MR. BULL: Mike Bull, B-U-L-L, Operating Practices
20 Inspector with the FRA.

21 DR. JENNER: Stephen Jenner, human performance with the
22 NTSB.

23 MR. BUCHER: Okay.

24 INTERVIEW OF JOHN HINES

25 BY MR. BUCHER:

1 Q. Dave Bucher again, and, John, if you could, give us an
2 overview of the ACSES system as you see it might have related to
3 the engineer and to the accident.

4 A. Okay. The ACSES system -- ACSES, first of all, stands
5 for Advanced Civil Speed Enforcement System. That is ACSES. It
6 is an overlay to the automatic train control system or the cab
7 signal system on board. It works with a nine aspect cab signal.
8 It enforces track speed limits, a positive stop at interlocking
9 and control point signals. It enforces temporary speed
10 restrictions and it enforces permanent civil speeds.

11 It uses a transponder base and radio network
12 communication. The transponder gives accurate location for the
13 locomotive or train, track designation as well. And it also gives
14 direction. So it knows the direction the train is traveling. And
15 transponders are used for permanent civil speed restrictions and
16 for positive stop at home signals. The radio interfaces also with
17 ACSES to allow for route speeds at interlocking. So, if I'm
18 crossing over, it will enforce that crossover speed and any
19 temporary speed restrictions that are on an adjacent track that
20 you're crossing over to.

21 It also allows for a positive stop release, if we needed
22 to -- if we couldn't display a signal for an engineer, the
23 dispatcher will give authority to pass the signal and to also
24 override the system.

25 Q. Okay.

1 A. So that's a quick overview of what the system does and
2 how it works.

3 Q. Okay. Dave Bucher. Could you give us a little rundown,
4 your knowledge of the ACSES system at the accident site? I
5 understand it was in one direction and it was not in the other
6 direction.

7 A. ACSES is not in service at that location for either
8 direction.

9 Q. Okay. All right. Was ACSES in service anytime between
10 30th Street Station and Frankford Junction interlocking?

11 A. No.

12 Q. Okay. Okay. I'm just going to pass it off right now,
13 to my right.

14 MR. BATES: No questions.

15 MR. BUCHER: Okay. You got to tell them who it is.

16 MR. BATES: William Bates. No questions.

17 MR. NICHOLS: Dave Nichols. No questions.

18 MR. FIELDS: Carl Fields, BLET.

19 BY MR. FIELDS:

20 Q. John, you said the ACSES system is not enforced or not
21 enabled within 30th Street and Frankford interlocking. Is that
22 correct?

23 A. There's no interlocking at Frankford. The interlocking
24 approaching the derailment site is Shore interlocking. The
25 location is called Frankford Junction -- of the derailment. And

1 ACSES is not in service between 30th Street and that location.

2 Q. Okay. Thank you. And where prior, leading up to
3 eastbound and westbound, is it in service?

4 A. Okay. Between -- I'll give you all the locations.
5 Between Washington and Philadelphia -- so the Mid-Atlantic
6 subdivision at Perryville. Between Perryville and Reagan. And
7 actually make that Prince interlocking, is the name of the
8 interlocking that it begins at. So between Prince interlocking
9 and Reagan interlocking is the location for the Mid-Atlantic
10 subdivision. After 30th Street, between Trenton and New Brunswick
11 is also a location, and the two interlockings that are used -- it
12 begins at HAM interlocking and ends -- HAM, H-A-M -- and ends at
13 County interlocking. And the last location is on the New England
14 subdivision, and that's between New Haven, Connecticut, and all
15 the way to Boston, South Station.

16 Q. Excuse me, New Haven, Connecticut, and --

17 A. Boston South Station.

18 Q. Thank you. So in the areas -- excuse me. So in the
19 areas where it's not enforced or not in place, how many miles
20 would that encompass approximately?

21 A. I'm going to have to do some -- well, about 170 miles.
22 This is between New York and Washington. Roughly, we have about
23 60 miles of ACSES territory. It's 225, roughly, give or take a
24 mile or so, miles between Washington and New York.

25 Q. Okay.

1 A. All of the railroad that we own between New Haven and
2 Boston is equipped. Metro-North is not equipped, which is the
3 other piece of the NEC. And then we also have the section between
4 New York Penn Station and New Rochelle that is not equipped. And
5 I believe that's roughly 20 miles.

6 Q. Is there a reason why it's not equipped in the -- where
7 the point of derailment was?

8 A. That is a question I would defer to C&S, or those that
9 make the decisions for the installation.

10 Q. Okay. That's all the questions I have at this time.
11 Thank you.

12 MR. MRUK: Edward Mruk. I have no additional questions.

13 MR. BULL: Mike Bull. No questions.

14 DR. JENNER: Okay. This is Steve Jenner. A few
15 questions, please.

16 BY DR. JENNER:

17 Q. Can you talk a little about the history of the
18 technology? When did it first get implemented on Amtrak, and did
19 you guys develop it yourselves?

20 A. It was developed with Amtrak, and working with PHW as
21 the designer and also Bombardier, who designed the transponders
22 and some of the system itself, the wayside. The system was placed
23 into service in late '99, early 2000, I believe, when we put the
24 high-speed train sets into service as part of raising the speeds
25 to operate for the Tier 2 equipment.

1 Q. Was it required by law or regulation to implement that
2 or was that an internal decision?

3 A. It was required by law.

4 Q. Okay. Right now, is there -- are there -- is it still
5 being -- is the technology changing since '99, 2000?

6 A. Yeah. The technology has changed to -- some of the
7 radio frequencies have changed with the equipment. Overall, the
8 technology has remained the same, relatively.

9 Q. Okay. Currently, was there any plans to expand its
10 implementation and -- let's just say, before the day of the
11 accident, was it still being implemented on the Amtrak system?

12 A. Yes. They are installing the wayside equipment, and I
13 believe the majority of the wayside equipment -- and I can't
14 answer that to a full extent, but I would rely on C&S to answer
15 that -- all over the Northeast Corridor, and the plan was to have
16 it up and running as soon as they're completed with that.

17 Q. How many miles are we talking for the wayside equipment
18 that --

19 A. All of the NEC, rest of what -- that I discussed.

20 Q. Okay. But are you aware of any dates for completion?

21 A. There has no date been given, other than the date
22 required by law, which is the end of this year.

23 Q. Okay. When an engineer is operating, how does he know
24 while he's operating if he's traveling over a territory where it
25 has been installed or it is not installed?

1 A. Sure. So on the aspect display unit you have a portion
2 for cab signals or ATC, and then you also have a portion that
3 displays the civil speed for ACSES. And when you enter ACSES
4 territory, there's an audible alarm that lets you know you have
5 entered ACSES territory and the civil speeds will be displayed.

6 Q. Does the engineer have to acknowledge the audible alarm?

7 A. They do.

8 Q. How do they do that?

9 A. Through the acknowledgers, an acknowledger button that's
10 used for the cab signals, ATC, and also for the alerter, all tied
11 into one.

12 Q. Okay. So that's the audible part. The visual part has
13 to do with the civil speeds you were mentioning. Is there
14 anything else visually displays that they have to pay attention to
15 now, that -- let's just say, is their workload changed at all if
16 they're operating with ACSES implemented versus it's not
17 implemented?

18 A. Other than the speed that is displayed for enforcement
19 for civil speeds or temporary speed restrictions, no.

20 Q. Is there any type of training that they require just on
21 ACSES and what to expect?

22 A. There is -- during new hire training, they are -- they
23 receive training on ATC and ACSES. And also during their
24 recertification, there's training and testing on those systems as
25 well.

1 Q. If you know offhand, how long is the training? Is it
2 a --

3 A. It's all part of a 4-day training program for
4 recertification. For new hire training, I'd have to go and look
5 in the curriculum to know -- tell you how many days it is.

6 Q. Okay.

7 A. I don't know off the top of my head.

8 Q. Well, in general, what would they be trained about?
9 What do they need to know?

10 A. They're given an overview of how the system works. They
11 are also provided training on testing the system and how the
12 system functions. And then during new hire training, they also
13 perform simulator exercises with the system enforcement. And
14 they're also trained on failure of the system as well, and
15 operation when a system fails.

16 Q. Okay. How have you found the reliability of the
17 technology? Is there a lot of repairs that go on or have they
18 been pretty reliable for you?

19 A. It's been pretty reliable. I would say it's pretty
20 robust. In the beginning, I think, and because the technology was
21 new, we saw some more failures than we do today.

22 Q. Uh-huh.

23 A. So, yeah.

24 Q. Okay. Okay. I think that's the questions I have.

25 MR. BUCHER: Okay. Dave Bucher again.

1 BY MR. BUCHER:

2 Q. Changing gears, John, could you give us just a little
3 bit of a background on the cab signal system that was in service
4 approaching the -- and just from the engineer's point of view,
5 approaching the accident area? Because I know that there were cab
6 signals involved.

7 A. Sure.

8 Q. You know, could you give us an overview of what he would
9 have had, meaning the locomotive engineer, through the accident
10 area and what effect it would've had on the train operation?

11 A. Okay. The cab signal that was displayed at the current
12 location, current time was a clear cab signal. Clear is also --
13 the requirement for clear is operate maximum authorized speed.
14 Maximum authorized speed approaching location was 80.

15 Q. Uh-huh.

16 A. But at the point of derailment, the required speed was
17 50. The cab signal at that time only required that he operate at
18 maximum authorized speed. For that equipment type, the overspeed
19 setting is at 125.

20 Q. Uh-huh.

21 A. And that is the enforcement that's going to -- that is
22 when the cab signals were on force for that equipment type. Okay.

23 Q. Okay. And just as a follow-up question -- so he would
24 not have gotten any less than a clear signal as he approached
25 Shore interlocking?

1 A. No, unless there was a train ahead or there was
2 something else on the blocks ahead.

3 Q. Okay. Okay. And there was no limitation -- and where
4 I'm going here is, there was -- the system would not have limited
5 his speed in any way?

6 A. No.

7 Q. Okay. Okay.

8 MR. BUCHER: I think that's all I have right now. To my
9 right?

10 MR. BATES: William Bates.

11 BY MR. BATES:

12 Q. John, the only question I'd ask you is, we know that
13 TSRBs -- they announce you're leaving the station. But any way
14 that the engineer announces to the conductors whether they're in
15 ACSES or non-ACSES territory? That's not required?

16 A. That's a qualification requirement. They should know
17 that they're in that territory. That's part of the physical
18 characteristics --

19 Q. For the conductor?

20 A. And for all --

21 Q. But he don't have to announce it?

22 A. No.

23 Q. Okay.

24 A. No requirement to announce to anyone.

25 Q. Okay. All right. That's all I had.

1 A. Yep.

2 BY MR. NICHOLS:

3 Q. John, do you know if they're going to put ACSES on the
4 Harrisburg -- Dave Nichols, Chief Transportation Officer. Sorry.
5 Are they going to put ACSES on the Harrisburg Line?

6 A. In one statement I did make, they are in the process of
7 installing ACSES on the Harrisburg Line.

8 Q. Okay.

9 A. The line between Albany and New York, which is the
10 Empire route, and the Springfield Line, they're also in the
11 process of installing ACSES.

12 Q. Thank you.

13 MR. FIELDS: Carl Fields, BLEMT. Oh, I'm sorry.

14 MR. BUCHER: Observing --

15 UNIDENTIFIED SPEAKER: (Indiscernible) --

16 MR. BUCHER: We need to pause.

17 (Off the record.)

18 (On the record.)

19 MR. BUCHER: Okay. This is Dave Bucher, and we're back.
20 And we're going with Mr. Nichols' question.

21 MR. NICHOLS: Okay. Dave Nichols.

22 BY MR. NICHOLS:

23 Q. John, do you know if there's any other way that an
24 engineer knows that they're in -- or a conductor -- that they're
25 in ACSES territory, other than the display on the ADU?

1 A. They're required as far as their physical
2 characteristics to know where they're at for ACSES territory.

3 Q. Is it published in the timetables?

4 A. It is published in the timetable. That is correct.

5 Q. Thank you. That's all.

6 MR. FIELDS: Carl Fields, BLET.

7 BY MR. FIELDS:

8 Q. John, if you would, there's been some acronyms thrown
9 around here that -- if you would, TSRB?

10 A. Sure. Temporary Speed Restriction Bulletin.

11 Q. ADU?

12 A. ACSES Display Unit.

13 Q. And that's --

14 A. ATC and ACSES Display Unit. Let me rephrase that.

15 Q. Okay. And that's displayed on the screen for the
16 engineer?

17 A. It is displayed on its -- yeah, its own screen.

18 Q. Does Amtrak afford speed restriction signs along the
19 right-of-way?

20 A. For the temporary speed restrictions or permanent?

21 Q. Either/or.

22 A. Temporary speed restrictions, yes, in almost all cases.
23 Permanent speed restrictions, most locations are -- on the
24 Northeast Corridor are up in either the catenary sign -- or up in
25 the catenary, but not at all locations. There are in some.

1 Q. Were they -- was there a permanent speed restriction
2 sign in place at the point of derailment or leading up to it on
3 that curve?

4 A. Yes.

5 Q. There was. And that reflected what speed?

6 A. That would've reflected 50, and it's up in the overhead
7 catenary.

8 Q. Thank you. Could the cab signal be used to limit the
9 speed of the train prior to the accident?

10 A. In what way?

11 Q. Is it designed to enforce an application leading into
12 that area if you're exceeding 50 miles an hour, as the posted
13 speed was -- or the mandated speed was?

14 A. You could put -- you would have to put a section break
15 in there or a cab signal code change point that would be permanent
16 approaching that would have to be below that speed of that curve
17 for it to enforce.

18 Q. So it's doable?

19 A. Possible, yes.

20 Q. And the last thing I have, if I could. Your
21 qualifications being the senior road foreman, how long have you
22 been with Amtrak?

23 A. I've been with Amtrak 20 years. I started off in the
24 mechanical department, hired as a locomotive engineer. Worked as
25 a locomotive engineer between Washington and New York and

1 Philadelphia and Harrisburg. Hired as a road foreman. Worked as
2 a road foreman in Philadelphia and Wilmington. Hired as Assistant
3 System General Road Foreman, worked as Assistant System General
4 Road Foreman for 5 years. Became the System General Road Foreman
5 in 2010, and I've been in this position since then.

6 Q. And how long as a locomotive engineer, performing?

7 A. Since 1998.

8 Q. To -- up to?

9 A. Till 2003.

10 Q. '98 to 2003. And you -- were you at any time as a
11 locomotive engineer qualified on this territory of the accident
12 site?

13 A. This was a territory I operated over.

14 Q. Thank you. That's all I have. I appreciate it.

15 MR. MRUK: Edward Mruk. I have no additional questions.

16 MR. BULL: Mike Bull. No questions.

17 DR. JENNER: Steve Jenner.

18 BY DR. JENNER:

19 Q. We had talked earlier about when someone is entering a
20 territory portion with ACSES that they do get an audio and visual
21 cue.

22 A. Uh-huh.

23 Q. What happens when they exit an area with ACSES? Are
24 there any cues that way?

25 A. There is an audible alarm that -- when you leave the

1 ACSES territory that you have to acknowledge.

2 Q. Okay. If you know, or as detailed as you know, the
3 maximum authorized speed approaching the curve was 80 miles per
4 hour. Do you know the distance of that 80 miles per hour? How
5 many miles was it authorized for 80 miles per hour before it
6 turned to 50?

7 A. It was -- it's between North -- actually, Clearfield
8 interlocking. And I'd have to look at the timetable to give you
9 exact distance. But between Clearfield and Shore is 80. But
10 there's a curve within that, that is -- that requires 65 miles per
11 hour. It's fairly close to Shore, so you would never have gotten
12 up to 80 just so -- most engineers just go in at 60 --

13 Q. Okay.

14 A. -- and not brake, so -- that distance -- Shore
15 interlocking is 82, roughly 82.1, and Clearfield I'll tell you if
16 you can give me one minute.

17 Q. Sure.

18 A. Clearfield is 84.5, Shore is 82.1, and the curve was
19 just east of Shore interlocking.

20 Q. I'm sorry, Shore is --

21 A. 82.1.

22 Q. And Clearfield is 82 --

23 A. 84.5.

24 Q. 84. What are we calling the point of the -- the
25 milepost of the point of the derailment? I'll ask it -- do you

1 have a determination of that?

2 A. No, I don't know what -- they actually didn't say. They
3 just gave GPS coordinates yesterday.

4 Q. Right. Okay. Do you have an approximate location?

5 A. I think I would say it's around 81.4.

6 Q. Well, we'll just call that approximate for now. Okay.
7 I think that's all the questions I have. Thank you.

8 MR. BUCHER: Okay. Dave Bucher, and I just have one
9 more.

10 BY MR. BUCHER:

11 Q. And if you could, could you just give -- run through a
12 scenario as you ran -- you would run a train approaching the
13 accident site? And how would you operate a train with -- knowing
14 that you have to control the speed through the area.

15 A. Uh-huh.

16 Q. And your experience as a road -- general road foreman
17 and a past engineer, how would you operate a train through the
18 area?

19 A. I'll give you between Clearfield and Shore.

20 Q. Thank you.

21 A. Leaving Clearfield, you're going to -- for me, I'm just
22 going to get the train up to 65. There's a curve right there.
23 Through the curve, and as I come out of the curve you're going to
24 raise your track speed up to 80. I'm going to operate up to 80.
25 Approaching Shore, there's a big -- a red bridge for the elevated

1 subway. And that's just a cue for me, as an engineer -- a cue for
2 me, okay, get ready to put the brake on. I normally brake for
3 that 50, west of Shore interlocking. And that gives you plenty of
4 time to be down to 50 at the curve.

5 Q. Okay. And you're actually -- you've got the brake
6 applied as you approach -- you approach Shore interlocking --

7 A. Uh-huh.

8 Q. -- you start to brake. And the brake is already applied
9 as you go through the interlocking and then enter the curve?

10 A. Well, actually, it would be releasing before you enter
11 the curve.

12 Q. Okay. You've made your brake application and then
13 you're down --

14 A. Uh-huh.

15 Q. -- and you release the brake and let it roll through the
16 curve?

17 A. Yeah.

18 Q. Okay. Thank you. That's all I have.

19 MR. BATES: William Bates. No questions.

20 MR. NICHOLS: Dave Nichols. No questions.

21 MR. FIELDS: Carl Fields, BLET.

22 BY MR. FIELDS:

23 Q. Just one, and -- is it 50 miles an hour for head end
24 only or for the entire train set?

25 A. It's for the train, the entire train.

1 Q. Okay. Thank you. That's all I have.

2 MR. MRUK: Edward Mruk. No questions.

3 MR. BULL: Mike Bull. No questions.

4 DR. JENNER: Steve Jenner. No questions.

5 MR. BUCHER: Okay. Dave Bucher. And this concludes the
6 interview of Mr. John Hines.

7 (Whereupon, the interview was concluded.)

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF: AMTRAK TRAIN 188 DERAILMENT NEAR
 PHILADELPHIA, PENNSYLVANIA
 MAY 12, 2015
 Interview of John Hines

DOCKET NUMBER: DCA-15-MR-010

PLACE: Philadelphia, PA

DATE: May 13, 2015

was held according to the record, and that this is the original,
complete, true and accurate transcript which has been transcribed
to the best of my skill and ability.

Jane W. Gilliam
Transcriber