

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

\* \* \* \* \*

Investigation of:

\*  
\*  
\*  
\*  
\*

HOUSE EXPLOSION IN FIRESTONE,  
COLORADO, APRIL 17, 2017

\* Accident No.: DCA17FP005

\* \* \* \* \*

Interview of: CARRIE HORTON

Anadarko Petroleum Corporation  
501 North Division Boulevard  
Platteville, Colorado

Wednesday,  
July 26, 2017

## APPEARANCES:

RAVI CHHATRE, Investigator in Charge  
National Transportation Safety Board

MATTHEW MCKENZIE, Attorney  
National Transportation Safety Board

GBENGA AJIBOYE, General Engineer  
Pipeline and Hazardous Materials Safety Administration  
(PHMSA)

MICHAEL LEONARD, Quality Assurance Professional  
Colorado Oil & Gas Conservation Commission

DAVID McBRIDE, Vice President of Health, Safety &  
Environment  
Anadarko Petroleum Corporation

SEAN URVAN, Senior Counsel  
Anadarko Petroleum Corporation  
(On behalf of Ms. Horton)

<u>ITEM</u>	<u>I N D E X</u>	<u>PAGE</u>
Interview of Carrie Horton:		
By Mr. Chhatre		6
By Mr. Leonard		9
By Mr. Ajiboye		13

I N T E R V I E W

1  
2 MR. CHHATRE: Good afternoon. Today is Wednesday, July 26,  
3 2017. We are currently at Anadarko Petroleum Corporation's  
4 building located at 501 North Division Boulevard, Platteville,  
5 Colorado. We are meeting regarding the investigation of explosion  
6 of house located at 6312 Twilight Avenue, Firestone, Colorado that  
7 occurred on April 17, 2017.

8 My name is Ravi Chhatre. I am with the National  
9 Transportation Safety Board in Washington, D.C., and I am  
10 investigator in charge of this accident. The NTSB investigation  
11 number for this accident is DCA17FP005.

12 I would like to start by notifying everyone present in this  
13 room that we are recording this interview and we may transcribe it  
14 at a later date. Transcripts will be provided directly to the  
15 interviewee for review and identifying any typographical errors.  
16 The transcripts may be posted in the NTSB's public docket.

17 Also, I would like to inform Ms. Carrie Horton --

18 MS. HORTON: Um-hum.

19 MR. CHHATRE: -- that you are permitted to have one other  
20 person present with you during the interview. This is a person of  
21 your choice -- your supervisor, friend, family member or, if you  
22 choose, no one at all. Please state for the record your full  
23 name, spelling of your name, organization you work for and your  
24 title, business contact information such as mailing address,  
25 email, and whom you have chosen to be with you this afternoon.

1 MS. HORTON: Okay. Carrie Horton, C-A-R-R-I-E, H-O-R-T-O-N.  
2 I'm with Anadarko. My title -- my current title is vice president  
3 of the DJ Basin. Sean Urvan's here with me today. What am I  
4 missing?

5 MR. CHHATRE: Business contact information.

6 MR. URVAN: Phone number, email.

7 MS. HORTON: Oh, okay. My phone number at the office is 720-  
8 929-6619, and that office is located at 1099 18th Street in  
9 Denver.

10 MR. CHHATRE: Thank you very much.

11 Now I would like to go around and have each person introduce  
12 yourselves. Please state your name, spelling off your name, your  
13 title and the organization that you represent, starting from my  
14 left.

15 MR. AJIBOYE: My name is Gbenga Ajiboye, G-B-E-N-G-A, A-J-I-  
16 B-O-Y-E. I'm a general engineer with Office of Pipeline Safety,  
17 PHMSA, the Western Region. My contact number is 303-898-2898.  
18 And my phone -- my email address will be my first name, dot, last  
19 @dot.gov.

20 MR. McBRIDE: David McBride. I'm vice president of Health,  
21 Safety & Environment for Anadarko Petroleum Corporation. My  
22 contact number is 832-636-4896. Physical address is 1201 Lake  
23 Robbins Drive, The Woodlands, Texas 77380, and my email address is  
24 david.mcBride -- M-C-B-R-I-D-E -- @anadarko.com.

25 MR. URVAN: My name is Sean Urvan. I'm senior counsel with

1 Anadarko Petroleum Corporation. Sean is spelled S-E-A-N; Urvan is  
2 spelled U-R-V-A-N. Email is sean.urvan@anadarko.com. Phone  
3 number 832-636-1664.

4 MR. LEONARD: Mike Leonard. That's M-I-K-E, L-E-O-N-A-R-D.  
5 I'm the Quality Assurance Professional for the Colorado Oil & Gas  
6 Conservation Commission. Cell phone number: 719-343-0130. Email  
7 address: first name dot last name @state.co.us.

8 MR. MCKENZIE: My name's Matt McKenzie, attorney with the  
9 NTSB, Office of General Counsel Headquarters, located at 490  
10 L'Enfant Plaza, S.W., Washington, D.C. 20594. Email is  
11 matthew.mckenzie -- M-A-T-T-H-E-W dot M-C-K-E-N-Z-I-E --  
12 @ntsb.gov. Phone's 202-314-6630.

13 MR. CHHATRE: Thank you.

14 INTERVIEW OF CARRIE HORTON

15 BY MR. CHHATRE:

16 Q. For the record, Ms. Horton, just tell us your education  
17 background, experience, tenure with Anadarko.

18 A. Okay. I have a bachelor's degree from Miami University in  
19 Ohio; that degree is a bachelor of arts in geology, and a master's  
20 in science from Duke University, also, in geology. I was  
21 recruited out of Duke by Anadarko and started there right after  
22 school in the year 2000. And so I've been at Anadarko for 17  
23 years; first as a working geologist, and since then I've served in  
24 different roles in leadership and management, including business  
25 development, so acquisition and divestitures and other things of

1 that nature.

2 Q. Thank you. I'm just going to go back to -- I got the well  
3 swab with Noble.

4 A. Uh-huh.

5 Q. Were you involved in that process?

6 A. I was not.

7 Q. You were not. So the responsibility of the vice president of  
8 DJ Basin, tell me what are your responsibilities.

9 A. Okay. Well, first, it's probably important to note that I've  
10 been serving in this role for 4 weeks, I think.

11 Q. Okay.

12 A. So I was working the DJ prior, but as the execution and  
13 development manager. And then got elevated to this role, like I  
14 said, in that time frame. And so as vice president, this role has  
15 expanded into not only just the development and execution, but  
16 also I have land operations, drilling and completions, regulatory.  
17 Basically all aspects of managing the assets, other than those  
18 that kind of stay outside of our structure in the business unit,  
19 which would be HSE, IT, some other things like that. But other  
20 than that, my responsibility is for almost anyone working in the  
21 DJ Basin.

22 Q. Okay. So as a division manager, I guess, was that previous?

23 A. Development manager.

24 Q. Development manager. Okay. What was the responsibilities  
25 there?

1 A. So that team was mostly geologists and engineers, as well as  
2 what we call project services. So we were in charge of planning  
3 the -- like what we call campaigns. And so we divided up the  
4 field into kind of smaller development areas. And so the  
5 geologists and engineers plan out those campaigns, so plan the  
6 lateral links, plan surface locations, you know, of course,  
7 working with our land department on that. We also do all of the  
8 scheduling, so well constructions, the drilling completions,  
9 turning over to sales. We have a long-term planning group that  
10 works on both, you know, the short term within a year or two  
11 drilling schedule, the details behind that, and also longer term  
12 planning, working with midstream, others to make sure that we can  
13 execute on our plan.

14 Q. Okay. So does that include the training of the three  
15 technicians is a part of your operation? At a very low level, but  
16 is that a part of your operation, or it's not?

17 A. In the old role? The training for the geologists and  
18 engineers?

19 Q. No, the field operators.

20 A. Oh, no, no, it was not. Uh-huh.

21 Q. It wasn't. Okay. So I guess you're only vice president 4  
22 months. But as a manager -- after the swab in the well in  
23 question or the -- I don't know the name -- Coors V6-14Ji.

24 A. Uh-huh.

25 Q. Would that be in your umbrella?



1 A. I was not working the DJ at the time of the swab, but once I  
2 got into the DJ role, planning for the P&As -- or we call vertical  
3 well prep, or P&A, that process would have fallen under my team.  
4 But that -- like I said, I wasn't involved in the swab.

5 Q. In the swab at all.

6 A. Yeah. I was working at a different asset at the time.

7 Q. At the time. Okay.

8 BY MR. LEONARD:

9 Q. This is Mike Leonard. Just for clarification, could you  
10 explain P&A?

11 A. Uh-huh.

12 Q. I understand.

13 A. Okay, gotcha.

14 Q. It's another acronym --

15 A. Gotcha.

16 Q. -- we use in the field?

17 A. Yep. So -- and I'll go a little further into the process.  
18 My team -- a big part of what my old team did was, as we come in  
19 with the horizontal program, part of that team's responsibility is  
20 to look at any vertical wells that are in the vicinity of the  
21 horizontal program and identify those to the field ops, which was  
22 not in my team but my team worked with them on whether to plug and  
23 abandon the well permanently -- so that's the P&A acronym -- or to  
24 temporarily abandon, or what we call safety prep. And so at that  
25 time, my team would work with both the field and reservoir

1 engineering to determine whether that well had enough remaining  
2 reserves to decide to either temporarily and safely plug it -- or  
3 abandon it temporarily or permanently plug it. So that was part  
4 of that workflow.

5 BY MR. CHHATRE:

6 Q. So, again, P&A stands for?

7 A. Plug and abandon.

8 Q. Plug and abandon.

9 A. Uh-huh.

10 Q. Okay. So that was how often you had to look at the well  
11 data? Is that part of your umbrella to make that decision?

12 A. Uh-huh, yep. So basically that's part of the process when we  
13 plan any horizontal well, is to look at the radius around those  
14 wells, like I said, identify any old vertical wells that are in --  
15 that would be, you know, within the horizontal program. Work with  
16 the field engineers, would be the ones that would actually look at  
17 the state of the well bore; you know, has it been plugged in the  
18 past, was it plugged properly. If it's an active well, then that  
19 would go to the reservoir engineering team to do the analysis on  
20 how to prepare that well prior to the horizontal program.

21 Q. And that would be a part of your umbrella also?

22 A. Uh-huh.

23 Q. If you can tell us a little bit more on your approach to  
24 different -- recently, Anadarko decided to permanently shut down a  
25 lot of wells?

1 A. We plug and abandon -- historically, we plug and abandon  
2 around 300 wells per year of the --

3 Q. Permanently?

4 A. Yeah -- of the old vertical program. This year, we're going  
5 to -- our goal is to do around 700. So that will be greatly  
6 accelerated from years past. That was in -- that was determined  
7 -- well, I can't, I can't remember when we came up with the 700  
8 number, so I don't want to misstate. But we did want to start  
9 doing more per year just because the prep it takes to get ahead of  
10 the current development program, and the volume that produces out  
11 of our vertical program now is very, very much smaller than our  
12 horizontal program. And so the goal is to safely plug and abandon  
13 those wells to focus on the horizontal.

14 Q. So slowly, essentially the --

15 A. Yeah.

16 Q. -- so they can plug all the verticals and only focus on  
17 horizontal wells?

18 A. Well, we've never given a full mandate like, you know, let's  
19 just plug all of them, but I would say as more time has gone on,  
20 we err on the side of going ahead and safely plugging.

21 Q. Is there a technical reason for why the vertical wells have  
22 been, I guess, focused on plugging?

23 A. Just that the volumes that they produce are much, much  
24 smaller. They also have -- they're older wells, lots of different  
25 vintages of whether it be prior operator or, you know, how the

1 well -- there's also different formations that the field has  
2 produced from. And so it's a mixture between, you know, like I  
3 said, in terms of the value of the field that's getting less and  
4 less as a percent of the value, and also less of a percent of the  
5 production. And then also, just wanting to ensure that those  
6 wells are safely P&A'd as we proceed with the horizontal program.

7 Q. And does that have to do with anything with emissions with  
8 the horizontal wells? Emissions are less, vertical well emissions  
9 -- I do not know. That's why I'm asking.

10 A. Yeah, yeah. Well, I wouldn't say that's like a leading  
11 cause, but we, for sure, just -- and because they're older, there  
12 are different challenges on the safety and environmental side on  
13 that vintage of wells than our newer wells, just with technology  
14 and other things.

15 Q. So it's like older wells produce a lot more liquids than the  
16 gas (indiscernible) --

17 A. Not necessarily.

18 Q. Not necessarily.

19 A. Not necessarily. Just, you know, cementing practices over  
20 time. Those wells could have come from a different operator, you  
21 know, as I'm sure you're aware. And so I think we just err on the  
22 side of we would like to do it right and plug it versus -- than,  
23 you know, if we only temporarily abandon it, then we're going to  
24 have to get back on that well someday anyway, and so the value is  
25 usually pretty borderline.

1 Q. And do you remember if this well in question, 14JI --

2 A. Uh-huh.

3 Q. -- was that slated to be shut down eventually or because of  
4 production, or it just happened to shut down after the accident?

5 A. Yeah. I don't know if we had ever done the P&A -- I don't  
6 know if we had done the P&A analysis. I don't --

7 Q. Not aware. Okay.

8 A. I'm not aware of that.

9 MR. CHHATRE: Okay. And that's all I have. Thank you.

10 BY MR. AJIBOYE:

11 Q. This is Gbenga. Quick question on a -- because you say you  
12 were not (indiscernible) --

13 A. Uh-huh.

14 Q. And we've heard so much about issue with mineral rights. And  
15 what we have heard a lot is of those wells are still producing,  
16 what those mineral rights hold.

17 A. Hold the leasing on.

18 Q. Right. These things that going to the study of the P&A or --

19 A. Yes, that is another critical factor, you're right. I didn't  
20 mention that. So if it's a -- what we call a lease holding  
21 vertical well, that might be treated differently than if it was  
22 just a P&A that had -- or a vertical well that had other wells  
23 holding that lease.

24 Q. Okay. Then the other thing I would like you to elaborate on  
25 is, you say you also work with Anadarko in geology.

1 A. Uh-huh.

2 Q. Can you touch more into your specific duty as geology and  
3 specifically does a lot more -- I want you to more focus on what's  
4 being produced in the well. If you have ever really worked on any  
5 kind of analyses of different components of what's being produced  
6 and the soil information.

7 A. Right.

8 Q. So can you just --

9 A. Well, I've never worked as a geologist in this basin. So I  
10 started my career in Houston, and so all the years that I actually  
11 did the technical work, I was working either Gulf of Mexico or  
12 East Texas or North Louisiana. So I'm --

13 Q. Yeah, it doesn't matter where --

14 A. Yeah, yeah.

15 Q. -- the experience comes from. I just to learn more --

16 A. Right, right. Currently, and just redirect me if I'm not  
17 answering your question, we have two different teams that have a  
18 lot of -- that are doing a lot of the geology and the technical  
19 work. One is reservoir characterization. So they do a lot of --  
20 they take, basically, the well -- the route properties and model  
21 them in terms of how much drainage are we going to get; you know,  
22 how much oil and gas are they going to produce; what is that in  
23 terms of recovery factor. They make lots and lots and lots of  
24 maps. And basically, advise where are the sweet spots of the  
25 field.

1           And then the op -- what we call the operations geologists,  
2 they both plan the well bores, and using those maps and all that  
3 data, decide where we should go next and what are the most  
4 geologically attractive areas. And then we have geo steerers.  
5 And so what they do is they get the data and guide the drillers to  
6 stay in formation. We have certain parts of the Niobrara and the  
7 Codell that we target, and some of them can be as thin as 10 feet.  
8 And what they do is get the data basically on a 24/7 basis and  
9 make sure we're still in the formation that we would like to be.

10 Q.   So let me put this more on a focused, narrow level. Now you,  
11 in your experience, is in what another part is producing. Can you  
12 tell us about like, something like yellow gas, about any gas  
13 triggers?

14 A.   Oh, oh.

15 Q.   For practice of maintaining --

16 A.   Right.

17 Q.   -- propane and, you know, how would -- if those are coming  
18 from your well, how would they --

19 A.   You know, I don't know how much I can talk about that  
20 intelligently in terms of my experience. You know, we do sample  
21 -- we do take samples of the gas to determine, you know, where  
22 it's coming from and in terms of even within the formation that  
23 we're targeting that we get high grade and we -- a big part of  
24 what makes this field where it is, is that it's hotter than a lot  
25 of the other areas in the --

1 Q. You're talking about this particular DJ Basin?

2 A. Yeah, yeah. So we do things called, like vitrinite  
3 reflectance, and see how mature the gas is to find those sweet  
4 spots, but I can't talk much about the difference between  
5 methanogenic and biogenic and what we've found out here.

6 MR. AJIBOYE: Okay. That will be the end my questions.

7 UNIDENTIFIED SPEAKER: I have no questions.

8 UNIDENTIFIED SPEAKER: No questions.

9 MR. CHHATRE: Do you have any questions?

10 UNIDENTIFIED SPEAKER: No, I'm good.

11 MR. CHHATRE: Okay. If not, thank you so much.

12 MS. HORTON: Oh, thank you.

13 MR. CHHATRE: I appreciate it.

14 MS. HORTON: Thank you.

15 MR. CHHATRE: Appreciate it.

16 (Whereupon, the interview was concluded.)

17

18

19

20

21

22

23

24

25



CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD


IN THE MATTER OF:           HOUSE EXPLOSION IN FIRESTONE,  
  COLORADO, APRIL 17, 2017  
  Interview of Carrie Horton

ACCIDENT NO.:                DCA17FP005

PLACE:                         Platteville, Colorado

DATE:                         July 26, 2017

was held according to the record, and that this is the original,  
complete, true and accurate transcript which has been transcribed  
to the best of my skill and ability.



---

Barbara Phelps  
Transcriber