

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

\* \* \* \* \*

Investigation of:

\*  
\*  
\*  
\*  
\*  
\*  
\*

AIR METHODS CORPORATION  
LIFENET HELICOPTER ACCIDENT  
AUGUST 26, 2011  
NEAR MOSBY, MISSOURI

Docket No.: CEN11FA599

\* \* \* \* \*

Interview of: JAY WATSON

Kansas City, Missouri

Thursday,  
September 15, 2011

The above-captioned matter convened, pursuant to notice.

BEFORE: JIM SILLIMAN  
Accident Investigator

-----  
-----

APPEARANCES:

JIM SILLIMAN  
 Accident Investigator  
 -----fety Board  
 -----  
 -----  
 -----  
 -----

MALCOLM BRENNER  
 Senior Human Performance Investigator  
 National Transportation Safety Board  
 -----  
 -----  
 -----  
 --

MR. COX  
 (Counsel on behalf of Mr. Watson)

-----  
 -----

I N D E X

<u>ITEM</u>		<u>PAGE</u>
Interview of Jay Watson:		
Mr. Silliman		4
Mr. Brenner		16
Mr. Silliman		38
Mr. Brenner		49
Mr. Silliman		50

1 I N T E R V I E W

2 MR. SILLIMAN: Well, thank you, Mr. Watson, for coming  
3 in and doing the interview for the accident. My name is Jim  
4 Silliman.

5 MR. BRENNER: Malcolm Brenner. Are you aware you're  
6 being recorded now?

7 MR. WATSON: Yes, sir, I am.

8 MR. BRENNER: And I understand you've chosen to have  
9 counsel with you; is that correct?

10 MR. WATSON: I have, sir.

11 MR. BRENNER: Mr. Cox here.

12 INTERVIEW OF JAY WATSON

13 BY MR. SILLIMAN:

14 Q. And could you state your name?

15 A. Jay Watson.

16 Q. Okay. Well, I'll go through a bunch of questions here,  
17 you know, kind of relating to the training and just kind of the  
18 basic information concerning the accident -- or, actually, the  
19 training that you were doing the night before the accident and  
20 then some other questions about your experience with the pilot  
21 himself.

22 First of all, please give us your aviation background,  
23 your name, your aviation certificates held.

24 A. Jay Watson, commercial pilot, helicopter and instrument  
25 rating.

1 Q. What position do you hold at Air Methods?

2 A. Certificate compliance evaluator, usually abbreviated  
3 CCE.

4 Q. What was your last training event that you conducted?

5 A. I was training yesterday, or do you mean prior to the  
6 accident, sir?

7 Q. Prior to the accident.

8 A. Starting the Thursday evening before, I was doing  
9 night vision goggle training on one of the company pilots, his  
10 initial NVG qualification training.

11 Q. And that pilot was?

12 A. Andy Worley.

13 Q. And we'll talk to him later on. What is your experience  
14 in the AS350 aircraft?

15 A. I've flown it from July of 1998 until present.

16 Q. And is that just in the B2, the B3?

17 A. I've flown B's and BA's and B2s and B2 VEMDs.

18 Q. And how many total flight hours do you have?

19 A. Approximately 3500.

20 Q. And how many of those in the AS350 series helicopter?

21 A. I would estimate around 12- to 1300.

22 Q. Twelve to 1300 hours in the B -- or the 350s?

23 A. Yes, sir.

24 Q. What was your experience, you know, your experience like  
25 getting into helicopters? Was it through the military initially

1 or --

2 A. Yes, sir, the Army.

3 Q. Maybe you can just kind of expound on your Army  
4 experience and when that was.

5 A. I joined the Army in July of 1988, high school to flight  
6 school, through the warrant officer flight training program. Went  
7 through flight school and was immediately put into CH47  
8 helicopters. I served active duty until July of '96 and continued  
9 in the Reserves through present day, flying Chinooks. I will say  
10 since -- it's either January or February of 2004, I have not  
11 actually flown. I've been in the Individual Ready Reserve.

12 Q. Okay. And when did you come to -- well, when were you  
13 employed with Air Methods?

14 A. January 5th, 1998, is when I was hired by Rocky Mountain  
15 Helicopters, and then Air Methods acquired Rocky Mountain.

16 Q. Okay. And was Rocky Mountain Helicopter your first EMS  
17 experience?

18 A. It was.

19 Q. So, it was your first EMS employer. And do you remember  
20 the year that Air Methods picked up Rocky Mountain? It's not that  
21 important, of course, but --

22 A. 2003.

23 Q. How long did you fly the line, so to speak, flying EMS  
24 before you went to Colorado on the corporate staff?

25 A. Until December of '09.

1 Q. And were you flying AStars or were there other aircraft  
2 that you flew mostly?

3 A. The first 6 months of my employment I flew BK-117s and  
4 then was transferred to AStars.

5 Q. Did they get rid of their 117s or something?

6 A. Yes. That aircraft was moved to another base and they  
7 had our base transitioned to an AStar.

8 Q. Yeah. Kind of going back to the more recent history  
9 here with the accident, when was the last time that you flew the  
10 accident aircraft, which was "N" number 352LN?

11 A. It would've been that morning, that Friday morning after  
12 midnight. Honestly, sir, I can't remember the exact times, but it  
13 was approximately, say, 1 to 3 a.m.

14 Q. Okay.

15 A. And I flew slightly over 2 hours, but I don't remember  
16 the exact time.

17 Q. And was that the flight that you were flying with  
18 Mr. Worley on night vision goggles?

19 A. Yes, sir.

20 Q. So after -- and how long did you fly in that, about, for  
21 that --

22 A. Well, I flew that Thursday night.

23 Q. Okay.

24 A. Okay, after dark. And then we stopped, completed the  
25 paperwork, as the new day started at midnight, and then took off

1 again. I don't recall a total time.

2 Q. Was there anything abnormal about the aircraft? Was  
3 there anything wrong with the aircraft?

4 A. No, not that night.

5 Q. How many days were you flying that helicopter N35LN  
6 [sic] during your -- while you were at St. Joe?

7 A. I started flying Monday night, did not fly very long  
8 Monday night before I had a maintenance problem. I ceased  
9 training, wrote up the maintenance problem. It was fixed. I flew  
10 again for a short while Tuesday night before a related but  
11 separate maintenance problem occurred. I ceased training, wrote  
12 up the discrepancy, and it was fixed, and started training again  
13 Wednesday evening.

14 Q. And what was the maintenance gripe?

15 A. On Monday night as we were conducting a confined-area  
16 type approach, the NG indicator just went to zero, gave no  
17 indication.

18 Q. Okay.

19 A. So, we ceased training and wrote it up. On Tuesday  
20 night the -- it worked fine for approximately an hour. As soon as  
21 I saw it, we ceased training. But Tuesday night towards the end  
22 of that flight, the last minute or two, it started -- the NG  
23 indicator started varying up and down, like it was kind of  
24 erratic.

25 Q. So, you ceased flying then?



1 A. Yes.

2 Q. And then Wednesday night, then, you flew for training  
3 there. What happened that night?

4 A. Mr. Silliman, I honestly can't remember. I did an  
5 NVG -- or a AS350 ground school in the afternoon, and I can't  
6 remember if it was Wednesday or Thursday.

7 Q. Okay.

8 A. And then started conducting Mr. Worley's NVG  
9 qualification training.

10 Q. And that was on Thursday night?

11 A. I started -- well, started him on Wednesday and  
12 Thursday. Wednesday night prior -- the first flight I did  
13 Wednesday night was with Jack Keenan of the FAA.

14 Q. Okay.

15 A. We flew about 2 hours. And then after, came back, did  
16 all the associated paperwork and all that. That's when I started  
17 with Mr. Worley.

18 Q. Okay.

19 A. I think I also flew a gentleman for 1 hour of  
20 off-cycle training, the training in between his check rides,  
21 usually about 6 months out. I think I flew him after Jack and  
22 then started Andy Worley's NVG qualification.

23 Q. And then on Thursday night you flew with Worley again?

24 A. Yes, sir.

25 Q. When it was dark.

1           A.    And Thursday night it was only Mr. Worley.

2           Q.    Okay.  And then when it turned -- and after midnight,  
3 then, and it turned Friday morning, was that also Mr. Worley?

4           A.    Yes, sir.

5           Q.    After flying with Mr. Worley in the second flight did  
6 you notice or do you remember how much fuel was in the aircraft  
7 when you left it that night?

8           A.    Yes, sir.  It was at approximately 23, 24 percent.  In  
9 cruise flight that would amount to somewhere around 46, 48  
10 minutes.

11          Q.    When you landed, did you request any refueling for the  
12 helicopter?

13          A.    No, sir, I did not.

14          Q.    And why -- is that typical?

15          A.    No.  This bird was in training configuration.  The  
16 medical interior had been removed.  I knew it would take the  
17 mechanic a couple of hours to change it back into the medical  
18 mode.  And I considered that Mr. Freudenberg was a heavy pilot.  
19 AStars can have a CG issue, and I knew he would want to do his  
20 weight and balance and calculate exactly how much fuel he was  
21 going to have, should need, or should put on board based on him  
22 and his crew.  And I figured if I put too little in it, he'd have  
23 to call the fuel truck down anyway; and if I put too much in it,  
24 then he'd have to sit there running to try and burn it off.

25          Q.    And after landing did you remark about the fueling

1 situation to anybody, Mr. Worley or anybody else?

2 A. When we walked back into the pilots' quarters, I told  
3 the pilot that was on duty at that time, who would be briefing  
4 Mr. Freudenberg, that it would need gas. Yes.

5 Q. And do you remember who it was that you talked to?

6 A. Peter Pelayic.

7 Q. And he was the duty pilot for the -- p.m. duty pilot  
8 that night?

9 A. Yes.

10 Q. And the fuel gauge, if I remember right, with the  
11 percent of fuel, it's basically on the center panel?

12 A. On the instrument panel there's a row across the top,  
13 and it's usually up -- I think it's the third one over from the  
14 far right group of instruments.

15 Q. All right. And it was showing the 23 to 24 percent of  
16 fuel?

17 MR. COX: Answer out loud.

18 MR. WATSON: Sir?

19 MR. COX: You can't nod your head. You have to answer  
20 him out loud.

21 MR. WATSON: Yes, sir.

22 BY MR. SILLIMAN:

23 Q. Thank you. I want to talk a little bit about  
24 autorotations. You're a training pilot at Air Methods. How do  
25 you conduct simulated engine failures in the AS350 B2 series

1 aircraft, especially this particular aircraft?

2 A. Per our pilot training program, which is approved by the  
3 FAA, in the B2 model -- B's, BA's, and B2s -- the throttle is on  
4 the floor. So, the autorotations are trained and conducted  
5 without removing the throttle or, as it's designated, the fuel  
6 flow control lever, out of the flight gate. It stays in the  
7 flight gate.

8 Simulating an engine failure, sometimes the instructors  
9 may allow the person being trained to choose where they enter an  
10 autorotation, sometimes they may. But to know -- you know, we do  
11 a brief about exactly what's going to take place before we do it.  
12 All right? But then we may also set him up on a pattern and tell  
13 him, yes, at this time around I'm going to tell you where your  
14 engine fails because in real life you don't get to choose where  
15 your engine fails. That way we can check to see if they respond  
16 appropriately to meet the standard of making their spot, plus or  
17 minus 100 feet.

18 When the maneuver is initiated, the pilots simply lower  
19 the collective. The fuel is not -- the fuel flow is not cut off  
20 or reduced to idle as it is in other aircraft.

21 Q. What training or checking have you conducted with  
22 Mr. Freudenberg?

23 A. As I recall, it was March or April of 2010 I did his  
24 initial qualification, aircraft and NVG qualification training  
25 together at that time. And then around the same time of 2011, I

1 did a recurrent training flight and check ride or evaluation  
2 flight with him.

3 Q. Do you remember, you know, what -- if you had any  
4 concerns, or did Mr. -- did he, you know, exhibit any weak areas  
5 or --

6 A. You know, he presented himself -- and I can only go on  
7 what I see when I'm with them. He was very competent, very safe.  
8 He knew his business. He knew his material. And that's what I  
9 saw when I worked with him.

10 Q. Did you conduct a simulated engine failure with him  
11 during his training?

12 A. Yes.

13 Q. And were they power recovery?

14 A. Yes, sir, they are to a power recovery.

15 Q. Now, do they -- do you leave the -- in the autorotations  
16 that you practiced with him, were they in the fuel -- did the fuel  
17 flow control lever stay in the flight gate during that?

18 A. Yes, sir, it did.

19 Q. So --

20 A. I'm not allowed to pull it out of the flight gate per  
21 our pilot training program. For instance -- now, I have never  
22 flown a B3, but I've read the pilot training program that -- the  
23 B3 is the ones with a twist grip. They can roll the throttle off  
24 to -- or, not off, but down to idle. I've not experienced that  
25 myself, nor have I done it.

1 Q. I guess you would've done that, something similar, in  
2 your Army training?

3 A. Not since my initial flight training in UH1's, and that  
4 would've been in 1988, '89. In Chinook training we never did  
5 autorotations. The Army didn't do autorotations for twin-engine  
6 aircraft, because they considered it such a remote possibility it  
7 wasn't worth the risk of damaging aircraft.

8 Q. Would that have been true for Mr. Freudenberg also since  
9 he flew -- I think it was Apaches?

10 A. Apaches are 60s.

11 Q. 60s or --

12 A. Again, when I was active, up until 2003, the policy for  
13 the Army was no; the twin-engine aircraft did not. After 2003, I  
14 cannot speculate.

15 Q. So, Mr. Freudenberg has never experienced doing an  
16 autorotation with the fuel flow control lever at a flight  
17 idle/stop position; it's always been in the flight gate?

18 A. He was -- to my understanding -- well, yeah, he was  
19 qualified in B3s. Someone somewhere gave him training in AS350 B3  
20 models.

21 It is possible the B3 that he flew may have had a twist-  
22 grip throttle where they can -- because he transferred to Rapid  
23 City, South Dakota. The day of the accident was his first day  
24 back in St. Joe, Missouri filling in. He was filling in a shift.  
25 For his training for Rapid City, South Dakota it is possible he

1 may have experienced autorotations with a reduced fuel flow  
2 position, but I have no personal knowledge of that training.

3 Q. Okay. Have you ever had training where they -- where  
4 you take it out of the -- the fuel flow control lever and put it  
5 into the flight gate in a B2 aircraft?

6 A. You mean where it's reduced?

7 Q. Yes.

8 A. No, I have not. In cruise flight autorotations we do  
9 hovering autorotations training, and I've done that where it's  
10 reduced, but that's hovering auto from 3 feet.

11 Q. And what do they do with the fuel flow flight control  
12 lever there? Do they just put it into the off position, or --

13 A. They reduce the -- the instructor pulls the fuel flow  
14 control lever with his right hand. Keep in mind he's sitting in  
15 the left seat. He pulls that lever back towards the ground idle.  
16 There is not a detent for ground idle. You've got a flight detent  
17 and a stop detent. So, he has to gauge how far he pulls it back  
18 so he doesn't totally kill the engine.

19 Q. So, they're taking it to where --

20 A. To the ground. Basically to the ground idle area.

21 Q. All right. Even though there's no stop there?

22 A. Even though there's no stop. Now, it is fairly easy to  
23 find that area in the fuel quadrant. You put your thumb on the  
24 back edge -- or the front edge of the stop detent and pull that  
25 fuel flow control lever back until it about touches your thumb,

1 and it'll be real close.

2 Q. Okay. I've been told that it equates to somewhere  
3 around 67, 69 percent.

4 A. Sixty-seven to 70 percent NG.

5 Q. Okay. All right. You said that this was the first day  
6 back for the pilot. He had been up in Rapid City and that this  
7 was his first day back at St. Joe's to fly.

8 A. That was my understanding, sir.

9 Q. Okay. Did you see him that day?

10 A. On Friday?

11 Q. Yes.

12 A. No.

13 Q. When did you leave the base after the training?

14 A. I left the base approximately at quarter after 4,  
15 between 4 and 4:30 in the morning.

16 Q. Okay. Did Mr. Worley leave about the same time, then;  
17 do you know, or --

18 A. Yes, sir, I believe he did.

19 Q. So, then it would've been the duty pilot that would've  
20 stayed and the duty crew that would've still been there then?

21 A. Yes, sir.

22 MR. SILLIMAN: Malcolm, maybe you have some questions?

23 MR. BRENNER: Sure.

24 BY MR. BRENNER:

25 Q. Let's talk a little more about the accident pilot. You



1 said he was very competent, very safe in your training. Give me  
2 some examples.

3 A. Well, when I saw him, as far as flight maneuvers, I  
4 mean, he performed them -- well, you know, with some folks you may  
5 find during their training that they need pointers in this and  
6 that. He seemed to -- as far as -- I'm lacking the words. He  
7 could complete the maneuvers without a whole lot of pointers and  
8 me doing a whole lot of instruction, other than the initial  
9 instruction and briefings to tell him how the maneuver would go.  
10 When I conducted his oral evaluations, I didn't have to dig  
11 information out of him. I asked a question, he'd answer it  
12 satisfactory. I'm sorry, sir, I forgot the rest of the question.

13 Q. You said very competent and safe; he knew his business  
14 and his material. I just wanted you to flesh it out a little bit  
15 for us if you would.

16 A. He also -- you know, I've done this with -- I was a  
17 Chinook instructor pilot, too. And I try to teach everyone you  
18 need to see what the gauges are telling you.

19 As an example of his being safe, I'd -- unless my memory  
20 is wrong, you know, during his training I remember putting a hand  
21 over the engine oil pressure gauge and -- after he did a before-  
22 takeoff check. We're sitting on the ground. He did his before-  
23 takeoff check. I put my hand over the engine oil pressure gauge  
24 or something similar. "What did you see?" And he answered it.  
25 He had it right.

1           I didn't see -- when I trained him, I didn't see  
2 anything that told me he was incompetent or unsafe or made unwise  
3 decisions.

4           Q.    What was he like personally?

5           A.    I really didn't know him very well personally.  I mean,  
6 I'm the kind of guy, when he shows up -- I only got so much time  
7 with him, and I start right in on business.  And the only reason I  
8 knew about the Army stuff was because I asked, just in case his  
9 Army training might interfere or cause negative habit transfer.  
10 That's the only reason I knew about that.

11          Q.    Did it?

12          A.    No.

13          Q.    Did you ever meet him socially or outside of the --

14          A.    No.

15          Q.    No?

16          A.    No.

17          Q.    How was his attitude towards HEMS?

18               MR. COX:  Attitude towards what?

19               MR. BRENNER:  Towards this industry, the medical  
20 industry, HEMS industry.

21               MR. WATSON:  He seemed to be genuinely pleased to be  
22 here, enjoyed it.  I mean, when he'd show up for training, when he  
23 showed up for his check ride, he had a smile on his face.  He was,  
24 you know, happy to be doing it.

25               BY MR. BRENNER:

1 Q. I'm trying to understand the accident flight and how  
2 does a pilot -- how would he determine the fuel level for the  
3 first leg?

4 A. We train our pilots, you know, to use the cockpit  
5 checklist that's provided. On that it says to check your system  
6 instruments. The fuel gauge is in the row with the rest of the  
7 system instruments. As he scans across those instruments -- there  
8 are multiple checks in that before-takeoff check, but he is,  
9 through training and basic airmanship, to note what each gauge is  
10 telling him. So, yes, he should -- any pilot that we train is  
11 trained to actually see what the gauges tell you.

12 Q. Now, you said there would be a handoff briefing from the  
13 duty pilot from the night before; is that right? Or what is the  
14 procedure on that? Would that --

15 A. Yeah, there are supposed to be shift briefings.

16 Q. -- (indiscernible) there? Would that include fuel state  
17 or --

18 A. Yes, sir, it would.

19 Q. And how would that be? I mean, what would you expect in  
20 a handoff briefing?

21 A. When a pilot briefs the oncoming pilot where there's  
22 been no aircraft change, okay, they normally brief hours and  
23 minutes of fuel. In other words -- or percent. One pilot may  
24 tell the next pilot "you're sitting with X percent amount of  
25 fuel." With a bird that was not in service -- okay, I was not

1 there. I was not present, so I don't know. Because 352-Lima-  
2 November was not in service that morning I don't know if it was  
3 also discussed.

4 Q. Sure.

5 A. But it --

6 Q. Now, during the shift, if I understand, they did change  
7 the aircraft.

8 A. Yes, sir.

9 Q. What are the procedures for that, especially regarding  
10 fuel status? What does the pilot do?

11 A. Well, as far as procedures for changing it out, I'd have  
12 to defer that, you know, to the maintenance guy. But they have --  
13 I mean, there's maintenance and write-ups, and you have to make  
14 changes in the aircraft flight manual for the weight and balance  
15 changes. And when the mechanic is done, the pilot -- in any  
16 general situation, the pilot is going to preflight that aircraft  
17 as it becomes available for medical service.

18 Q. I'm an old Cessna pilot, so, excuse me if --

19 A. Okay.

20 A. Do you get down and actually physically check the fuel  
21 level? Do you actually -- or do you -- what do you --

22 A. There's no way to visually see the fuel in the tank. We  
23 do a fuel quantity -- or a quality check, you know, a fuel sample.

24 Q. Yeah.

25 A. As far as physically seeing the fuel in the tank, it's

1 enclosed.

2 Q. Okay. I got it. I'm sorry --

3 A. Well, if it was absolutely full, you could see it --

4 Q. Just like a Cessna.

5 A. -- but we don't keep it full.

6 Q. Yeah, it's just like a Cessna. And ideally, in the best  
7 -- what level would a pilot normally fill it to? When you just a  
8 get new bird, to be ready, what would be the proper amount?

9 A. They would fill it to the point that they were within  
10 their weight and balance and center of gravity limits. It is not  
11 written down anywhere that I am aware of that they have to keep it  
12 at any certain level. As a matter of routine practice, most bases  
13 try to keep their AStars between a certain range of fuel so it's  
14 most accommodating for all the pilots. When you have -- for  
15 instance, I worked in Olathe, Kansas. I weighed -- at that time I  
16 weighed 165 pounds. I could put on a whole lot more gas than the  
17 240-pound pilot that relieved me most nights. So, I ended up  
18 usually going with a little less gas so that he didn't have to fly  
19 off 70 pounds of gas.

20 Q. Sure. Sure.

21 A. However, we had fuel available, and if I needed it, I  
22 could put it on before I left the base.

23 Q. Okay. And with Mr. Freudenberg, he's a heavier  
24 gentleman.

25 A. Yes, sir.

1 Q. What would you expect -- what would a typical fuel level  
2 be then?

3 A. Well, it would also depend on his med crew. I would  
4 think somewhere between -- you know, I'd hate to speculate on the  
5 amount.

6 Q. We'll get other people to fill that in. That'd be fine.

7 A. Okay.

8 Q. And, again, just for this industry, tell me the  
9 procedure for the pilot to accept a trip. You get a call in that  
10 the hospital is calling for support. How does he determine  
11 whether to accept it or not?

12 A. Well, he's got to -- keep in mind he's already -- our  
13 ops manual tells the pilot he is to preflight at the beginning of  
14 his shift, so that -- as far as the aircraft preflight, that  
15 should be done. Before he even starts that he has to sign in on  
16 the computer 411 system and get a flight release for that  
17 particular aircraft. Well, actually, got to sign in, duty-in, and  
18 then after he's preflighted, gets a flight release through that  
19 same computer system for that particular aircraft. Obviously,  
20 everybody checks weather immediately after they're done with all  
21 that. Just general, you know, keeping up with it as weather  
22 changes.

23 But when the call -- you know, this minute the call  
24 comes in. They start a process whereby they check weather, NOTAMs  
25 for that particular flight, and go to the map. Some bases I have

1 seen have a current map laying out flat. Some will have them  
2 posted on the wall. But due to the requirement in AO-21 of our  
3 operations specifications to note the highest obstacle along the  
4 route of flight, they've got a current map there. Usually, you  
5 know, the old thumbtack and a string. All right, here's my line.  
6 What obstacles do I have? So, they can note that highest  
7 obstacle.

8 I guess I left out one part, inadvertently. When the  
9 call comes in, usually all three crew members are aware. So, the  
10 med crew starts, you know, doing what they got to do to get out to  
11 the aircraft and be ready, and then the pilot starts his part.

12 Q. What do they know about the medical condition of the  
13 patient?

14 A. They don't. It's purposefully withheld from the pilot  
15 so he doesn't think that he needs to go based on patient  
16 condition.

17 Q. At what point does he learn about patient condition?

18 A. Once they have decided to accept the flight and they are  
19 en route to the first location, the pick-up point, they will call  
20 the communications center. In this case it would be AirCom. And  
21 usually it's the med crew who makes that call. A lot of times the  
22 pilots even turn that pin switch down on their radio so they don't  
23 hear it. And at that point the med crew or the med crew through  
24 the pilot will request a patient report. And that's usually a  
25 good 4 or 5 minutes into the flight.

1 Q. But if I understand it, is that company policy that  
2 they don't know the condition ahead of time or is that just  
3 traditional?

4 A. No, that's -- I'm trying to recall if it's -- I'm sure  
5 it's written down somewhere, but I can't speculate as to where.

6 Q. Don't speculate. I appreciate it. Does the pilot fill  
7 out a risk assessment form?

8 A. Yes, sir. I forgot that part, too. Yeah, and he's --  
9 you know, we've got the charts posted on the wall right there in  
10 the office, so he can do his risk assessment right there. And  
11 everybody keeps another one in the aircraft so that if they get a  
12 call while they happen to be somewhere else, they can re-evaluate,  
13 you know, in between each leg.

14 Q. Does the pilot have to consult with anyone else on the  
15 acceptance?

16 A. Could you clarify?

17 Q. Well, does he have to wake you up out of bed and say,  
18 "Hey, you're the instructor. What do you -- it looks good to me"  
19 or "it looks marginal to me," whatever, "What do you think?" Is  
20 there anything like that, or --

21 A. No. With the two-tiered operational control, he does --  
22 you know, the corporate portion of the operational control is  
23 handled through that 411 system. I mean, if that's --

24 Q. I guess that's what I'm -- I was just thinking there is  
25 some cases where if the risk assessment comes out high you're



1 supposed to call the OCC and get a confirmation. For example,  
2 that's a policy or potential policy. I was wondering what the  
3 company does.

4 A. The company leaves that to the discretion of the pilot.  
5 He is required to note his risk assessment in the remarks column  
6 of the daily flight log before he takes off and, in addition,  
7 relay that risk assessment code to the communications center upon  
8 liftoff, you know, give them fuel state -- several items upon  
9 liftoff.

10 Q. To what extent is the medical crew involved in the  
11 aviation activities?

12 A. They're really not.

13 Q. Oh, they have their own private rules (indiscernible) --

14 A. Yes.

15 Q. Okay. Is there a time limit or --

16 A. Well --

17 Q. -- I'm sorry?

18 A. Can I back up just a second?

19 Q. Please. Of course.

20 A. They do go through a crew member training program so  
21 they can assist in flight, but as far as preparation for getting  
22 off the ground, they're really not participants. Well, that's not  
23 right either. There's a briefing that you talk with the medical  
24 crew about before you go launching into the air, okay? You may  
25 discuss pertinent items, and some items may not be pertinent. If

1 weather is clear blue on 22, you may say "weather's good" and  
2 leave it at that.

3 Q. Yeah. Sure. Sure. Is there an ideal target time to  
4 depart?

5 A. No, sir.

6 Q. Number of minutes or anything? Is there anything?

7 A. No. And, as a matter of fact, our corporate leaders  
8 have put out memos and changed the operations manual to state time  
9 -- and I don't know exactly how it's worded, but you are not to  
10 rush into action. You will not let anybody force you off the  
11 ground in a hurry.

12 Q. How reliable are the fuel gauges? How trustworthy are  
13 they?

14 A. In my experience they've been very reliable. I have not  
15 flown them down to the point where the fuel light, the low fuel  
16 warning light comes on. And, actually, it's an advisory or a  
17 caution light. It's not red; it's yellow. I've not flown it down  
18 to where that light comes on but once or twice, and it came on  
19 about right where it's supposed to.

20 Q. Speaking as a layman now, I know in this case the pilot  
21 recognized by the time he got to the hospital that he was low on  
22 fuel or there'd been a mistake made and that the fuel was  
23 questioned. As a layman, I would think that as soon as you lift  
24 off and start flying and look at your gauges, you would realize  
25 that then. Help me out. Is that your sense as well?

1           A.    I know what they're trained to do.  Is that -- I can  
2 tell you what he was trained to do.

3           Q.    That it'd be great.  Please.  Yes.

4           A.    Okay.  He was trained to check his fuel on preflight and  
5 adjust it accordingly.  And in keeping with the FARs he's required  
6 to know his takeoff weight for every takeoff, be it Part 91 or  
7 Part 135.  Again, as part of the before-takeoff check, cruise  
8 check, and before-landing check, because cockpit checklist usage  
9 is required by the FARs, he should also -- any and every pilot is  
10 trained to check the fuel gauge during those checks.

11          Q.    What about the medical crew?  Is it possible just by  
12 experience that they would've looked over and seen the fuel gauges  
13 as well?

14          A.    That's another one I'd hate to speculate on.  I don't  
15 know.

16          Q.    Now he's at the hospital and he realizes that he has a  
17 problem, and he calls the company and talks to the flight op  
18 person.  He acknowledges, you know -- the first thing, you tell  
19 them what your problem is and he tells them.  What are his options  
20 now?

21          A.    Any pilot's options would be -- depending on the fuel  
22 available, if he can plan to fly somewhere with a 20-minute  
23 reserve, per the FARs, he could plan to fly to that airport.  
24 Secondly, he could -- again, this is any pilot -- could choose to  
25 simply stop the flight.  And that also is done through our

1 corporate basic indoctrination. When we, as instructors, go out  
2 and train people, try to train them that you have to recognize  
3 when it's time to stop, don't push a bad situation. Right now I'm  
4 not recalling any other options that would really be available to  
5 him or any pilot in that situation. Could he call and have gas  
6 delivered? Yes, he could.

7 Q. How long would that take?

8 A. I'd hate to speculate. It would depend on where they're  
9 coming from.

10 Q. Okay.

11 A. And something else to keep in mind, Malcolm. My  
12 experience with most of these airport fuel trucks around northern  
13 Missouri, mid Missouri, I don't think they're certified for off-  
14 road use. I mean, if you want to take them off the airport,  
15 they're not legal.

16 Q. I see.

17 A. And I only know that because I've had a couple of the  
18 FBO operators tell me that, or it somehow came up in conversation.

19 Q. Yeah. Okay. He talks with the flight follower. Does  
20 the flight -- I guess the question is, okay, here he's in a  
21 situation. He's in a difficult situation. He'd like to talk to  
22 someone who can help him out or can share the responsibility or  
23 give him some ideas. Who's available to him? The flight follower  
24 he talked to. Anyone else or does he get (indiscernible) --

25 A. He's got his supervisors. And I personally -- I don't

1 know if every check airman does this, but I think if you ask the  
2 people I've trained, you will find they tell you that I hand them  
3 a card -- which I'm out of today, by the way, or I'd have given  
4 you one. I give them a card or I make at least one card available  
5 to post on the base bulletin board, and I tell them you can call  
6 me any time day or night.

7 I've been in their shoes where you get these weird  
8 requests; somebody wants you to do something that you go --

9 Q. Sure.

10 A. -- is that right or wrong, or should I or shouldn't I?  
11 I said, if you want an answer to something, you can call me any  
12 time day or night. And I tell the guys that I train that  
13 everywhere I go.

14 Q. Well, what about within the company? Is there some  
15 official order that you --

16 A. He would also have his supervisors, the OCC. The OCC is  
17 always available, 24 hours a day.

18 Q. How do you contact the OCC?

19 A. I can't swear to what the St. Joseph base had available.  
20 I know it is common practice to have a cell phone that accompanies  
21 the crew or the pilot, or maybe all three crew members in some  
22 cases. He could've gone into the hospital, called him.

23 Q. Who would be at the other end of it that he could talk  
24 to?

25 A. The people that man the OCC are, with one exception,

1 pilots. They keep a fixed-wing pilot on staff and a rotary-wing  
2 pilot.

3 Q. I want someone like you. If I pick up the phone, I  
4 want --

5 A. Right.

6 Q. That's what I was picturing.

7 A. Yeah.

8 Q. Yeah. He's elected to make the trip with the patient,  
9 possibly considering that he would stop for fuel with the patient  
10 on board. Is that company policy?

11 A. Our general operations manual discusses what to do in  
12 the event that you need to -- an exact procedure, what to do in  
13 the event you should need to stop for gas with a patient on board.  
14 It tells you exactly how to do it. And it also says at the bottom  
15 of that, that this is -- something to the effect that it shouldn't  
16 be expected to be routine practice.

17 Q. Sure. Yeah. What are the procedures?

18 A. I've not refueled with a patient on board for so long --  
19 what I've done in the past when it has -- it has happened to me  
20 once or twice. Pull out the ops manual and I read it step by  
21 step. I don't have it committed to memory.

22 Q. Company-wide how often does that happen, any idea?

23 A. I don't have any idea.

24 Q. Do you know a person to ask?

25 A. (No audible response.)

1 Q. If he had called his supervisor and explained the  
2 situation, what kind of response would there have been for his  
3 career? How would that have affected him? Would he have faced  
4 discipline, or what's your sense on that? What would've happened  
5 to him?

6 A. I know the corporate climate is "do the right thing". I  
7 think he would've been actually praised, and I'm speculating. The  
8 corporate climate is "do the right thing". So, if he had called  
9 his supervisor and said, "I'm stuck. I can't get anywhere to get  
10 gas", I think they would've accepted that answer.

11 Q. What would've happened to the trip?

12 A. Sir?

13 Q. What would've happened to the trip? Would you bring in  
14 another helicopter or drop the trip? What would've happened?

15 A. They could choose to take the patient by ground. It's  
16 possible they could call in another helicopter.

17 Q. Would your company have been able to provide another  
18 helicopter?

19 A. Yes, but the closest one is Omaha, I believe. I could  
20 be wrong. There are so many programs. I don't know where every  
21 one of them is at.

22 Q. How recently had he practiced autorotation?

23 A. With me he practiced them in the Spring of 2010 -- 2011.

24 Q. Would he have had other opportunities after that? Would  
25 he have other training?

1 A. I can't speak to that. I don't know.

2 Q. Do you recall his performance on the autorotation?

3 A. Yeah. He met the standard. He entered, did the power  
4 recovery, and made, you know, his spot within the 100 feet plus or  
5 minus.

6 Q. In terms of his background, how did he compare to the  
7 pilot pool of the company?

8 A. I'd be speculating on that too, I think.

9 Q. Typical, a veteran, or an amateur? I don't want to  
10 speculate, but in terms of his performance, how would he compare?

11 A. He seemed to be -- when I flew with him, he did the  
12 things right. I would say that's typical only in that our pilots  
13 are professionals and they've all got a lot of hours before they  
14 ever get here.

15 Q. I see.

16 A. I'm not trying to demean him or --

17 Q. Um-hum. Sure. I wanted to ask you a little bit about  
18 the company compared to the industry. Compared to industry  
19 standards, how would you characterize the pay?

20 A. Good.

21 Q. How would you characterize morale? The pilots we're  
22 talking about.

23 A. I would characterize it as good. The guys that I  
24 trained seemed to always be in good spirits.

25 Q. And on pay -- I get the sense that in career development



1 typically you start -- this is more entry level and you're looking  
2 towards -- I don't know, what is the typical career path for a  
3 pilot, say, at his level? He's just starting out. What's he  
4 looking towards?

5 A. I can't say that. I don't know what he's looking  
6 towards.

7 Q. So, it's individual in this case (indiscernible)?

8 A. Yes.

9 Q. Okay. How would you characterize the flight and duty  
10 time schedules compared to industry standards?

11 A. As far as I know they're in line with all the others.

12 Q. How about the size of the workforce compared to what you  
13 need to perform a task?

14 A. I know there are certain bases that don't have a full  
15 complement of pilots. Now, how much -- how pervasive that is I do  
16 not know.

17 Q. How about this base?

18 A. They had some of their pilots working in Cherokee, Iowa  
19 because of the other aircraft that they were qualified in, and  
20 some folks traveling to fill in at St. Joe.

21 Q. How busy is the St. Joe's base?

22 A. That, I don't know either. I know during the week that  
23 I was there I saw them or knew of them doing several flights,  
24 three or four.

25 Q. How would you characterize the turnover rate of pilots

1 in the company?

2 A. I don't -- I mean, company-wide, I don't know. I just  
3 don't know.

4 Q. Okay. Is that a problem for the company?

5 A. Not to my knowledge, no.

6 Q. How about turnover of managers, is that a problem?

7 A. No. Most of the managers are -- have been in their  
8 position -- I mean, they've taken promotions and stuff, but  
9 they've been there for some time.

10 Q. How would you characterize the quality of new hires  
11 (indiscernible)?

12 A. I can only speak to the new hires I've trained.

13 Q. Sure.

14 A. They seem to be good pilots. Again, these guys that get  
15 hired have lots of training before they ever get to us, either  
16 through the military or -- most typical for a helicopter pilot, if  
17 you don't go military, then the next most typical path to get that  
18 many flight hours would be as a flight instructor.

19 Q. Any difference between the military pilots and the  
20 civilian pilots?

21 A. No. They all seem to -- I mean, none that I'm thinking  
22 of at all. Just based on some things I've heard other instructors  
23 tell me to try and help me out -- because I just started  
24 instructing in AStars in December of '09. But, you know, they  
25 tried to warn me about things like, you know, watch the UH60

1 pilots because they have a tendency once the back of the skids get  
2 to the ground, like a UH60, they push forward cyclic to get it to  
3 come down. Other than a little bit of helpful hints from other  
4 instructors, I don't know of any differences, really, or none that  
5 I've seen.

6 Q. How would you characterize the equipment, the AStars?

7 A. It's very good. They've updated the aircraft, put in --  
8 like NVG modifications, made sure that they're putting in more and  
9 more -- oh, I'm sorry -- more and more --

10 Q. Do you want to take a break?

11 A No. No. I just had a little hiccup. They're putting  
12 in more and more things like TAWS, weather radar. More and more  
13 aircraft are getting modified to accept and use goggles. I know  
14 they put a -- it has to have been a good amount of money in it.

15 Q. How would you characterize maintenance?

16 A. I've never had any problems with maintenance. You know,  
17 when you have a problem you call them and they come in. If  
18 they're dutied out, you don't receive pressure to overlook it or  
19 anything like that. It is what it is and we deal with it. And if  
20 the base is out of service, it's out of service until a mechanic  
21 is able to come in and start work. I've been impressed with the  
22 mechanics I've had the opportunity to work with.

23 Q. How would you characterize the financial condition of  
24 the company?

25 A. That's way out of my realm.

1 Q. How about the relationship between the company and the  
2 labor union?

3 A. Also out of my realm.

4 Q. The quality of the training?

5 A. Company-wide, out of my realm.

6 Q. What's special about this company?

7 A. To me?

8 Q. Yeah.

9 A. They let you know they'll stand behind you when you do  
10 the right thing. Don't push bad weather. Don't push a  
11 maintenance problem. Don't overlook a maintenance problem. They  
12 let you know that they will absolutely stand behind you. In other  
13 words, if you take a bird out of service because X is wrong with  
14 the aircraft, they stand behind you for that.

15 Q. How do they let you know that?

16 A. Everything through -- from the time of basic indoc you  
17 get a face-to-face briefing with the chief pilot, the director of  
18 operations, and the chief executive officer. I mean, it starts  
19 there.

20 Q. In the past several years has the company undergone a  
21 significant expansion or scaling back of its operations?

22 A. No, sir, not to my knowledge.

23 Q. Has the company experienced previous accidents?

24 A. Yes. I mean, I know they've had previous accidents.

25 Q. What's been the company response in terms of any changes

1 in policy or procedures as a result of these accidents?

2 A. The safety department, you know, will issue memos or  
3 changes in the operations manual as needed to make sure it doesn't  
4 happen again.

5 Because I'm an instructor I happen to have a little  
6 knowledge of some of the previous accidents. I have to teach --  
7 per the FARs, I have to teach an accident/incident review while  
8 I'm doing ground schools. One, for instance, I can give you was  
9 an accident in which a mechanic apparently had -- some bolts came  
10 loose on the drive shaft to the transmission, from the engine to  
11 the transmission, and an AStar had to complete an autorotation.  
12 After that accident they came out with a memo requiring the pilots  
13 go -- they call it a CYA, cover-your-aircraft inspection. And you  
14 have to initial behind every ride-on. And that's one response I  
15 can personally vouch this happened because of a particular --

16 A second, when a determination was -- and these  
17 accidents, as far as I know, are still under investigation. But  
18 when a possible reason was thought or a possibility occurred for  
19 the Tucson and the Lamont incidents, they came out with a memo  
20 about not checking fuel through the aircraft fuel filter because  
21 that might introduce air into the system.

22 I mean, they seem to be responsive, very responsive in  
23 order to make sure it doesn't happen again.

24 Q. Were there any pilot issues in the previous accidents  
25 that you're aware of?

1 A. No, sir. That's out of -- you know, I just don't know.

2 Q. Tell me about the safety office. What does it consist  
3 of? What do they do?

4 A. Well, there's a -- I don't know the exact title.  
5 There's a gentleman in charge or a person in charge, numerous  
6 staff. Besides base visits they are tracking all kinds of AIDMOR  
7 reports. I don't know if you're familiar with the company's  
8 AIDMOR system.

9 Q. No.

10 A. It's a referring system for hazards, incidents. When I  
11 say incidents, I mean like somebody slip and fall or any hazard.  
12 And during this training I mentioned just a minute ago where I  
13 talk about the annual accident/incident review as part of ground  
14 training, part of the slide show is, you know, showing these guys  
15 why they need to report any hazards, how to do it, and what  
16 happens after they report it. So, the safety staff is dealing  
17 with that -- you know, tracking and logging and cataloging and  
18 mitigating risk. I know they've been very active in the SMS,  
19 safety management system, progression.

20 Q. And they're based in Denver; is that right?

21 A. Yes.

22 MR. BRENNER: I think I'm good, Jeff.

23 BY MR. SILLIMAN:

24 Q. When you do an autorotation with just putting the  
25 collective down, what is the characteristic of the aircraft? What

1 pitch, roll type of things do you see?

2 A. You don't really see a lot of change in pitch or roll  
3 attitude. You get a fairly good yaw input unless you coordinate  
4 the pedal with it. As you get the collective all the way to the  
5 floor the rotor will build, so you have to pull it up slightly to  
6 keep it from overspeeding.

7 Q. What airspeed are you trying to peg when you do -- once  
8 you enter the autorotation?

9 A. We're trained to execute for 65 knots VY and work for a  
10 65-knot attitude, and then you adjust airspeed as necessary to  
11 make that spot on the ground that you're trying to get to, still  
12 trying to be at VY by the time you decelerate so you've got a full  
13 decelerative attitude for, in this case, a power recovery, but, in  
14 the real event, a touchdown.

15 Q. So, you're flying along and, whether you initiate it or  
16 the trainee initiates it, he puts the collective all the way down.  
17 The nose attitude pretty much stays the same, if I understand you,  
18 so it's not at a different -- too much of a different pitch, but  
19 you'll get a yaw.

20 A. Um-hum.

21 Q. So, you have to counteract with a pedal.

22 A. Pedal.

23 Q. And then you have to adjust the attitude with the cyclic  
24 to get your 65 knots.

25 A. Um-hum.

1 Q. You fly your 65 knots and as you're approaching the  
2 ground, when do you put in a flare, or don't you? Do you put in a  
3 flare in this aircraft?

4 A. We train 65 feet you start a flare and decelerate as  
5 necessary for the situation, if that make sense.

6 Q. Yeah. So, at 65 knots, then, you're in a descent  
7 attitude at 65 knots, and then at about 65 feet you put in a nose  
8 attitude, meaning you pitch up your nose.

9 A. Right.

10 Q. You bleed off your airspeed. And then you're still  
11 descending at this time, so that when you bring in the power or  
12 bring back in the collective, you're bringing in the collective so  
13 that you're hovering over the spot at about 5 feet?

14 A. Three. Three feet.

15 Q. Okay. So, but you're -- so, when you put in the flare,  
16 you're decelerating. Where do you start bringing in the  
17 collective to get it so that you're going to be hovering?

18 A. About 15 feet.

19 Q. Fifteen feet?

20 A. And it's not a continuous initial pitch/pull. It's --  
21 an initial pitch/pull, it may just be just enough to arrest the  
22 rate of descent, and then save the rest for when you get down to  
23 the bottom.

24 Q. So, when you're down at the bottom, is that after you  
25 arrested it a bit and you -- you put in the flare at 65 feet.



1 You're decelerating. You brought in a little bit of collective,  
2 it sounds like. And then as you're transitioning into that hover  
3 over the spot, that's when you bring in more collective to -- a  
4 lot to your hover power, basically, so now you're at about 90  
5 percent NG, 80, 95 percent NG? What would -- I know it's going to  
6 depend on the weight.

7 A. Depend on the weight, but, yeah, 90, probably around 90.

8 Q. Okay. But you're -- basically, you're stopped over the  
9 spot, 3- to 5-foot hover, and that's the end of the auto, and  
10 hopefully within 100 feet of your selected spot?

11 A. Yes, sir.

12 Q. Okay. Now, in the accident -- it's not exactly certain  
13 how high he was, but he may have been 300 feet, maybe, or 250 feet  
14 above the ground when he lost engine power. So, you don't have a  
15 lot of altitude. Now, do you ever practice autorotations where  
16 you enter the autorotations at, you know, between 250 and 300  
17 feet?

18 A. No, sir.

19 Q. So, in your practice where do you start your  
20 autorotations?

21 A. At pattern altitude.

22 Q. So, typically, 800 to 1,000 feet or so?

23 A. Yes, sir.

24 Q. When you're practicing, how long does it take for the --  
25 typically to -- or when you're doing them, in fact, how long does

1 it take to recognize that you have to put in your flare and, you  
2 know, establish your 65 knots and --

3 A. I'm not sure I understand that question.

4 Q. Well, I guess, what's your reaction time to be able to  
5 get your -- from the time that you say you've got an engine  
6 failure to the time that you react and you get your -- the yaw and  
7 you get your pitch, and you're getting things stabilized for that?

8 A. From 1,000 feet above the ground it would probably be  
9 about 4 or 5 seconds, maybe a touch longer, 6 seconds.

10 Q. Any idea how much altitude you've lost in that time?

11 A. Roughly a 1,000 feet, 900 feet.

12 Q. No, I mean just in -- from the time that you recognize  
13 you have an engine failure until you kind of start getting  
14 established into your autorotation.

15 A. Oh, no, I don't know.

16 Q. Okay. And you never -- in practicing you never go to a  
17 full autorotation, then, where you land on the deck; it's always  
18 to a hover?

19 A. Yes, sir.

20 Q. And it's always -- obviously, always a power recovery,  
21 and you never brought it down to flight idle? I mean the  
22 throttles, you never brought them --

23 A. No.

24 Q. -- the throttles down to flight idle. Do you have any  
25 idea what it would look like in a real engine failure? Because

1 you're simulating -- well, you're bringing the collective down.  
2 But do you have any idea, have you had any training or experienced  
3 any situation in your training where you actually lose the engine  
4 or they bring it down to flight idle where you get a different  
5 sight picture than what you have just with this technique that you  
6 use?

7 A. Sir, I've not had any training to that.

8 Q. Has anybody ever talked you through what you could  
9 expect?

10 A. Well, yeah. I mean --

11 Q. What kind of things have people told you, you might  
12 expect that would be different from the way you practice your  
13 autorotations to a real engine failure in this aircraft?

14 A. The loss of rotor RPM should the engine fail, because  
15 it's the low inertia rotor system, which you'd want to get the  
16 collective down immediately so the rotor didn't droop. And then  
17 you'd want to also apply an aft cyclic to get more air coming up  
18 under the rotor.

19 Q. When you practice your autorotations as they're  
20 practiced now, do you bring in aft cyclic right away to --

21 A. Yes. I mean, you initially bring in some aft cyclic to  
22 work towards 65 knots.

23 Q. But before you -- but do you do that -- for instance,  
24 you push the collective all the way down. Once the collective is  
25 all the way down, do you bring in aft cyclic right then or do you

1 wait?

2 A. You bring in cyclic right then.

3 Q. Okay. And then that's when you have to bring in -- bump  
4 the collective just to keep control of your rotor RPMs --

5 A. Yes, sir.

6 Q. -- at the same time? Okay. Have you ever wondered what  
7 it would -- I mean, if you're training -- if you had a complete  
8 engine failure, even with all your experience, if you would be  
9 ready for a real one with the training that you've done and the  
10 training that you've experienced and taught others without having  
11 actually experienced --

12 A. I think a man would be a fool not to.

13 Q. And have you ever wondered --

14 A. I think I would.

15 Q. You think you would?

16 A. Yes, I think I would be.

17 Q. Ready to do it?

18 A. Yes.

19 Q. What was the name of the night pilot? What was his last  
20 name?

21 A. Pelayic, P-e-l-a-y-i-c.

22 Q. P-a -- P-e-a --

23 A. P-e-l-a-y-i-c.

24 Q. Okay. And did you happen to meet the medical crew that  
25 night?

1 A. I can't remember.

2 Q. When you were flying the line, was a union established  
3 by then?

4 A. I was in the desert in 2003, almost all of it. And I  
5 think it was up -- I think it was up and going when I came back.

6 Q. When you got back. Were you -- did you then go back  
7 into -- by that time are you flying in the corporate headquarters  
8 as a training pilot?

9 A. No, sir.

10 Q. So, you went back to the --

11 A. To the line.

12 Q. -- a flight base?

13 A. Yes.

14 Q. Or EMS base. And then you would've only been there for  
15 about -- it sounds like about a year before you would've gone to  
16 Inglewood, then?

17 A. No. I flew as a line pilot from the beginning of 2004  
18 until December of 2009.

19 Q. Oh, okay. So, it sounds like the union was established  
20 then.

21 A. Yes.

22 Q. Is it a union that you need to be -- or that you're  
23 required to be a part of or not or is it -- I'm not sure how they  
24 do that.

25 A. Well, that's beyond my level of expertise.

1 Q. Well, I mean, did you have to join the union or did you  
2 not have to?

3 A. My understanding at that time was it was a -- because of  
4 the state in which I located, that it was a right-to-work state  
5 and I did not have to join the union.

6 Q. Okay.

7 A. But I believe I had to pay union dues one way or the  
8 other.

9 Q. Okay. If a pilot gets in trouble, what are the ways  
10 that he can, you know, keep from getting in trouble? I mean, do  
11 they have an ASAP program here?

12 A. The do have an ASAP program, yes.

13 Q. Could you explain how that works to me?

14 A. They get online and submit the report. There are  
15 requirements for timeliness in order to be considered to be not  
16 punishable. Besides time requirements, also sole source  
17 requirements kind of thing. I mean, they get online and they can  
18 fill it out. The company gets it immediately and starts action on  
19 it.

20 Q. And that generally protects a pilot from disciplinary  
21 action or not?

22 A. I just don't have any experience with the ASAP stuff.

23 Q. Okay. How about a FOQA program, do they have that, a  
24 FOQA program?

25 A. I'm not familiar with that.

1 Q. Okay. I guess the SMS program, do they have anything  
2 looking at, you know, continuous improvement programs?

3 A. That's the official stage they're in now.

4 Q. Are they -- does that get down to the crew base and to  
5 the pilots and the flight crews? They're aware of it and they  
6 know how to work it, and they're being trained in SMS as well?

7 A. Yeah.

8 Q. This pilot -- for instance, he takes off from the  
9 hospital. Had the pilot stayed there and said, okay, well, you  
10 know, I need to get a fuel truck or I need to fly someplace else,  
11 get fuel before I come back, get the patient, and then continue  
12 the flight, in any -- if those situations had taken place and he's  
13 filled out an ASAP -- and it sounds like, from what you said  
14 before, he would've been congratulated, in a sense, saying that he  
15 did the right thing. Is that safe to say?

16 A. I don't know if he would've been congratulated. I think  
17 the answer would've been accepted.

18 Q. He wouldn't have lost his job?

19 A. No, sir.

20 Q. Would there have been -- you know, if he made an ASAP,  
21 would there have been any discipline action?

22 A. Jim, that's -- I mean, that's up to people above my pay  
23 grade.

24 Q. Yeah, I understand. Just wondering. Now, in the same  
25 situation, had he made it to the -- UGF, the airport, and gotten

1 fuel, even so he -- you know, he made out an ASAP, but there's  
2 nothing that says that once you do an ASAP -- you still can get in  
3 trouble considering the situation and the severity of it, I  
4 suppose, and whether there's FARs broken and that type of thing?

5 A. That's my understanding.

6 Q. When you flew the line, what kind of interaction did you  
7 have with your crew members -- you know, your flight nurse, your  
8 flight paramedic? Did you typically brief them on what was going  
9 on, you know, as -- the situation that you were looking at as a  
10 pilot, or were they just sort of wrapped up with their patients  
11 that --

12 A. We did crew briefings, yeah, and they're required by the  
13 ops manual. But we did crew briefings, yes.

14 Q. In this situation when the helicopter was at Bethany  
15 there at the airport, on the pad, the pilot has called dispatch.  
16 Would there be an opportunity or would there be an expectation  
17 that the pilot would brief the crew that he called dispatch and  
18 told them that he had a fuel situation, or would that -- they  
19 be --

20 A. I don't know.

21 Q. Would that be something that you would expect that you'd  
22 do, or is it just too speculative on that?

23 A. You mean as far as telling the crew what our fuel state  
24 was?

25 Q. Yeah.



1 A. If it were me, I'd say something to them, yes.

2 Q. I mean, those guys do have a lot of experience, you  
3 know, flying, I mean, so it's not like they're just -- you know,  
4 they're aware of their situation there as well, I would guess, and  
5 they'd have good input as far as company protocols and company  
6 requirements and -- especially if the pilot told them we're going  
7 to have to land and get refueled before we can take the patient on  
8 to the hospital, that's something that would affect their decision  
9 making, I would guess, you know, if they are going to launch from  
10 that hospital, I would guess, and they should know that, right?

11 A. Yes, sir.

12 Q. Yeah. We don't know if that was the case or not, of  
13 course, but --

14 MR. SILLIMAN: Malcolm, anything else that occurred to  
15 you?

16 BY MR. BRENNER:

17 Q. How long would it take to refuel?

18 A. It depends on how the refuel was conducted.

19 Q. If the truck's standing by?

20 A. If you've got a refuel truck standing by, it can be done  
21 in 10 minutes or less.

22 Q. Is there anything else that we haven't asked you that  
23 might help us in the investigation?

24 UNIDENTIFIED SPEAKER: There's only one answer to that  
25 question.

1           MR. WATSON: No, sir. I think you guys have been pretty  
2 thorough. I can't think of anything.

3           UNIDENTIFIED SPEAKER: That's the answer.

4           (Simultaneous speaking.)

5           UNIDENTIFIED SPEAKER: -- now offer you an opportunity to  
6 say things and I guess he has.

7           BY MR. SILLIMAN:

8           Q. When I was doing the Lamont accident, the crew there --  
9 and it just seemed like a kind of a common thing that they wanted  
10 to have the aircraft around 60 percent, to be able to lift off,  
11 have enough fuel to do their mission, and still have enough  
12 capacity for, you know, the patient coming on board and that type  
13 of thing. Is that kind of a comfortable gauge figure or an  
14 average of what people would be expecting, so you have like  
15 almost, well, 2 hours' endurance? Well, you know, total fuel, I  
16 guess, would be 2 hours on board and still be able to get to do  
17 most of your assigned work.

18          A. It could be anywhere from 50 to 70.

19          Q. Yeah. But 23 to 24 percent is not going to cut it,  
20 obviously?

21          A. No, sir.

22          Q. Yeah. Well, your help has been really very greatly  
23 appreciated, very straightforward and very helpful. I appreciate  
24 the places where you said, hey, that's just -- I can't answer  
25 because it's speculation. That makes good sense and really helps

1 us flesh this out. So, I really appreciate that.

2 A. Yes, sir.

3 Q. I certainly appreciate the work that you do and -- as a  
4 training pilot and everything that you're responsible for. That's  
5 a lot of responsibility that goes on you, and certainly it's an  
6 important job and, you know, to take it is really a great credit  
7 to you. So, I appreciate all the work that you do and -- I know  
8 that this has got to be, you know, gnawing on you as well because  
9 this is a tough situation. So, I certainly appreciate you coming  
10 in and helping us out.

11 A. Thank you.

12 (Whereupon, the interview was concluded.)

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF:           AIR METHODS CORPORATION  
                                  LIFENET HELICOPTER CRASH  
                                  AUGUST 26, 2011  
                                  NEAR MOSBY, MISSOURI  
                                  Interview of Jay Watson

DOCKET NUMBER:            CEN11FA599

PLACE:                      Kansas City, Missouri

DATE:                       September 15, 2011

was held according to the record, and that this is the original,  
complete, true and accurate transcript which has been compared to  
the recording accomplished at the hearing.

---

Linda L. Brown  
Transcriber