

DEPARTMENT OF TRANSPORTATION  
NATIONAL TRANSPORTATION SAFETY BOARD  
OFFICE OF MARINE SAFETY

---

In the Matter of:

MAJOR MARINE ACCIDENT,  
DCA 03 MM 032

---

May, 30, 31, 2003

INTERVIEW OF:

DAN ARTE FLESELAND

The above entitled matter came on  
for hearing, pursuant to notice.

PRESENT:

TOM ROTH-ROFFY, NTSB  
BRIAN CURTIS, NTSB  
KEN OLSEN, USCG  
STEVE CMAR, NCL  
CHRIS OELSCHLEGEL, USCG

## P R O C E E D I N G S

1  
2  
3 MR. ROTH-ROFFY: Good afternoon. It  
4 is about 4:15 in the afternoon. It is Friday, the 30  
5 of May 2003. And we are here with the first engineer,  
6 Mr. Dan Fleseland.

7 And, sir, we are here to conduct an  
8 investigation of the accident that occurred aboard the  
9 S.S. Norway on the 25 of May 2003. And the reason why  
10 we called you here is because we believe you may have  
11 some information that may assist us in our  
12 investigation.

13 For your information, the National  
14 Transportation Safety Board is a U.S. Federal  
15 Government agency responsible for investigating  
16 accidents, transportation accidents in the United  
17 States. I work for the Office of Marine Safety, which  
18 is a part of the National Transportation Safety Board  
19 and we investigate marine accidents of all types.

20 Our investigation is strictly a safety  
21 investigation. We are not doing a legal  
22 investigation. We are not trying to establish an  
23 culpability or blame for the accident on any particular  
24 person or agency or company. We are only interested in  
25 determining what caused the accident and if we can, and  
26 then making a recommendation to companies or agencies  
27 about how we might prevent similar, future accidents.  
28 Do you have any questions about that, what I just  
29 explained?

30 MR. FLESELAND: No.

31 MR. ROTH-ROFFY: Okay.

32 What I would like now is to have the  
33 interviewers that are seated here at the table to  
34 introduce themselves and who they work for, so you will  
35 know who you are talking to.

36 MR. CURTIS: Brian Curtis, NTSB, Marine  
37 Engineering Accident Investigator.

38 MR. OELSCHLEGEL: I am Chris Oelschlegel, I am  
39 with the U.S. Coast Guard. I am a traveling inspector  
40 with the Coast Guard and I am stationed in Washington,  
41 D.C.

42 MR. OLSON: My name is Ken Olsen, I work with  
43 the Coast Guard as well in what is called The Office of  
44 Investigations and Analysis. Like Tom said, we are  
45 primarily interested in safety issues and prevent this  
46 type of thing from happening again.

47 MR. CMAR: Stephen Cmar, Norwegian Cruise  
48 Line.

49 MR. ROTH-ROFFY: Okay. With that we will go  
50 ahead and begin the questions.

51 BY MR. ROTH-ROFFY:

52 Q Could you tell us where you were and what you

1 were doing at the time of the explosion and then what  
2 you did afterwards in response?

3 A I was sleeping in my cabin, which is all the  
4 way forward on Olympic Deck, under the bridge. I wake  
5 up, I don't know why, but, I did not feel any vibration  
6 on the ship, but, I heard emergency generators start  
7 and they are on crew deck, just under me, a few decks  
8 down. Then I understand there had been a blackout.  
9 So, when I run down in the control room and I come  
10 down, I see all this water in the, in the corridor, and  
11 everything was, was -- and I saw one man who was lying  
12 in the floor, and he was burnt. And I come and I see  
13 one man, one engineer, who passed away. And then I  
14 went down to the boiler room for my duties to get the  
15 power plant back in, back on again.

16 So, after that, normally also I have to  
17 get the steam plant on again, that was not possible.  
18 And after, I went to Immigration, because I was going  
19 to sign off. So, three o'clock in the, around two  
20 o'clock, they called me up to -- and I had to, they  
21 told me I had to stay onboard. So, that is it.

22 Q Okay. So, you woke up, and you ran down to,  
23 which ladder and which deck did you go to first?

24 A The G, down to Olympia deck.

25 Q Is that G, is that a letter of the stair  
26 tower or something?

27 A That is both. There is also an elevator  
28 there and there is stairs all the way up.

29 Q Okay. And that is, but, they call that G  
30 stairway or --

31 A G.

32 Q Okay. So you ran down that G stairway to  
33 where, which deck did you go to?

34 A Olympia.

35 Q To the Olympia Deck.

36 And then you ran aft on the Olympia Deck?  
37 Okay.

38 A Port side.

39 Q On the port side.

40 A So I could come in to get exit into the  
41 control room. Just to find out, I get the situation,  
42 what was actually happening.

43 Q Okay. So you went into the control room and  
44 what did you see?

45 A I see the third engineer was there on the  
46 floor, and -- was holding him, and he was asking for  
47 help. And then I ran down to the boiler room, to the  
48 forward boiler room where we have five diesel  
49 generators. So, to get them back on, first they are  
50 like, we had to switch over switches for the emergency  
51 cooling water pumps and these things. And then it  
52 started, started up again.

1 Q So, what did you start up again?

2 A Mark 12 and then Mark 18, and after we, Mark  
3 16, I think.

4 Q Did you have any trouble getting them  
5 restarted?

6 A It restarted, but, we had some problem to get  
7 Mark 18 back on, the switchboard, due to some cable --  
8 the boiler room. That is not my, it is not my duty to  
9 get them under, on the switchboards. Only to get them  
10 started, so.

11 Q Okay. So, you started the diesel generators,  
12 you called --

13 A And there was also some other people there,  
14 because the second engineer, who have them, he was also  
15 there.

16 Q And what is that second engineer's name?

17 A It was actually, the first engineer, who was  
18 leaving. He had been there for two months. So, they  
19 are suppose to change that day, so they was actually,  
20 both of them was, First Engineer -- and Second  
21 Engineer Trond Kristensen and also and then me, and  
22 then also Nicolaisen was there, because normally his  
23 duty is to go to aft boiler room, but that was not  
24 possible, so he was also there.

25 Q Okay. I am sorry, if I could just maybe get  
26 this cleared up. The Second Engineer Trond was there?

27 A Trond Kristensen.

28 Q Trond Kristensen.

29 A Yeah, Kristensen.

30 Q And also a Second Engineer Oscar Lloom.

31 A Yes, no, he is First Engineer. He is first.  
32 He is relieving Anvik.

33 Q Okay.

34 A But, he was going to have one week overlap.

35 Q I see.

36 A So, Anvik is suppose to go home now this  
37 Sunday.

38 Q Okay. And First Engineer Anvik was there?

39 A No. He was not there.

40 Q Oh, he was not there.

41 And Second Engineer Nicolaisen was there with  
42 you?

43 A He was actually in the forward engine room,  
44 but he did not, he was not able to start at all. And  
45 also the First Electrician was there.

46 Q What is his name?

47 A Elvon --

48 Q And so, so you started up 12, 18 and 16 and  
49 you had trouble getting 18 on the switchboard, is that  
50 right? Is that what you said?

51 A Yes. It went awhile, I don't know the time,  
52 because after we started, then the Second Engineer and

1 those people was there for watching and I go to  
2 Immigration.

3 Q About what time was that that you left to go  
4 to Immigration, if you can remember?

5 A I suppose to be there 7:30, but it was  
6 delayed, everything was delayed, so I don't know, maybe  
7 10 o'clock. I am not sure. But, we were waiting some  
8 time before we went to Immigration, because they were  
9 not ready.

10 Q So when you left to go to Immigration, you  
11 had, how many generators did you have on line or  
12 running? Did you have --

13 A Twelve was in, that is the, that is actually  
14 that one we have to start first, because when, that one  
15 we get power enough from the emergency to start the  
16 pumps, electric pumps. And also the, also the starting  
17 air compressor.

18 Q So, you are saying that starting air  
19 compressor and the pumps are, for number 12, come from  
20 the emergency generator, so that is the first one you  
21 start up. And then you went to 18 and 16. Were they  
22 able to get 18 on?

23 A No.

24 Q It wouldn't go on.

25 A No. No, it won't go on. I don't know for a  
26 long time, but you can find out by electrician or in  
27 the logbook it should state.

28 Q And 16 was one when you went up to  
29 Immigration?

30 A It was running, but I don't know if it was  
31 on. I don't remember.

32 Q Okay. I would like to backup, I apologize.

33 You mentioned that you went by the West  
34 Indies Mess and saw somebody. Was that before you went  
35 to the control room?

36 A That is the only way because when I come  
37 down, that is in the forward, so when I run, I pass  
38 actually all the mess for the crew, before I come to  
39 control room. So, I saw so many people was there and I  
40 looked in and I saw one man was burned. And then I  
41 understand there had been --

42 Q Do you recall what the person's name was that  
43 you saw?

44 A I don't know. I could not see who it was.

45 Q Okay.

46 MR. ROTH-ROFFY: The tape stopped there  
47 briefly.

48 BY MR. ROTH-ROFFY:

49 Q Could you say that again?

50 A It was one of the people who worked with the  
51 garbage, I see only, because they use these dark blue  
52 boiler suits. But, I don't know the name and I don't

1 know them --

2 Q Okay.

3 A And when I come into the control room, I did,  
4 I did actually not see that it was Rosal was before I  
5 asked, because he was so burned.

6 Q So you didn't recognize him.

7 A Then I come in, but I asked who is this, and  
8 then I saw the moustache, and of course, there is only  
9 one Filipino, I saw only two Filipino -- So, when I saw  
10 it was Rosal when I ran down, before I ran down.

11 Q So you went from the control room down into  
12 the forward auxiliary room to --

13 A No, I went, the fastest way for me, I could  
14 not go, I could not go down to aft engine room, then I  
15 had to pass the boiler room, so I went, I went forward  
16 again, and we had this stairs down in forward engine  
17 room. We have the engine elevator, that was the stairs  
18 down to, to forward engine room and from there I go in  
19 boiler room.

20 Q So you went into the boiler room.

21 A Forward boiler room.

22 Q Forward boiler room.

23 A There is no boiler in the forward boiler room  
24 any more.

25 Q Right.

26 A Only --

27 Q Diesel generator.

28 A But, we still call it forward boiler room.

29 Q Did you see any other injured crewmen other  
30 than the two that you mentioned?

31 A No.

32 Q Do you recall if there was still steam  
33 blowing when you were in that area, did you hear any  
34 steam blowing or had it already dissipated?

35 A It had dissipated.

36 Q Okay.

37 A And also did not feel any heat.

38 Q Do you happen to recall about what time you  
39 were in the control room, the first time?

40 A I did not see, I did not have my watch on, I  
41 did not see, I only, I saw they have write, it is in  
42 the report, it happened around 6:40 in the morning.  
43 So, how many minutes I used to run down, I don't know.

44 (Pause.)

45 MR. ROTH-ROFFY: Okay. I paused the tape there  
46 for about two minutes. We have had another interview  
47 join us. Please, sir, if you would for the record,  
48 identify yourself.

49 MR. PHILLIPS: Yes, my name is Robin Phillips  
50 and the investigator for the Bahamas Maritime  
51 Authority.

52 BY MR. ROTH-ROFFY:

1 Q Okay. So you said that you did not hear any  
2 steam and you didn't feel any heat. I think that is  
3 where, the last thing I have written down. And you  
4 didn't see any other crew members besides the two that  
5 you had already mentioned.

6 A No, no.

7 Q Okay. I think I probably have enough detail  
8 of what you did from when you heard the explosion and  
9 what you did afterwards. I think now probably what I  
10 would like to do is ask you about your duties and  
11 responsibilities on the ship.

12 So, if you could, you know, in fairly large  
13 detail, tell me what your job is on the ship, who you  
14 work for and who works for you and what your  
15 responsibilities are?

16 A Well, this, my duties to supervise all the,  
17 all the engineers, second engineers, third engineers  
18 and also the other watch keeping personnel of the crew.  
19 And I have to report directly to Chief Engineer, Staff  
20 Chief Engineer. And if there is some major problem,  
21 who, the ship cannot maintain the speed, I have to also  
22 contact him directly. And I must, I must print out and  
23 give the jobs to the engineers and I am doing the  
24 overtime, these things. And I collect in the rest of  
25 us, this -- 95, who I collect and give to the  
26 secretary, so they will be -- And under blackout, my  
27 duty is to get diesel generators to run. And after, to  
28 get this one boiler on line so we can, so we can get  
29 steam plants back in business.

30 For the maintenance, for the day people and  
31 like that, on this ship you have two first engineers,  
32 so it is actually the other guys who, who set the  
33 repairman and doing the job, not me. On other ships  
34 there is only first and then you are doing this alone.

35 But, I am also having a look and see how it is going.  
36 And like when the, the other, second engineers or third  
37 engineers have some problem and they need some  
38 curtailment, they also go to him, to the -- But, if  
39 there is some problem to say there is some problem with  
40 anything, then they go tell me and then I have a look.

41 It is my problem to, it is my job to, to shutdown and  
42 put back the systems like say the, you are dropping  
43 vacuum on main condenser, for example, it is my duty to  
44 shut it down and then the day man come and clean of  
45 plug or whatever, and then again it is my duty to make  
46 it back in business, like that.

47 Q Anything else you can think of that is your  
48 job?

49 A I don't know. I don't have it in my head  
50 just now. But, anyway it is on the Sands, everything  
51 is on the Sands, Internet, on the electronic. It will  
52 stay there.

1 Q What do you mean by everything, your job  
2 responsibilities or --

3 A Yes.

4 Q Okay. You said everything is on the S and S,  
5 what do you mean, everything?

6 A The duties, the checklist for everything, all  
7 kind of --

8 Q Okay.

9 A Rules and regulation.

10 Q So do you use that Internet Sands frequently?

11 A Yes, I used to have to look and see because  
12 they used to have something new every week. Something  
13 they put on, still does. And like anything else,  
14 because like you have -- on new ship or whatever.

15 Q Does the junior first engineer there work for  
16 you? Are you responsible for him?

17 A Yeah, if I, if I, if we need to do something,  
18 some jobs and I say this has to be done, and then he,  
19 and he has all the requirements, so he would, that  
20 manager up there, that manager, like that.

21 Q But, is he really, are you really his  
22 supervisor or are you just --

23 A No, actually not.

24 Q Okay.

25 A But, if I say to him you have to overhaul  
26 this pump, then he will make sure that it will be done.  
27 Or we have to change these pipes, then they will make  
28 sure that they will prefabricate and then change when  
29 there is time. And, for example, for example, leaking,  
30 then he will make sure that it will be done.

31 Q Okay. When you were telling us about your  
32 duties you said that you print out and give the jobs to  
33 the engineers. Could you give us more detail about  
34 that, what that means?

35 A Like just coming out three month rotating for  
36 cleaning generators, for example, changing oil filters,  
37 changing oil, everything, everything, all kind of  
38 maintenance for the engine.

39 Q And --

40 A Except for the diesel generators that are  
41 under staff chief, incinerator under staff chief. So,  
42 he is the man who giving the work to the engineer in  
43 the, the day man for the diesel generators. I have my  
44 responsibilities start in forward engine room and all  
45 the way aft.

46 Q And what sort of software program do you use  
47 to print this, these jobs out?

48 A DOS Window and the program is OSMOSIS.

49 Q And what did you say before DOS, I didn't  
50 quite understand that.

51 A It is not upgraded to, to Windows. It is DOS  
52 and three -- It is DOS Windows, my computer, yeah.



1 Q I am not familiar with that, DOS, DOS Window,  
2 is that Windows or is it --

3 A Yeah, yeah, yeah.

4 Q It is Windows.

5 A Windows. DOS Windows.

6 MR. OLSON: It is just DOS, he doesn't have  
7 Windows 98, 95 probably application.

8 MR. CMAR: If I can, some ships have DOS  
9 Windows D and some are, they are all being upgraded  
10 OMOSIS Windows. The Norway still has OMOSIS right now.

11 MR. ROTH-ROFFY: Okay. Thank you, Steve.

12 MR. OLSON: It is the plain text, type  
13 interface.

14 MR. ROTH-ROFFY: Okay.

15 MR. OLSON: The command prompt style,  
16 information.

17 MR. ROTH-ROFFY: Got it.

18 BY MR. ROTH-ROFFY:

19 Q So, you use OMOSIS to generate the jobs, the  
20 maintenance actions, you print them out and then you  
21 distribute them to the watch engineers. Do they also  
22 go to the day workers or, I mean, the Polish  
23 maintenance guys, no, just to the watch engineers?

24 A There is one engineer for all systems. It is  
25 just a second engineer, and they also have one of the  
26 Filipino on the system. But, then there is bigger  
27 jobs, like cleaning condensers, then, then they need  
28 some people from the day crew. People on the day crew.

29 Q And would you get those work items to who, to  
30 the junior first then or would you give them to --

31 A I make sure that when there is time, to do  
32 it, then, then nobody go by myself and speak to Anvik.  
33 Because every week I print out the weekly and then I  
34 can see if it overdue.

35 Q Okay. So --

36 A And also monthly, also monthly, but I don't  
37 print out every Monday the monthly. It is only for  
38 that --

39 Q So which day do you print out your weekly  
40 items?

41 A Monday, Monday.

42 Q Every Monday you print out. And when do they  
43 return them? Do they complete them and return to you  
44 at the end of the week or --

45 A Everybody have one folder in the control  
46 room, one box, they put them in. So, when you are  
47 finished, they, there is the box they put them in. I  
48 take them. And then it will be, then the secretary is  
49 doing the job for me, to print, print them back in that  
50 they have been done. And then they also file onboard  
51 for at least one year. I don't know for how long time  
52 they file them. They are filing them, I know.

1 Q Okay. What if a piece of equipment breaks  
2 down and needs a repair, who would be responsible for  
3 doing that repair?

4 A Responsible to --

5 Q Say a feed pump for the boiler starts  
6 leaking. Who would be responsible for repairing that?

7 A We use Norwegian repairman to do these kind  
8 of jobs.

9 Q But, who would assign them?

10 A If it is leaking in a flange, then we will  
11 use the -- But, if it is something more mechanical,  
12 mechanic, because not everybody who can overhaul a  
13 turbine, this is a bigger job. So, we are doing like,  
14 we, we, the Norwegian repairman he know how to do this,  
15 these more complicated jobs, otherwise we need people  
16 from shore side, contractors.

17 Now you ask me about my duties also  
18 familiarization form I give to everybody when they,  
19 when they sign on, so they can, so I make sure that  
20 they have got one and then they have to fill it out.  
21 They are given to secretary, and they will be, they  
22 will be filed onboard.

23 Q Is that a test of some kind or it is just a  
24 checklist or what is that?

25 A It is a checklist that they know this and  
26 this and this. Things that they don't know, they don't  
27 sign for. So, and then it is filed onboard.

28 Q Do you also sign next to it as verifying that  
29 they know it or who would, who would initial?

30 A Me, me, also me and also the Chief Engineer.

31 Q Okay. Getting back to the repairs. If  
32 something needs repairs, the second engineer that is  
33 responsible for the equipment, would they call you or  
34 would they call --

35 A They call me.

36 Q They call you and then you would maybe talk  
37 to the junior person --

38 A For example, only on a bilge line, then they  
39 go to Anvik, but if there is some problem with anything  
40 pumps, you have to, because when they are running like  
41 you have one for stand-by, say for example, condenser  
42 pump, you have one stand-by and one running. If the  
43 running one have to be stopped, then it goes over to  
44 the stand-by one and then you don't have anything in  
45 stand-by, so, I need to make sure that somebody starts  
46 to overhaul it.

47 Q And after the work is completed, how is that  
48 documented or recorded what was done? Where would you,  
49 if you do?

50 A The first engineer is, junior, he is writing  
51 everything in the day, we have a day book, you write  
52 everything, every day, what kind of work the repairmen

1 do and also what kind of work the day man, Filipino do.  
2 And at the end of the week, then I write down the  
3 biggest jobs that have been done and they, I send them  
4 up to, I also file them in books I have for myself, so  
5 I can look back and see. But, then the staff chief, I  
6 send them to the staff chief and the chief engineer,  
7 also send it to Quinnstar(ph) Superintendent. So,  
8 whatever they are filing up there, I don't know, but, I  
9 guess they file it.

10 Q Okay. So for example, that you have a pump  
11 that breaks down, the second engineer that is  
12 responsible for that pump would either contact you --

13 A Maybe he is not on duty, on watch, so then,  
14 then they will, they will try to call me and -- or  
15 whatever they do.

16 Q Okay.

17 A Call me in my office or if I am not there, I  
18 always have walkie talkie on me.

19 Q So, then you would go down and look at it?

20 A Yes.

21 Q Assess, you know, what was needed to repair  
22 it and then you would get ahold of the day workers  
23 directly or you would call the first engineer to --

24 A If he is not there, then if I find the  
25 repairman by myself, I can, then I tell him, okay, you  
26 have to stop this work, you have to go to this pump,  
27 start overhauling and whenever I see Anvik, he also  
28 have walkie talkie, so, so, I take him at the same  
29 time. Tell him at the same time, as quick as possible.

30 Q Okay. So then after the work is done --

31 A And I also -- that this pump is now out of  
32 order.

33 Q After the work is done, though, the first  
34 engineer would put it in his logbook and then would you  
35 somehow write it somewhere, too?

36 A Yes.

37 Q You would write it on a separate logbook?

38 A No. I have in my computer, I have, I have a  
39 work document, that I write in every week and when the  
40 next week comes, I just -- the old one and I write a  
41 new one again. But, I always print it out and I have  
42 one folder.

43 Q Okay. And you just put the major stuff, or do  
44 you put everything?

45 A Not everything.

46 Q Okay.

47 A But, that one was important to know.

48 Q And then you print it out.

49 A And I always try to put as much as possible  
50 so they, so they see that we are doing something.

51 Q You print that out and or do you send it by  
52 e-mail to the chief?

1 A Both.

2 Q Okay. And do you have a long history of  
3 these, a lot of these documents, weeks, in your  
4 computer?

5 A I only have in the folder, and the folder is  
6 maybe so thick, for how many year back, I don't know,  
7 but, maybe three, three years back, I am not sure.

8 Q And what do you call that folder?

9 A Weekly, weekly work, I don't have any name on  
10 it.

11 Q Okay.

12 A But, I have it on my desk all the time.  
13 Weekly maintenance.

14 Q Is any of that work put into OMOSIS, the  
15 repair work?

16 A Yes, it is. Yeah, not all of it. Not all of  
17 it, I don't usually put in if you have to change any,  
18 anything slight or if you have to repair some leak and  
19 some, I don't usually put that in.

20 Q If you would --

21 A I write it only there, if I overhaul pumps,  
22 that is, I have only write it in, in the weekly  
23 maintenance reports.

24 Q Okay. Tell us about the boilers, the sort of  
25 problems you have been having with the main boilers in  
26 the past six months or so?

27 A Like I say from the day start, I have all  
28 these things on tubes leaking, so, whenever it happen,  
29 we have to, we have normally, we use two boilers to St.  
30 Martin, and from St. Thomas and back to the Island, we  
31 use three boilers. If we have, if we have all of the,  
32 all of the generators running, but like, no, we have  
33 knocked 17 out so we use three boilers all the time.  
34 So, when we have a leak, then we have to take the  
35 boiler out, and put another one in. So, as you can see  
36 in the, in the weekly maintenance report, you will see  
37 there have been lots of jobs by plugging generating  
38 tubes and also some -- pipes.

39 Q What other kinds of problems have you been  
40 having with the boilers in the past six months, say?

41 A I have only been there, this is my first  
42 contract as first engineer, so, I have been there for  
43 three months now, and it has actually only been this  
44 leaking. Generating tubes mostly.

45 Q Okay. So this is your first contract as first  
46 engineer and you have been aboard for three months.

47 A This contract.

48 Q This contract. How about before, could you  
49 tell us about your experience aboard the Norway, when  
50 you started sailing on the Norway and what ratings,  
51 what positions?

52 A Second engineer.

1 Q And when --

2 A I have been second engineer for more than  
3 four years.

4 MR. ROTH-ROFFY: I am going to go ahead and  
5 let Ken Olson ask his questions.

6 MR. OLSON: Thanks, Tom.

7 BY MR. OLSON:

8 Q I just have a few. I have got to talk to  
9 somebody.

10 Have you ever heard anyone, any of the other  
11 engineers or perhaps when you were second assistant,  
12 talk about micro cracks in the boilers or micro  
13 fractures?

14 A No.

15 Q Has anyone ever discussed the reasons behind  
16 various tube failures?

17 A You mean why they are --

18 Q Yeah, generally speaking.

19 A -- leaking. Why there is a leak?

20 Q Yes.

21 A The boiler is more than 40 years old, so  
22 there is --

23 Q Yes.

24 A So, the tubes, some of the tubes is not in  
25 the best condition.

26 Q Yes. Is there any record kept of the tubes  
27 that have been plugged or repaired?

28 A I don't know.

29 Q You don't know. Okay.

30 At any time during your stay on the Norway  
31 have you heard any, any discussion or have you become  
32 aware of any discussions related to the fuel pressure  
33 regulator feeding the starboard boilers? Problems  
34 associated with not maintaining a steady pressure.

35 A Yeah, we have sometime problem that it is not  
36 maintaining, yes.

37 Q Okay. Have you --

38 A And I know that because I always was watch  
39 keeper.

40 Q Yeah. Have you ever lost the fires because  
41 of that?

42 A No.

43 Q No. What happens when it gets too low, what  
44 happens to the fires?

45 A You can say there are two system, one is  
46 maintaining 30 kilo that is from the pump, and then you  
47 have another one that is making, when we have a change  
48 of loads, so, whenever you can take the, that one who  
49 maintains 30 kilo if it come down to 20 kilo, and the  
50 boiler are in full loads, maybe 16 kilo, so you still  
51 have enough fuel pressure.

52 Q To the burner front.

1 A Yes. And, and stand-by pump starts at around  
2 25. And you have high speed and low speed, so --

3 Q So, there is a setup for the stand-by to  
4 automatically start should the fuel valve open too much  
5 or close too much. Now, forget that.

6 The stand-by fuel oil service pump will start  
7 based on the discharge pressure of the primary pump,  
8 not necessarily the pressure after the regulator,  
9 right, is that correct?

10 A The regulator, there are two regulator. That  
11 one was giving the pressure into the burners.

12 Q Yes.

13 A And the other one is only maintaining 30  
14 kilo, so when the, just the valve is kind of a recert  
15 valve, so, if you have low load in the boiler, the  
16 recert start open more. And if you have high load in  
17 the boiler, and recert has to close, so it can maintain  
18 this.

19 Q Okay.

20 A And if we have two boiler in at the same  
21 line, we have to have the pump at high speeds.

22 Q Pump at high speed.

23 So, is there recert valve the pressure  
24 regulator that you are, or are there two devices that  
25 control the pressure?

26 A There is one to maintain the 30 kilo and then  
27 you have the other one that is maintaining the load for  
28 the boilers, whatever, from 10 to 15 kilo, 16 kilo.

29 Q If that recert gets stuck open, what happens  
30 to the fires at a low load or even at a high load?

31 A If it gets stuck full open, you will, the  
32 standard pump will start, but I have never tested out,  
33 I mean, if you can, if you can open the recert full,  
34 and still maintain the pressure, I never tested it out,  
35 so I cannot say exactly.

36 Q Okay. What will happen.

37 A But, you, if you have two pump running, you  
38 will, I cannot say how much, how much faster you can  
39 maintain on the boiler, with full open, I don't know.

40 Q Okay.

41 MR. ROTH-ROFFY: Let me just stop the tape  
42 here and turn it over.

43 (Change of tape.)

44 MR. ROTH-ROFFY: We have just switched the  
45 tape over. Back to Ken Olson.

46 BY MR. OLSON:

47 Q Regarding rotating the fuel filter that is  
48 done every watch typically, is that a single filter or  
49 a duplex filter?

50 A There is two.

51 Q There is two.

52 A Of course, because if you have --

1 Q Yeah, okay.

2 A It will start, you are out.

3 Q Now, have the firemen or oilers, when they  
4 switch it over, ever made mistakes like leave a drain  
5 open and drop the pressure to the boiler?

6 A Not that I know.

7 Q Not, not that you know.

8 Or switch over to an empty strainer.

9 A They are never empty.

10 Q No.

11 A If you clean it, they always, then you have  
12 to fill it up.

13 Q Well -- I am just wondering if, where any  
14 mistakes. How about suction strainer on the fuel oil  
15 service pumps, when do they change those over?

16 A How often, I don't know.

17 Q And are those duplex, too?

18 A Yes.

19 Q Are you aware of any time that somebody may  
20 have made a mistake changing that over?

21 A No.

22 MR. OLSON: Okay. Thank you very much.

23 Thanks.

24 MR. ROTH-ROFFY: Okay. It is about five  
25 minutes after five, due to the hour, we would like to  
26 go ahead and convene this interview now and we would  
27 like to ask you come back tomorrow. Are you available  
28 to come back tomorrow?

29 MR. FLESELAND: Yes.

30 MR. ROTH-ROFFY: All right, we will talk about  
31 the time. So, this concludes Part I of the interview  
32 of First Engineer. Thank you very much.

33 (Whereupon, at 5:05 p.m., the interview was  
34 recessed, to reconvene, May 31, 2003.)

35

## P R O C E E D I N G S

1  
2 MR. ROTH-ROFFY: Okay. Good morning. It is  
3 about 8:25. The date is 31 of May 2003. And we are  
4 resuming our interview with the First Engineer, Dan  
5 Fleseland.

6 My name is Tom Roth-Roffy, and I would like  
7 to now pass the questioning to Brian Curtis.

8 MR. CURTIS: Brian Curtis.

9 BY MR. CURTIS:

10 Q Mr. Fleseland, regarding initially when you  
11 woke up, I understand you were asleep when the  
12 explosion occurred, when you woke up, had the vessel  
13 already blacked out or were there still lights?

14 A Well, when I, when I wake up, at the same  
15 time I heard a fan in my cabin for the ventilation  
16 stop, then I know there was a blackout. And then, then  
17 I feel the vibration from the emergency generator, that  
18 it starts. So, just going, only a few seconds from the  
19 blackout to those engine starts.

20 Q And the emergency generator starts on its  
21 own?

22 A Yes.

23 Q After --

24 A -- failure.

25 Q Regarding the combustion control, the Siemens  
26 hardware electronically, well, first, let's go back.  
27 Boiler wise, did you, when you were second, were you  
28 ever in charge of the boilers?

29 A No. They never had that system. But, on this  
30 ship, with older ship, you always work with this, but I  
31 not have the boiler. I have other systems.

32 Q On this vessel you were in charge of  
33 maintenance for the boilers, on the Norway?

34 A As a second engineer, no.

35 Q As purse, if you had a problem with the  
36 combustion control management, the Siemens portion of  
37 it, would you work on that? Have you worked on that?

38 A If it is electronic problems, then we used to  
39 have this electronic engineer to, to search for and  
40 repair the electronic problems. I have not, I am not  
41 an electrician, so, that is why he --

42 Q Was there any repetitive history that coming  
43 up that you are aware of that he was having a problem  
44 with on the combustion control system?

45 A Sometimes, but there was not any problem as I  
46 know, as I don't know, but -- But, they were working,  
47 my time ran out, for three months they was working with  
48 the lower plan for the boiler 24. But, sometimes you  
49 had to adjust manually from the flaps, but that was  
50 working -- on the boiler.

51 Q So he was having trouble controlling the fan.

52 A The -- to get burned, so they find out that



1 one of the flaps was staying the wrong way, makes it  
2 too hard for the electric -- That is all. But, they  
3 fixed it. The changed the motor and they find the  
4 problem.

5 Q And maintenance such as this, is this kept in  
6 AMOS or is this kept, where would that maintenance  
7 record be kept, this type of maintenance?

8 A In the book of, the book you saw from  
9 Nicolaisen.

10 Q The book kept in the engine control room.

11 A No, this, there are, every system, whatever  
12 it is, fuel system or the turbine lighters, all system  
13 they have a book in the control room where everybody  
14 writes also what they have done. And if it is  
15 something they have, they, if there are some jobs from  
16 the laborers, it would be put back in the AMOS, when  
17 they are done it. But, like this work, it was not  
18 there, it is only used to write in these books. And  
19 also the book to tell the first engineer -- and if it  
20 is, like I told you yesterday, if it is some, more  
21 bigger job, then I also put it in my report I send to  
22 Staff Chief and they again send it to the  
23 Superintendent.

24 Q Okay.

25 A And that, that I also have in one folder on  
26 my desk.

27 Q So, is there a book specifically for  
28 combustion control or --

29 A I don't know. You must find out from -- or  
30 the chief electrician, but they are under him, too.

31 Q I understand you weren't, didn't have the  
32 boilers under your direct duties, but, being first,  
33 were you ever aware of burners tripping for no  
34 explanation? Just randomly tripping off line, a  
35 burner, itself, or a boiler?

36 A Why it trip? You mean, if one burner fall  
37 out?

38 Q Shut off.

39 A Yes, that is, if you mean only one, and the  
40 other one is still in, then it is normally, you have  
41 this -- sensor, sometime they become dirty, or they  
42 lose the electric signal and the fuel automatic cutoff.

43 Q To your understanding, was that a frequent  
44 problem, for those sensors or that they had to clean  
45 them very frequently or just a very random act that the  
46 burner would trip like that?

47 A I cannot say exactly how often, but it  
48 happened, it happens, but it happens.

49 Q And the same for the boiler, could you, did  
50 you have problems with the boiler just off line or  
51 shutdown for any unknown reason?

52 A Not problem because of any of the automatic,

1 but, there was, there was one day in my time, though,  
2 that one boiler fall off because of they did not have a  
3 look after the -- temperature, so it was like the  
4 automatic, you have also manual spray valve for the --,  
5 so a temperature come up more than 1219 something, and  
6 the boiler tripped. But, that were nothing wrong with  
7 the combustion.

8 Q Back to the record of the boilers and  
9 condensers to basically the engine room tubes, how, how  
10 would you know as relieving first, that you got to the  
11 point that you want to, you want to retube a condenser  
12 or boiler, what record do you have to know how many  
13 tubes in a boiler or a condenser are plugged, have been  
14 plugged?

15 A I don't have, I don't know how many tubes are  
16 plugged, but, we have some kind of records up in the  
17 chief engineer office about the boilers, because I  
18 don't know for some time I go, I heard they had some --  
19 about what was plugged and what was not retubed. I  
20 can remember in '99, when I joined the ship, they  
21 retubed nearly the whole boiler of 22 and also boiler  
22 23 was nearly everything was retubed. Twenty one, 24  
23 is, was not so much retubed.

24 Q So if you wanted to find out how many tubes  
25 or plug say in boiler 22, you would go to the chief  
26 engineer's office and look for the record there.

27 A As I know there is nothing plugged on boiler  
28 22.

29 Q I am just saying as an example.

30 A Which is quite new. No, I would have to ask,  
31 because I don't have anything.

32 Q Yes.

33 A But, they have asked the company many times  
34 to get money on people to retube those two other  
35 boilers.

36 Q Which two boilers?

37 A Twenty one and twenty four.

38 Q Regarding the compliment of individuals on  
39 watch, for one given watch, I would like to go through  
40 and have you tell us how many people are on watch,  
41 where each person on watch is stationed and his  
42 responsibilities on watch? Just go through each  
43 individual and their position.

44 A Okay. Yeah, because that forward, in the  
45 forward engine room there is a watch keeper who have  
46 looking, for bilge in the forward engine room, and  
47 forward staff room and forward boiler room and forward  
48 auxiliary engine room, and keeping, having a look to  
49 see if he sees anything wrong, he changing fuel  
50 filters, oil filters, if necessary for the engines.

51 Q And this, this is one individual's  
52 responsibilities?

1 A Yes. And he also --

2 Q And his title is?

3 A That, normally it is motorman or, or oiler.  
4 Some of them is also stokers, because after, some of  
5 them have been here for so many years, so, they get  
6 promoted.

7 Q Okay.

8 A Otherwise their salaries are very low if you  
9 go engine -- because normally they didn't have, they  
10 stay up a long time.

11 Q Okay. I just want to establish a clear  
12 understanding of who is on watch and his  
13 responsibilities here. So, let's go through that  
14 individual again. He is going to be a motorman we are  
15 talking about, first, correct?

16 A Not necessary. Some of them are motorman,  
17 some of them are stoker, but, this is actually the  
18 same, same salary, but --

19 MR. CMAR: May I interject? This is Steve  
20 Cmar. Is there a minimum level at which this person  
21 must be? Maybe you could explain the hierarchy that  
22 people start as --

23 MR. FLESELAND: --, boiler, and motorman or  
24 stoker.

25 MR. CMAR: So, are motorman and stoker on the  
26 same level?

27 MR. FLESELAND: Yes.

28 MR. CMAR: Kind of, okay. So, in this  
29 particular case either a motorman or a stoker could be  
30 on watch. But, that is the minimum they should be  
31 qualified.

32 MR. FLESELAND: I, nobody had told me about  
33 any kind of minimum, also engine boy, who was, no,  
34 oiler had been there.

35 MR. CMAR: Okay.

36 BY MR. CURTIS:

37 Q So, this individual, say a stoker, his  
38 location during watch and his responsibilities, let's  
39 go there one more time.

40 A He is forward engine room, and forward boiler  
41 room, mostly, but he is also keeping an eye on the  
42 forward stabilizer room, if the -- is out or other  
43 bilge. And he also taking readings for the -- and also  
44 the bilge and forward auxiliary engine room. So, for  
45 example, he, if he heard anything, problem with some  
46 pumps or something, he will go to control room, go to  
47 engineer and he will just go to the, take a look to  
48 control room or to say aft boiler room.

49 Q Okay.

50 A And then you have the watch keeper, who is a  
51 stoker, who is in the aft boiler room all the time,  
52 watching the boilers. And you have a motorman --

1 Q Just a little more detail on the stoker in  
2 the aft boiler room, his, his details, on the boiler  
3 what is he responsible for?

4 A It depends on which watch, 8 to 12, 12 to 4,  
5 4 to 8, one of them is the man who cleans the burners  
6 they have taken out. Another one changed them, and one  
7 of them is doing the -- For example, 12 to 4 was, he is  
8 doing the -- And 8 to 12, he is changing the burners.  
9 He usually change burners for one of the boiler every  
10 day, 8 to 12, night time, 12 to 4 night time, like  
11 that.

12 Q When they are on watch, actually on watch,  
13 what are their other responsibilities, typical, on  
14 watch, duties?

15 A Is to keep an eye on, they are also turning  
16 the fuel filters and if necessary they have to get a  
17 change any suction filter or they do that. And they  
18 also have responsibility for the, say the housekeeping  
19 in the boiler room, to clean the floor and make sure  
20 there is no garbage. They are not emptying the garbage  
21 drum, but they keep the boiler floor clean.

22 Q Now the filters, you mean, the fuel pump  
23 filters?

24 A Yes.

25 Q If they are dirty, they have to notify  
26 anybody else or is it okay for them just to go ahead  
27 and change them?

28 A It is okay to change them. You will hear it  
29 very, but if the pump starts to make noise, to get low  
30 suction pressure. Also if the fuel tank start to below  
31 level, then the suction pressure drop, you get a noise  
32 from the pump.

33 Q There is two. Now, the third individual on  
34 watch.

35 A There is one motorman who take care of all  
36 the transferring and filling of the water tanks and --  
37 tanks. He is filling, the filling from the operators,  
38 and he also transferring of the water to the day tank,  
39 plus water day tank.

40 And the engineer, you need at least one in  
41 the control room, and two down, because of when you  
42 have standby, this would be one second engineer in the  
43 boiler room, and one in the aft engine room.

44 Q During standby?

45 A Yes.

46 Q One in the engine control room.

47 A Yes.

48 Q And --

49 A There has to always to be at least two  
50 engineers in the engine room on watch and one in the  
51 control room, that means three.

52 Q The duties of the engineer in the control

1 room, his position and his duties?

2 A Position is second engineer. His duties is  
3 like to, to, for example, there is possible he have to,  
4 to take care of whatever alarm that comes, and  
5 anything, if it is important he has to call down to the  
6 guys down. But, they have all the same, in the control  
7 room, for the maintenance in, they have in the boiler  
8 room, aft engine room and aft -- engine room. But, the  
9 people there are not watching all the time. It is  
10 only him.

11 And the other duties of his, for example, in  
12 and out of the -- zone, or 12 -- zone, call from  
13 bridge, so, it is about, bilging of a boat from the  
14 marine clock, and the sewage operating. All the time  
15 up to now, nearly up to now, maybe for three, four  
16 weeks back, they were doing this operating, but, now  
17 there is an environmental officer, who, who are open  
18 and closing and looking at the padlock -- valves for  
19 the marine clock bilge. And his is operating the  
20 sewage and they have to record everything they are  
21 doing, sewage, bilge, and also we have, yeah. This  
22 book is in the control room and then they are filled  
23 out, they get a new one and they get, they get stored  
24 upstairs, someplace, I don't know, the environmental  
25 are doing that.

26 And of course, they have to, to keep an eye  
27 on the loads, the generators, main engine, vacuum,  
28 boiler pressure, everything.

29 Q Okay.

30 A And of course, that is when you are steaming,  
31 but when you have standby, you have, you have the  
32 checklist and you are also calling the other people for  
33 standby, an electrician, chief engineer, staff chief  
34 engineer. They should also be there during this time.  
35 I am not involved in, in, when we have a standby. I am  
36 only, my working time is day time.

37 Q Okay. That is the second engineer in the  
38 control room.

39 A Yes.

40 Q Now, you said there was another second  
41 engineer as well?

42 A There are two.

43 Q Okay.

44 A It doesn't have to be two second, but there  
45 is one second and at least one third. We had, when I  
46 come, just after I come, they promote two Filipino  
47 stokers to third engineer and they also hire one  
48 Indian.

49 Q And that second individual or the third, his  
50 duties and responsibilities on watch?

51 A That is I can say normal watch keeping, like  
52 keeping an eye, walking around, checking rounds, make

1 sure that the workman are doing his duty, the stoker  
2 doing his duty, and you also have to keep an eye on  
3 diesel generators and have a look and see that the  
4 forward was doing his duty. They should also cooperate  
5 as a team.

6 Q Okay. So we discussed the second engineer in  
7 the engine control room. The other engineer outside  
8 of the control room. At normal sea steaming, that is  
9 all is required to bring it in. And in standby, you  
10 require an additional engineer, correct?

11 A No, they are always two, two down and one in  
12 control room. That is enough. But, they, when they  
13 are doing standby, they also call the chief engineer,  
14 staff chief engineer and one electrician. Chief  
15 electrician or, or the, or the first electrician. And  
16 during standby into Miami, there is also one Filipino  
17 motorman in the forward boiler room.

18 Q In the forward boiler room.

19 A Yes, for the generators.

20 Q And that is all the personnel required?

21 A As I know, yes.

22 MR. CURTIS: That is all I have right now.

23 MR. ROTH-ROFFY: Chris?

24 BY MR. OELSCHLEGEL:

25 Q Chris Oelschlegel with the Coast Guard. Good  
26 morning.

27 Can you describe in the, in the aft boiler  
28 room, what methods do you have in the boiler room for  
29 checking the condition of the fires? In other words,  
30 do you have any visual methods that you can check that  
31 the --

32 A You can open a small, what do you call it,  
33 signal with a mechanical flaps, that you can move it,  
34 there is some kind of --

35 Q Right.

36 A You can see that the flames --

37 Q Right.

38 A You can see it from there. And then you have  
39 this, and that is the only way you can see it is by  
40 your eye, but you have also this photocell on each, to  
41 indicate on the panel.

42 Q Right.

43 A For to see how strong the signal is. If it  
44 become too low, the burner trip.

45 Q Right, Okay.

46 And do you have, as far as checking the  
47 combustion, the fuel air mixture and the quality of the  
48 combustion in each boiler, do you have a periscope, do  
49 you have a means for checking the stack exhaust from  
50 inside the fire room?

51 A There was, originally there was a periscope,  
52 but somehow, somebody cut them down. I don't know why.

1 But, that was before I come here.

2 Q Okay.

3 A But, no, you have just the analyzer in the  
4 control room, you can see that. And there are smoke  
5 detectors downstairs in the -- they have all those, and  
6 they are not working. And otherwise you have monitor  
7 on deck that you can see, in the control room you see  
8 the aft, but you can only see there in day time when  
9 you have lights.

10 Q Yes.

11 A Not at night time.

12 Q Now you mentioned earlier OSMOSIS, were you  
13 referring to a reverse OSMOSIS water maker?

14 A Yes.

15 Q Okay. Is that used for, is the water that  
16 reverse OSMOSIS water maker makes, is that used for  
17 makeup feed for the boilers or is it just used for  
18 potable water?

19 A For those directly into that fresh water day  
20 tank.

21 Q Into the fresh water day tank. Okay. You  
22 mentioned that earlier.

23 Now, for the water that is used for make  
24 up feed for the boilers, how do you produce that water?

25 A That is only produced from the aft operators,  
26 number 21 and 22.

27 Q Okay. And where are those located?

28 A Aft engine room.

29 Q In aft engine room. Okay. Okay.

30 All right, prior to the, prior to this  
31 incident, had you noticed any increase in the, in the  
32 amount of makeup feed water? Was there any, any notice  
33 or increase in the amount of makeup feed water that was  
34 being used in the system?

35 A No, not like, normally, if you have a boiler  
36 leak, you, you see -- obviously they are taking reading  
37 every watch.

38 Q Okay.

39 A So, yeah.

40 Q Okay. And can you tell us who is responsible  
41 for the boiler chemistry? Who takes --

42 A The chemical?

43 Q Yes.

44 A There is one second engineer who have that as  
45 his own system.

46 Q Okay.

47 A So he is taking boiler tests up in the  
48 laboratory in the control room, in the control room.

49 Q Okay. Okay. And he is, I am sorry, he is a  
50 second engineer you said? And that is his  
51 responsibility?

52 A Yes and that is he doing the dosing, taking t

1 he test, doing the dosing and then taking, and he is  
2 also keeping the records every, every week he count oil  
3 drums -- the chemicals store.

4 Q Okay. Okay. Have there been any, this is  
5 back on the boiler combustion control system again, any  
6 problems with, to your knowledge, of a low water alarm  
7 or a high water level, as far as the system being able  
8 to indicate either a low water lever alarm or high  
9 water level alarm?

10 A For the boilers?

11 Q Yes.

12 A No, they are working.

13 Q They are working, okay.

14 A Yes.

15 Q Okay. Fine.

16 Let's see.

17 (Pause.)

18 MR. OELSCHLEGEL: Okay. That is all I have for  
19 now. Thank you.

20 BY MR. CMAR:

21 Q Steve Cmar, NCL.

22 Earlier you mentioned, when someone had asked  
23 you about -- control and repair history and you  
24 mentioned a lower fan. Was that, what boiler number  
25 was that again?

26 A Twenty four.

27 Q It was 24. Okay. I just wanted to make sure  
28 of that.

29 During the 4 to 8 watch would you know, the 4  
30 to 8 watch on the day of the casualty, would you know  
31 if any work was being done in the engine spaces,  
32 specifically in the aft boiler room?

33 A Yes, they was working, we had just plugged  
34 one generator in it from the day before, the pressure  
35 test after they had plugged the generator into, between  
36 steam drum and -- on boiler 21, and that was pressure  
37 tested and after that you are suppose to, to start --  
38 in the, in the front row.

39 Q And that was for --

40 A Twenty one.

41 Q That was boiler 21. So, during the watch,  
42 work was going on with that during the watch, during  
43 the 4 to 8 watch that morning?

44 A No, no, no, no.

45 Q No.

46 A This is only day, day man is not until eight  
47 o'clock in the morning, so.

48 Q Okay.

49 A There was no day people, all day people were  
50 sleeping.

51 Q Okay. During that 4 to 8 watch, again, in the  
52 aft boiler room specifically, you have one person that



1 is there all the time.  
2 A Yes.  
3 Q And on the 4 to 8 watch his job is to clean  
4 the burners?  
5 A No.  
6 Q No. Okay. What does he do, what is his, in  
7 that rotation of stokers, what does, what is he suppose  
8 to do? One of them changes the burners, one of them  
9 blow soot, what does the 4 to 8 watch do?  
10 A First of all, they only changing 8 to 12 in  
11 the evening, not in the morning, but in the evening.  
12 Q Okay.  
13 A They are changing burners on one of the  
14 boilers, every day they --  
15 Q Okay.  
16 A And the soot blowing is only 12 to 4, night  
17 time. Not day time, only night time.  
18 Q Okay.  
19 A And when 8 to 12 watch in the evening sees  
20 burner, they take them out and they are cooling and I  
21 am not sure now, but I think it is 4 to 8 watch who,  
22 and he come down again, he clean them and make them  
23 ready for use for 8 to 12 watch again, night time.  
24 Q Okay. Now that is kind of like standing  
25 duties during the watch.  
26 A Yes. We have, we have one who is down there,  
27 say 4 to 8 person, like that, like that.  
28 Q And tells them what to do.  
29 A Yes. Tells them what to do.  
30 Q Okay.  
31 A I don't have everything in my head, but --  
32 Q Okay.  
33 A But, there is a --  
34 Q That is fine. Again, on that watch, 4 to 8  
35 watch when the casualty occurred, was there anything  
36 else they may have been working on in the engine room?  
37 A No, not that I can think about.  
38 Q And if there was --  
39 A I guess he, after standby, he, he just having  
40 a look at the alarms and combustion systems.  
41 Q But, specifically no work on the fuel system  
42 or anything like that.  
43 A No, no.  
44 Q And if there was something they worked on,  
45 there would be one of the books in the control room  
46 that would, that would --  
47 A Yeah, but, this, the stoker on this thing,  
48 they are not doing any kind of maintenance like that.  
49 And two of the guys, because there are three stokers,  
50 they have also their own system. They are under the  
51 second engineer. But, for that boilers, it was  
52 actually two guys of the stokers who is under

1 Nicolaisen, Second Engineer Nicolaisen his the boilers.  
2 You are doing maintenance, whatever he, he tell them  
3 what to do, changing the filter and all, whatever,  
4 greasing, or whatever. And there is also one Filipino,  
5 day man, was there, who are doing the maintenance of  
6 the, say the --

7 Q So most of the work of that nature is day  
8 work then because it wouldn't done on that kind of  
9 watch, is that what you are saying?

10 A Yes.

11 Q Okay.

12 A There was, you are not suppose to do any kind  
13 of big job except for as a watch keeper to watch.

14 Q Okay.

15 A But, over they have some overtime, they work  
16 together with the day man.

17 Q All right.

18 A Helping him with whatever it is.

19 MR. CMAR: Okay. I don't have anything else  
20 right now.

21 MR. ROTH-ROFFY: Okay. We will maybe make one  
22 more round. I have got a couple of follow up questions  
23 for you.

24 BY MR. ROTH-ROFFY:

25 Q Regarding the fuel oil suction tanks, I  
26 believe you call day tanks, for the boilers. Who is  
27 responsible for --

28 A Transferring.

29 Q -- transferring and switching tanks?

30 A We have a Filipino man, he was a transferring  
31 man, who is only working with the transfer work. So,  
32 so, he is the man who, who, who was doing all the  
33 transferring for diesel and fuel. Also diesel for the,  
34 for the, for the diesel generators, and normally he is  
35 always there 8 to 12 watch, morning and evening. And  
36 when we go and get three boilers, he have more work to  
37 do, we are using more fuel. So, sometime he, I guess  
38 he is down already at six o'clock at least in the  
39 morning. And sometimes he is also working longer than  
40 12 o'clock in the noon also. Because I have seen him  
41 down there sometimes two, three o'clock. But, but, if  
42 he is off, he is sleeping, then it is the engineer on  
43 watch to exchange over the fuel tank. We have, as you  
44 say, gauge glass, to tell you what the level is. That  
45 is for gauge in the aft -- room.

46 Q Sorry, could you repeat that, the gauge glass  
47 is located in the aft --

48 A In the -- in the midway.

49 Q So this Filipino man, his name is?

50 A Just now? It was, what is the name, Ladines,  
51 Ladines is the last name, the first name is, no --  
52 Cypro(ph) I think they call him --

1 Q All right, I will spell it for everybody's  
2 information. L-A-D-I-N-E-S. First name Cipriano,  
3 C-I-P-R-I-A-N-O.

4 Now is this, I am sorry, what was the name  
5 again, Ladines, Ladines.

6 A Ladines.

7 Q Is he as watch stand or a day worker,  
8 obviously he is not a day worker, but what is his  
9 classification?

10 A He is on the watch list from 8 to 12.

11 Q Oh, he is --

12 A But, he have to work some overtime when we  
13 have large consumption of fuel, then it makes more work  
14 for him. Like I told you yesterday, before when we are  
15 sailing down to St. Thomas, and St. Martin from Miami,  
16 we use two boilers, and three boilers back again. So,  
17 we have to use more of the turbine generators due to  
18 one of the big mac, it is not, it is large maintenance  
19 doing this on the generator. That means he has to work  
20 to doing this transferring more often due to, due to  
21 this large consumption.

22 Q Okay. So he is an 8 to 12 watch stander. He  
23 is a stoker. And does he normally also operate the  
24 boilers?

25 A No, no, no. Only the fuel, transferring,  
26 only the transferring.

27 MR. ROTH-ROFFY: Okay. I am going to have to  
28 switch the tape now. I will go ahead and pause for a  
29 moment.

30 Would you like to take a break? Are you  
31 okay?

32 MR. FLESELAND: I am okay.

33 (Change of tape.)

34 MR. ROTH-ROFFY: Okay. It is about 10 minutes  
35 after nine. We are resuming with a new tape with the  
36 First Engineer.

37 BY MR. ROTH-ROFFY:

38 Q I am little bit confused about, his job title  
39 is stoker, the fellow that does the fuel transfers.  
40 What is his counter part on another watch? There are  
41 three other un-licensed people on watch, correct? There  
42 is the water man, the engine man that works up forward  
43 and the stoker man that does the boiler.

44 A Yes.

45 Q Operates the boiler.

46 A Yes.

47 Q Now, this fellow is also a stoker.

48 A Yes.

49 Q And if he was not on the 8 to 12 watch where  
50 would he --

51 A Well, he is always, always doing transferring  
52 8 to 12 watch.

1 Q But, is he equivalent to another stoker on  
2 another watch that is doing another duty? I don't know  
3 if you understand my question.

4 A He is not doing anything that watch keeping  
5 will have to do with boilers. He is only doing the  
6 transferring and he is also doing, when he, if he work  
7 overtime, he is doing the greasing of some pumps. He  
8 has a list. You know, there is more than 300 pumps on  
9 this ship, so he is doing that.

10 Q Okay. Does he do water tanks, too?

11 A No.

12 Q Okay. On the watch you have three engineers,  
13 one in the ERC, and two in the machinery spaces,  
14 correct?

15 A Yes.

16 Q And you have, so far you have told us about  
17 three un-licensed. You have one up forward, he is  
18 either a motorman or a stoker, an oiler, works that  
19 forward and take care of the forward spaces, the  
20 generators, the bilges, and the fuel filters.

21 A Yes.

22 Q And then you have a boiler, I am sorry, a  
23 stoker, that is strictly stands a watch on the boiler,  
24 operates the boiler, blows tubes, cleans burners, takes  
25 care of the filters. And then you have a waterman on  
26 watch that takes care of filling and transferring fresh  
27 water, correct?

28 A And distaline.

29 Q And distaline.

30 A And he is also doing the bilges in some of  
31 the rooms, like aft room, aft -- room, auxiliary room  
32 and the --

33 Q Okay. Now you have told us about another  
34 fellow on the 8 to 12 watch, that is responsible for  
35 transferring fuel.

36 A Transferring fuel, yes, and diesel.

37 Q Now, okay, so is it the case that on the 8 to  
38 12 watch there are seven watch standers and every other  
39 watch has six watch standers? Because it is not, I  
40 don't understand how it works.

41 A But, did I also, that is the normal  
42 engineering, three on each watch, but, there have been  
43 also five engineers, not now, but, but it depends,  
44 sometime you have somebody who start new for training,  
45 so you put them also on watch. So, sometime there is,  
46 there can be down three or four engineers.

47 Q And how about --

48 A And on the watch with Nicolaisen, there was  
49 two, total of four people. For the watch they had,  
50 three engineers.

51 Q Okay. Nicolaisen is a second engineer on the  
52 8 to 12 watch, is that correct?

1           A     Eight to 12, yeah, he was on 8 to 12.

2           Q     So he had three engineers and four  
3 un-licensed?

4           A     Eight to 12, he had himself, then two more  
5 second engineers, and one Indian third engineer, and  
6 then the waterman, stoker, watch keeper, and also the  
7 fuel transferring man.

8           Q     Okay. Is there any, does any other watch  
9 have four un-licensed watch standers?

10          A     No.

11          Q     Just the 8 to 12?

12          A     Yes.

13          Q     Okay. Thank you.

14                 You had mentioned about an incident where a  
15 boiler had shut down because of a high super heat  
16 temperature, since you have been a first engineer. Do  
17 you recall any other incidents of a boiler shutting  
18 down or tripping in the past, well, not so much past  
19 three months, but in your previous, let's start first  
20 with your, in the last three months as first engineer,  
21 other than the time you mentioned, has there been other  
22 times boilers have tripped off?

23          A     No, no. Not that I remember. No.

24          Q     Okay. Can you recall any other times when you  
25 were sailing as a second engineer when the boiler had  
26 tripped off?

27          A     No, not as failure of the boilers. But,  
28 they, as I say, if you have got a blackout somewhere,  
29 they will automatically fall out because of power  
30 failure, electrical power failure.

31          Q     The second engineer is on watch, you  
32 mentioned that they need to cooperate, could you  
33 describe how they, among themselves, break up coverage  
34 of all the shared spaces? For example, does one of  
35 them stay in the boiler room all the time?

36          A     No, no, no. They have their schedule to work  
37 around, and look and see if any, like when they come  
38 down, they always have, they always meet the other  
39 watch team in the aft stabilizer room, and then they  
40 talk, and they also have one, one board in the boiler  
41 room they use to write things, whatever they have done.  
42 So, and after they have, as I say, they have maybe a  
43 cup of coffee, and they, they take their work around,  
44 have a look to see, if they see something which is not  
45 normal. And normally, after they are done the second  
46 round, then they used to, maybe used to stay in the  
47 boiler room together with the stoker. Unless there is  
48 some place they have to be. They cannot walk around  
49 all the time for four hours, so, so, mostly there is  
50 someone in there. Because you also have some  
51 ventilation from the, it is not so hot, it is a good  
52 place to be and you also have the --

1 Q Okay. So, do you believe, with the engineers  
2 when they cooperate, would they tell each other, "look,  
3 I will take the forward machinery spaces, you take the  
4 after ones" or would they --

5 A They can do that. And maybe next time they  
6 change. But, if you have, when I used to be there, I  
7 used to take a round anyway, all over. At least two  
8 times in my watch, before I go and then I come on and  
9 when I go off. I cannot, I cannot say what the people  
10 are doing now, because I cannot be down in the engine  
11 room all the time. But, that is the way I used to do  
12 it.

13 Q Okay. You mentioned that one of the second  
14 engineers does water test and chemical treatment of the  
15 main boilers.

16 A Yes.

17 Q Which second engineer is that and how often  
18 does he do it?

19 A Up to this Sunday, he is suppose to go to, to  
20 take over the, the diesel engine because that man that  
21 was there, he is suppose to relieve Anvik, Junior 1<sup>st</sup>.

22 So, he will have one week overlapping. But, the man  
23 who take them up every day up to there, was Trond  
24 Kristensen.

25 Q And he was a watch stander on which watch?

26 A 12 to 4.

27 Q And how often did he do the testing?

28 A One time a day, if everything is normal.  
29 But, you can say also, when he is on watch, he may just  
30 look at the -- down, for example, if there any salt  
31 into the condensation system, then he knows there is  
32 something wrong and you have to start to do the  
33 skimming, so, I have also had this, this boiler test  
34 and then I used to take maybe some extra tests  
35 sometime, if I know there was something. Then you are  
36 doing the skimming the boiler, take maybe six, eight  
37 hours to get the salt out. So, it is not necessary to  
38 do the skimming more than, when you come down to that,  
39 so below 16 ppm, which is the maximum, it just take a  
40 second for the salt, and then you change the next,  
41 skimming. But, they normally take only the test in the  
42 morning. Or after his watch in the morning.

43 Q You mentioned that two stokers work under  
44 Nicolaisen. Could you, do you remember the names of  
45 those two stokers?

46 A One was, one, the nickname was Bone, but the  
47 name is, that man that died.

48 Yes, Valenzuela. And, him and the other guy  
49 who died, these two guys who died, they was under him.

50

51 (Pause.)

52 MR. FLESELAND: No, that is not it. He died

1 yesterday.

2 (Pause.)

3 MR. FLESELAND: Ramon Villarais. Ramon  
4 Villarais and Valenzuela, they were under Nicolaisen.  
5 The stoker, watch keeper, he was -- system.

6 (Pause.)

7 BY MR. ROTH-ROFFY:

8 Q I am going to go back to the fuel transfers  
9 for one quick follow up.

10 The fuel transfer fellow, Ladines, is he also  
11 responsible for shifting suction tanks for the boilers?  
12 Does he do that or --

13 A He do that. If he is down at that time, when  
14 he is on watch or he is working overtime with the  
15 transferring, then he will do that. Otherwise the, the  
16 second engineer or the engineer has to keep an eye.  
17 But, also the stoker will react because he will heard  
18 the pump start to make noise when the level come too  
19 much down.

20 Q Okay.

21 A But, normally it should not happen that this  
22 goes so far down. But, the stoker on watch he is not  
23 leaving boiler room, so he is not going into the  
24 stabilizer room for changing the fuel tanks.

25 Q Who would be responsible for checking the  
26 fuel tanks for water? Is that something that they  
27 normally do before they shift?

28 A To check the fuel tanks water, that is, that  
29 is the man before he has changed the tanks, even if it  
30 the transfer man or the engineer.

31 Q Okay.

32 A Just to drain out the water, keep an eye.  
33 Maybe it drain normal, or maybe for a few minutes.

34 Q And I am sorry, I would like you to describe  
35 a little bit more about the plant arrangement, how it  
36 varied from Miami South and south back. You said  
37 sometime it is two boilers and sometimes it is three  
38 boilers. And I really don't understand that. Could  
39 you describe why you have to do that?

40 A Use three boilers, because knot 17, they have  
41 to, they have to take out the starter to, to rewinding  
42 it, so then we are and we have two -- kilowatts less  
43 with the electric power, that means that we have to  
44 start up one turbine generator, who are using steam.  
45 That means you have less steam for the main turbines.  
46 So you, so, to maintain the speed of the ship back to,  
47 back to Bahamas from St. Thomas, you need to have  
48 three, normally three boilers, but no, also you have to  
49 use three boilers down to main the speed down to St.  
50 Martin, because you are using some of the steam for the  
51 turbine generators to make electric power. That is why  
52 you are using three boilers now all the time.

1 Q Okay. Did you say you are running three  
2 boilers all the time now?

3 A Yes, for the, since I come back from  
4 vacation, yes.

5 Q But, before that, were you running two  
6 boilers all the time or three boilers sometimes or how  
7 was that?

8 A Two boilers from Miami to St. Martin, and  
9 from St. Martin to St. Thomas also two boilers, from  
10 St. Thomas and back to Straits of -- in Bahamas, you  
11 had to use three boiler to maintain the speed.

12 Q Okay. And that is just to maintain the  
13 schedule that the --

14 A Yes.

15 Q -- the ship is on, you have to go just  
16 faster.

17 A Yes, that is what they have done for the last  
18 20 years.

19 MR. ROTH-ROFFY: Okay. That is all I have.

20 Brian

21 BY MR. CURTIS:

22 Q Brian Curtis.

23 Just a couple of questions. You said the  
24 periscopes have been cut out at some point.

25 A Yes.

26 Q So none of the boilers have periscopes?

27 A No.

28 Q That you can check the stack.

29 A No.

30 Q And the analyzers for the stack, they are  
31 currently not working you said.

32 A They have one smoke detector for each boiler  
33 down in the boiler room. They was not working.

34 Q And is there a mechanical problem with them  
35 or why aren't they working?

36 A Electric. Electric.

37 Q And where are those, electrically where is  
38 the problem, where is the location of the box where the  
39 problem is in?

40 A The box, you would have to ask, I only know  
41 that, that, they told me when I come aboard, then, then  
42 the reliever told me that there was all spare parts, or  
43 new or whatever. So, we were waiting for me.

44 Q For all of the boilers. Now the smoke  
45 detectors work.

46 A I guess it was all.

47 Q And regarding the stoker changing the fuel  
48 oil strainers, would, if it was, he was starting and  
49 there was a problem, and you are coming into port,  
50 would it be typical for him to wait to get in port,  
51 shut down and then go ahead and change the strainer, or  
52 you would normally do right then?



1 A There was never any shut down.

2 Q Right.

3 A So, you change the another one and you shut  
4 off that one who was in use and you, and you open up  
5 and clean, and put back in. This is only strainers.

6 Q Would it be typical for him, do you know, to  
7 change that every time he arrives in port, once he is  
8 in port and things have settled down to go ahead and  
9 change the strainer, clean the strainer? Or did he do  
10 it normally as soon as he changed it over?

11 A I can't say exactly what, if he changed it  
12 over first and he, or they cleaned it after watch or,  
13 or it was time, and they do it there, I cannot, I  
14 cannot say. You would have to find out from  
15 Nicolaisen then.

16 MR. CURTIS: Thank you, sir, that is all I  
17 have.

18 BY MR. OELSCHLEGEL:

19 Q Chris Oelschlegel. I just have a couple of  
20 quick questions.

21 The soot blowers, can you tell us how often  
22 the soot blowers are cycled or operated when the ship  
23 is underway?

24 A Every day. If the boiler is on line.

25 Q Yes.

26 A Every, every 12 to 4 in the morning.

27 Q Okay.

28 A The soot blow its boiler every day, it is on  
29 line.

30 Q Okay. And that would be once per day?

31 A Yes.

32 Q Once per day, okay.

33 And one other question that and this is when  
34 you are underway and sometimes, depending on your  
35 route, you are on two propulsion boilers, and then you  
36 said when you come from, on another return route you  
37 have three main propulsion boilers on line because of  
38 the steam demand or the speed that you need to make.

39 A Yes.

40 Q Do you rotate between, is there a normal  
41 rotation between the boilers that are placed on line  
42 out of the four propulsion boilers? You are on two  
43 boilers, do you operate this boiler and this boiler  
44 or --

45 A They always need to have one boiler on each  
46 cycle line, because this is for safety.

47 Q Okay.

48 A If you have two boilers on the same line,  
49 because depends if they get electric power from the aft  
50 switchboard, forward switchboard.

51 Q Okay.

52 A And also say each boiler have two -- they are

1 not getting the power from the same switchboard. So,  
2 if it is follow forward, then there must always be one  
3 boiler plant running, and opposite for the boiler on  
4 other sides. So, you can always, if you a power  
5 failure aft or forward, you can always maintain some of  
6 it, but you have to reduce the loads, that you can  
7 manage to, to keep the boiler alive. Only one -- It  
8 would level out.

9 Q Okay.

10 A Three, four burners.

11 Q And the last --

12 A Three burners.

13 Q Okay. The last question I had was if there,  
14 in the control room, is there a monitor for the fire  
15 room. Can you see --

16 A People --

17 Q Yes.

18 A No. There is, they have not made any monitor  
19 for aft boiler room.

20 MR. OELSCHLEGEL: Okay. That is all I have,  
21 thank you.

22 BY MR. CMAR:

23 Q Steve Cmar, NCL.

24 I think this was answered already, I just,  
25 the fuel strainers are changed on which watch or are  
26 they changed every watch?

27 A They have this kind of, what do you call it,  
28 it is -- filters for the discharge pressure, they have  
29 to turn them, I think it is five times every watch.

30 Q Okay.

31 A The suction filter, you only clean it when it  
32 is necessary, I guess. I don't think there is any, any  
33 routine in place exactly after two days or after one  
34 day.

35 Q And so you do that based on, on what, when  
36 you say when necessary, how do they determine when to  
37 change them then?

38 A There is a kind of, kind of indicator so when  
39 you have too big pressure drop over the filter, you get  
40 some, it turn from white to red or blue to red, I am  
41 not sure of the color, but, it starts to be more and  
42 more red.

43 Q Okay. So, this last question, on that  
44 particular watch, the 4 to 8 in the morning of the  
45 25<sup>th</sup>, would anybody, would it be logged or would  
46 anybody know whether or not the suction filters were  
47 changed?

48 A The stoker, they have a book --

49 Q Okay.

50 A -- in the, where they keep the telephone, in  
51 the aft boiler room, so, whatever they do on the watch,  
52 they write there, the soot blowing, or, yeah, whatever

1 it is. Whatever happened when they are on the watch  
2 there, they start firing up a new boiler or whatever,  
3 changing filters or whatever, they, they used to write  
4 it there, skimming or all this.

5 Q And that book is kept right at the phone?

6 A Yes, in the telephone box, they have it.

7 MR. OELSCHLEGEL: Okay. Thank you that is all  
8 I have.

9 MR. ROTH-ROFFY: I think we are almost done  
10 with you.

11 MR. FLESELAND: Yes.

12 MR. ROTH-ROFFY: Thank you very much for being  
13 patient with us.

14 BY MR. ROTH-ROFFY:

15 Q Could you tell us what your educational and  
16 training background is, where you went to school to get  
17 your maritime training?

18 A Yes. I, first I had some, what do you say,  
19 mechanical school two years, first level, second level,  
20 and then I had, then I had one year with building,  
21 steel plates, building, construction. And after that I  
22 took the second engineer school, and I start in the  
23 Navy for one year, where I was the boiler chief in, I  
24 was 12 months on the Fargate(ph) Steamship. And there  
25 I get my sailing time so I could get my lowest  
26 certificate for steam. And when I come home, after the  
27 Navy, I get the job in the Ferguson, with large tank,  
28 tank ship company. That was in the end of '91. And  
29 I was in that company for more than seven years, mostly  
30 on steamships, but I had, I had three, four contracts  
31 as engineer and also motor vessel and gas tanker. And  
32 in that time I also took the chief engineer school in  
33 '93, '94. And I joined this company, only on S.S.  
34 Norway I have been in January 1999 as a second  
35 engineer. And when I come back this time, as a first  
36 engineer.

37 In the, you can say, sometime I also done  
38 some job in the mechanical factory. When I have been  
39 home for vacation, otherwise I am, I am, I am there,  
40 only son, we have a farmhouse and sometimes I was  
41 working there.

42 Q You mentioned you are going to be going on  
43 vacation, it is the plan that you will return to the  
44 Norway?

45 A Yes.

46 Q In how long?

47 A Depends, this time I am suppose to come back  
48 10 August after 11 week vacation. Normally we have 10  
49 weeks on, 10 weeks off, but due to Christmas, then I am  
50 going to stay 11 weeks vacation and 11 weeks vacation  
51 onboard next time, so I can, so we don't need to change  
52 in, between Christmas and New Year.

1 Q Okay. And who is the other senior first that  
2 you will be changing with?  
3 A That is Lokkebraten.  
4 Q Could you spell that name, please?  
5 A Maybe be easier if you show him the list.  
6 (Pause.)  
7 MR. FLESELAND: Okay. Okay. Because we have  
8 this --  
9 (Pause.)  
10 UNIDENTIFIED SPEAKER: It is L-O-K-K-E-B-R-A-  
11 T-E-N, first Name is spelled A-G-E.  
12 (Pause.)  
13 MR. ROTH-ROFFY: I think that is all I have.  
14 Brian?  
15 MR. CURTIS: I don't have anything.  
16 MR. OELSCHLEGEL: I am all set. Thank you.  
17 MR. ROTH-ROFFY: Okay. Amazing, but we are  
18 actually finished now. And thank you very much, Dan,  
19 for coming down and talking to us and being so patient  
20 with us. Have a good vacation.  
21 That ends the interview of First Engineer Dan  
22 and the time is now about 09:45.  
23 (Whereupon, at 9:45 a.m., the interview was  
24 concluded.)