

NATIONAL TRANSPORTATION SAFETY BOARD
OFFICE OF MARINE SAFETY

SUBJECT: Major Marine Accident, DCA 03 MM 032,
Investigation Interviews

DATE OF INTERVIEW: Tuesday, May 27, 2003

INTERVIEWEE: John Cruys Magnus
Staff Chief Engineer, SS Norway

INTERVIEWERS: Tom Roth-Roffy, NTSB
Brian Curtis, NTSB
Ken Olsen, USCG
Carlos Paillacar, USCG
Steve Cmar, NCL
Richard Lehrer, Esq.
John Butchko, Miami-Dade Homicide
Nancy McAtee, NTSB

P R O C E E D I N G

(4:15 p.m.)

1
2
3 MR. ROTH-ROFFY: Okay, the time now is about
4 fifteen minutes after four p.m., on the 27th of May,
5 2003, and my name is Tom Roth-Roffy. I'm with the
6 National Transportation Safety Board. I'm a Marine
7 Accident Investigator. I and several other
8 investigators have come down to investigate the
9 accident that occurred aboard the SS Norway on May 25,
10 2001. The reason why we've asked you to come talk to
11 us is because we believe that you may have information,
12 which may be helpful in our investigation of the
13 accident.

14 The National Transportation Safety Board is a
15 safety, accident investigation board and our interests
16 are strictly safety. We do not concern ourselves with
17 the legal aspects. We don't try to place blame on any
18 person or any company. We're interested only in
19 determining what happened, what caused the accident,
20 and then to make recommendations aimed at preventing
21 similar future accidents.

22 So, what I'd like to do now is go around the
23 room and ask each interviewer to go ahead and state
24 their name, and their affiliation.

25 MR. CURTIS: Brian Curtis, NTSB, Marine

1 Engineering Accident Investigator.

2 MR. PAILLACAR: Carlos Paillacar, U.S. Coast
3 Guard -- investigation.

4 MR. OLSEN: Ken Olsen, Coast Guard,
5 Washington, D.C., Casualty Analyst.

6 MS. MCATEE: Nancy McAtee, Fire and Explosion
7 Specialist, NTSB.

8 MR. LEHRER: Richard Lehrer, on behalf of
9 Engineer Magnus.

10 MR. BUTCHKO: John Butchko with the Miami-
11 Dade Police Department, Homicide Unit.

12 MR. CMAR: Steven Cmar, Norwegian Cruise
13 Line.

14 MR. ROTH-ROFFY: Okay, thank you. So, we'll
15 go ahead and get started, sir, by asking you to think
16 back to Sunday morning. If you could, please, tell us
17 everything that happened on Sunday morning, from the
18 time you woke up until a period of time after the
19 accident when conditions were stabilized. Please try
20 to give as much detail as you can. You know, if
21 somebody told you something or if you told somebody to
22 do something or you saw something or heard something,
23 please give us that detail. It will help us. So, go
24 ahead and start from the time you woke up on Sunday
25 morning.

1 MR. MAGNUS: Sunday morning I was woken up by
2 a phone call at two thirty by one of the 2nd engineers
3 and they told me they had a small problem with one of
4 the two generators to get the idle speed of that one.
5 So, I went down, handled that one, so we could get that
6 online -- powers.

7 MR. ROTH-ROFFY: Right.

8 MR. MAGNUS: And that was really fast, so I
9 went down to my cabin and just waited. It was the
10 standby time. And when I went down to the control
11 room, and I was sitting there during the standby.
12 During the standby, everything was normal. Sometime we
13 had -- one time we had the alarm on the fuel
14 temperature on one of the boilers. I can't remember
15 which one it was, but that one was degraded down again,
16 so it was back to normal again.

17 After this time I was finished and I looked
18 over the boiler and everything was quite normal,
19 nothing unusual about the temperature and things like
20 that, so I went down to my cabin just to relax a little
21 bit, turned on the T.V., got a box of coke, and drink a
22 little there and as I was watching the T.V. about after
23 a while, there was some rumbling in the ship and the
24 poles were shaking in the ship, and then I ran out of
25 my cabin. I heard Code Bravo over the walkie-talkie.

1 Who said that, I don't know. They didn't say where or
2 anything like that. I went out of the ship, on the
3 deck, and I saw people were swimming from the ship.

4 I run in again, I met Daniel -- and we took
5 the elevator down to the Biscayne Deck, the forward
6 engine room, went out on the starboard side there, and
7 there was black smoke, blue smoke, steam, it was gray,
8 everything was -- the sprinkler system had released
9 there -- then I just stopped, walking out to the
10 control room to see actually what was happening or
11 where it was happening. When I passed the doors for
12 the boiler room, from the Biscayne deck, I could see
13 the smoke and steam was rising straight up the
14 smokestack.

15 Other than that point, I can't remember. It
16 was at that point I was calling the bridge radio and
17 asking them to call the general alarm and Code Bravo
18 from the ship. In the end, Daniel and me went together
19 to the control room and there was -- everything was
20 just shut down at that time.

21 So, me and Daniel -- we -- I first, I opened
22 the door down to the engine room carefully, and looked
23 in there, and everything seemed okay there. We started
24 walking down. During that time -- down to the tank top
25 -- between the main entrance -- I was looking into the

1 boiler room. I saw it was dark there and smoke there.
2 I tried to get further forward to the boiler room and I
3 found Mr. Rosall. He was coming out of the boiler
4 room. I didn't see how much burned he was at the time.
5 You could see that he had some black stuff around his
6 body and his face. He told us -- he said he couldn't
7 see. So, you know, softly bring him up -- pulled him
8 up into the control room and then I called for a
9 special team at that time.

10 During that time, the Chief Engineer was in
11 the control room, and there were some other people also
12 at that time. I didn't look so much in the boiler room
13 because I wouldn't -- not be there. I couldn't see any
14 fire or anything like that. Steam and smoke is what I
15 could see.

16 So, after that, I went in the boiler room,
17 asked for a ship's fire team down in the control room.
18 The Chief Engineer was in place then. I am the on-
19 scene Commander. I went out of the control room.
20 There was the Chief Engineer -- he takes care of that
21 part -- and I was taking together the prior teams,
22 delegate them, what they are to do and where to go.
23 That we had a meeting place in each ship on the
24 portside.

25 MR. ROTH-ROFFY: And then -- sorry -- could

1 you go ahead and continue on what you did with the fire
2 team?

3 The fire teams, then we have -- starting --
4 when we get those people with us now, then I was to
5 delegate to them; one team into the engine room and
6 then one team in the forward engine room and one into
7 the boiler room. There was the possibility that we had
8 some casualties in the boiler room -- very, very big.
9 There are normally people in the boiler room too. I
10 didn't know how many or which one either at that time,
11 so we started searching. I also -- when I was down in
12 the engine room for the first time there, next to the
13 boiler room, I also called the bridge to close down the
14 watertight doors in the whole engine room. I didn't
15 get a confirm. I don't know whether it was stuck or.

16 Then the fire team came from shore side also.
17 They got help from our own fire team to guide them down
18 to the boiler room and helped us to search for people
19 in there, and if there was a fire there -- and after
20 that, we got the message -- the sea deck and the boiler
21 room, so we had to get the ship's fire team to -- to
22 get them out of the cabins and the boiler room.

23 MR. ROTH-ROFFY: During the initial entry by
24 the ship's fire teams into the boiler room, did they
25 find any casualties at that time?

1 MR. MAGNUS: I can't remember -- found them
2 or it was the fire team from shore side. I can't
3 recollect. There was so much -- around me at all
4 times. I think one of the -- was found by our own
5 team.

6 MR. ROTH-ROFFY: You mentioned that about two
7 thirty in the morning you were called by a second
8 engineer --

9 MR. MAGNUS: Yeah, from the control room.

10 MR. ROTH-ROFFY: Which second engineer was
11 that?

12 MR. MAGNUS: That was -- no, no, no, no -- it
13 was --

14 MR. PAILLACAR: This is Carlos Paillacar with
15 the Coast Guard. Might it have been Mr. Tor Hoyland,
16 the person that called you?

17 MR. MAGNUS: He was in the forward engine
18 room when I came down.

19 MR. ROTH-ROFFY: Tom Roth-Roffy back. He
20 called you and told you there was a problem with which
21 turbo generator?

22 MR. MAGNUS: Turbo generator number eleven.

23 MR. ROTH-ROFFY: And what did he tell you was
24 the nature of the problem?

25 MR. MAGNUS: They couldn't get the turbo up

1 to idle speed.

2 MR. ROTH-ROFFY: Did not get it to turn?

3 MR. MAGNUS: Yeah, it was running, but it was
4 low evolutions.

5 MR. ROTH-ROFFY: So they could not get it
6 above idle speed?

7 MR. MAGNUS: Yeah.

8 MR. ROTH-ROFFY: And, after you hung up the
9 phone and you went down to the engine room, what did
10 you do then?

11 MR. MAGNUS: I went up to the control room
12 and found out what happened to the -- why they couldn't
13 get it to the idle speed, so it was actually only a
14 small problems to make it run -- so, if you have
15 governors on those -- the cover that's before where
16 they stopped it, they had the problem to have the idle
17 speed down to normal. The cause of that was one of the
18 nozzles was stuck. So, when they -- too much from the
19 governor -- so they went down to minimum. That is a
20 very, very low speed for it. So, actually, it was just
21 putting up the governor back to normal again.

22 MR. ROTH-ROFFY: So, all you had to do was
23 adjust the governor knob --

24 MR. MAGNUS: Uh, no. From the control room.

25 MR. ROTH-ROFFY: From the control room?

1 MR. MAGNUS: Because there you have the --
2 everything like that so you can see from the --.

3 MR. LEHRER: Richard Lehrer. I think I can
4 help him remember the 2nd engineer. Was it a guy
5 named, crew member named, Christianson in the control
6 room, 2nd engineer? You took a full watch?

7 MR. MAGNUS: Yes, I took a full watch. It
8 could be him.

9 MR. ROTH-ROFFY: Okay, so what was the
10 problem? Why couldn't the crew figure out to raise the
11 speed --

12 MR. MAGNUS: Why didn't -- I really don't
13 know that. Maybe they didn't think it was that. They
14 probably thought it was something else with the nozzles
15 and from there it was their problem. So, they had the
16 -- to move the nozzles on the turbines. But that was
17 not the problem.

18 MR. ROTH-ROFFY: And how about how long were
19 you down in the engine room?

20 MR. MAGNUS: I was down there for maybe five,
21 ten minutes in the forward engine because I went up to
22 the control room. I found out their -- were working
23 good. You can run them manually and then get the
24 evolution up and that the -- back --

25 MR. ROTH-ROFFY: When you were down there,

1 did the crew mention any other problems they were
2 having with the boilers or any of the equipment?

3 MR. MAGNUS: No.

4 MR. ROTH-ROFFY: Why were they trying to
5 start number eleven generator?

6 MR. MAGNUS: So we get extra power. Power
7 for the first -- from the Navy yard out to sea because
8 it's a normal procedure that we have.

9 MR. ROTH-ROFFY: Okay, so, normally, at sea
10 you have how many generators?

11 MR. MAGNUS: Normally, we have about one to
12 three -- five -- we have now; one big mach, two small
13 mach.

14 MR. ROTH-ROFFY: So, normally, at sea, all of
15 those would be running?

16 MR. MAGNUS: Yeah.

17 MR. ROTH-ROFFY: And then --

18 MR. MAGNUS: Not at sea, but during standby.

19 MR. ROTH-ROFFY: Okay, how about normally at
20 sea?

21 MR. MAGNUS: Normally, we have three, four
22 turbine -- it depends on the situation we are in. We
23 use mach generators and diesel generators.

24 MR. ROTH-ROFFY: Would all three diesel
25 generators run normally at sea?

1 MR. MAGNUS: Normally, at sea, we are running
2 those -- I'd say.

3 MR. ROTH-ROFFY: I'm sorry, could you say
4 that again?

5 MR. MAGNUS: Normally, we are running these
6 generators when we can run them at sea.

7 MR. ROTH-ROFFY: When you can run them?

8 MR. MAGNUS: Yes.

9 MR. ROTH-ROFFY: Are there times that you
10 can't run them?

11 MR. MAGNUS: When we are troubleshooting on
12 them, you have to stop them and, usually, stopping of
13 the one and the other one -- have enough power.

14 MR. ROTH-ROFFY: All right, so, normally at
15 sea, you'll have four turbine generators and the three
16 diesel generators if they're available --

17 MR. MAGNUS: We have five diesel generators
18 totally.

19 MR. ROTH-ROFFY: And how many turbo
20 generators?

21 MR. MAGNUS: We have, totally, we have six,
22 but two of them are in the -- with two of them mach
23 diesel engines..

24 MR. ROTH-ROFFY: Can you tell me about the
25 types of problems you have been having with the boilers

1 -- boilers in general and number twenty-three in
2 particular -- in the past six months say?

3 MR. MAGNUS: Past six months -- boiler number
4 twenty-three. We haven't any specific problems that I
5 know about. We had the normal cleaning for two, three
6 weeks. It's a normal cleaning we have on it. If they
7 say you're cleaning the inside of the boiler, the pipes
8 -- it's a kind of clay. You have to put water into the
9 solution and at the rate of one dollar -- replace it.

10 MR. ROTH-ROFFY: When was that cleaning done,
11 do you recall, on number twenty-three?

12 MR. MAGNUS: Two, three weeks ago. If
13 nothing's wrong, it's about approximately two weeks we
14 were --

15 MR. ROTH-ROFFY: And was that -- during the
16 cleaning, was it out-of-service for a normal amount of
17 time?

18 MR. MAGNUS: It was out-of-service normal.

19 MR. ROTH-ROFFY: About how long was it out-
20 of-service?

21 MR. MAGNUS: Approximately one week.

22 MR. ROTH-ROFFY: Okay, I'm not trying to trap
23 you, but the 2nd engineer said they had a problem with
24 a blue ram. They said they had to wait for a delivery
25 of some blue ram.

1 MR. MAGNUS: Yes.

2 MR. ROTH-ROFFY: And that actually delayed
3 bringing the generator back into service. Do you
4 recall that?

5 MR. MAGNUS: Was the generator in service?

6 MR. ROTH-ROFFY: I'm sorry, the boiler. I'm
7 sorry.

8 MR. MAGNUS: Yes, we had to wait for the blue
9 ram -- blue ram -- and we have to wait one week for the
10 blue ram before it came. So, it took a longer time
11 before we got --

12 MR. ROTH-ROFFY: Are you normally involved in
13 the ordering of engine parts, spare parts and materials
14 like blue ram and other parts?

15 MR. MAGNUS: No.

16 MR. ROTH-ROFFY: Who would normally do that?

17 MR. MAGNUS: That is normally the engine's --
18 keeper and the first engineer to maintain the
19 maintenance. They make an accounting of those parts.

20 MR. ROTH-ROFFY: Okay, please describe any
21 other problems with boiler number twenty-three that you
22 recall.

23 MR. MAGNUS: We had some small problem with
24 the airflow, but that was not a problem with the
25 electric things on it. Something was running up on the

1 monolog adjustments for it.

2 MR. ROTH-ROFFY: Okay, so you had a problem
3 with air-flow sensor?

4 MR. MAGNUS: Actually, what was the problem
5 with it, I don't know. I can say specific things of
6 what was the problem there, what cause was it.

7 MR. ROTH-ROFFY: Okay, so you say that, as a
8 result of the problem, they had to run it on manual?

9 MR. MAGNUS: Sometimes they had to do that.

10 MR. ROTH-ROFFY: Was that problem ongoing at
11 the time of the accident or had it been repaired?

12 MR. MAGNUS: It had been repaired, at that
13 point -- the electronics and we had fixed it. It
14 should be -- it was fixed during that time, yes.

15 MR. ROTH-ROFFY: Do you recall about when the
16 problem started, when it ended, when it was fixed?

17 MR. MAGNUS: When it was fixed, it was maybe
18 two weeks ago or something like that. One and-a-half,
19 two weeks ago.

20 MR. ROTH-ROFFY: And do you recall about how
21 long they had to run it on manual control?

22 MR. MAGNUS: No, I can't recall for how long.

23 MR. ROTH-ROFFY: And were they running it
24 continuously on manual control?

25 MR. MAGNUS: No.

1 MR. ROTH-ROFFY: At what time would they have
2 to run it manually?

3 MR. MAGNUS: During the run-up time.

4 MR. ROTH-ROFFY: During run-up?

5 MR. MAGNUS: Yes.

6 MR. ROTH-ROFFY: During light off maybe or?

7 MR. MAGNUS: During the light off?

8 MR. ROTH-ROFFY: Yeah. I'm trying to
9 understand what you mean by run-up.

10 MR. MAGNUS: When we are running up speed on
11 the ship.

12 MR. ROTH-ROFFY: Okay.

13 MR. MAGNUS: For the turbine.

14 MR. ROTH-ROFFY: And after they got up to sea
15 speed, would they then resume automatic control?

16 MR. MAGNUS: Yes.

17 MR. ROTH-ROFFY: Okay, and that control was
18 the damper control to the four-strap fan or what
19 control are we referring to?

20 MR. MAGNUS: -- controller for the fans,
21 upper and lower fans, in the boiler room.

22 MR. ROTH-ROFFY: Okay, which controller? For
23 the electric motor?

24 MR. MAGNUS: Electric, yeah.

25 MR. ROTH-ROFFY: Control the speed of the

1 electric motor?

2 MR. MAGNUS: It is -- the motor is running --
3 connected to the speed, so the problem is adjusted
4 through the flaps. The opening of more flaps, more
5 air.

6 MR. ROTH-ROFFY: So, that's the control that
7 they had to run on manual was the control of the flaps?

8 MR. MAGNUS: Yes.

9 MR. ROTH-ROFFY: Did they also have to run it
10 manually when they slowed back down again?

11 MR. MAGNUS: Normally not, but I think they -
12 - for that.

13 MR. ROTH-ROFFY: Okay, what other problems
14 with number twenty-three boiler?

15 MR. MAGNUS: I can't recall.

16 MR. ROTH-ROFFY: Okay, do you recall any
17 problems with any of the other boilers in the past six
18 months?

19 MR. MAGNUS: The past sixth months -- boiler
20 twenty-one -- pipes -- stop the boiler -- turn it off,
21 open it under the leaking pipes

22 MR. ROTH-ROFFY: And when was that?

23 MR. MAGNUS: Oh, I can't recall the last
24 time. The last time -- it is out-of-line now because
25 of one leaking pipe they found. It -- three or four

1 days ago. That one should be ready for use this week.

2 MR. ROTH-ROFFY: And were there other
3 problems in the past with boiler twenty-one leaks?

4 MR. MAGNUS: Yes.

5 MR. ROTH-ROFFY: Do you recall about how
6 long ago?

7 MR. MAGNUS: No, because we had to -- the
8 pipes -- that boiler so I can't recall -- then you have
9 to go through the maintenance local for the boilers.

10 MR. ROTH-ROFFY: So, you had more problems
11 with boiler twenty-one than the other boilers?

12 MR. MAGNUS: Yes.

13 MR. ROTH-ROFFY: Leaking pipes?

14 MR. MAGNUS: Yes.

15 MR. ROTH-ROFFY: Have you had other problems
16 with leaks on the other boilers besides twenty-one?

17 MR. MAGNUS: We have had leaks on boiler
18 twenty-four. There was leaking -- some small leaks --
19 on boiler twenty-two also, but not so much.

20 MR. ROTH-ROFFY: And this should all be in
21 the maintenance log?

22 MR. MAGNUS: Yes.

23 MR. ROTH-ROFFY: Which maintenance log would
24 that be?

25 MR. MAGNUS: That is for the boilers and the

1 first engineer, he also has a maintenance logs for the
2 boiler.

3 MR. ROTH-ROFFY: Okay, it was a handwritten
4 record or is it --

5 MR. MAGNUS: A handwritten record for the
6 boilers.

7 MR. ROTH-ROFFY: Is there also a computer-
8 based maintenance log for the boilers?

9 MR. MAGNUS: There is a computer, yes, but
10 those are covering more on the safety box for the
11 boiler. Nothing about cracking pipes or things like
12 that. It's for checking the water level, shut-down
13 with the feed -- when it shuts down during a high level
14 in the drum -- maintenance.

15 MR. ROTH-ROFFY: That would be in the
16 computer maintenance?

17 MR. MAGNUS: Yes.

18 MR. ROTH-ROFFY: But repairs you would
19 normally just put them in some kind of a log book?

20 MR. MAGNUS: Yeah.

21 MR. ROTH-ROFFY: And the first engineer would
22 make those entries?

23 MR. MAGNUS: Yes, and major work on board, it
24 would be in the computer and you have paper files for
25 that part.

1 MR. ROTH-ROFFY: Okay, could you describe
2 your duties and responsibilities as Staff Chief
3 Engineer?

4 MR. MAGNUS: I am day man. I -- in the
5 morning and the evening, breaks, lunch-time, dinner
6 time and I have the most with the hotel engineer,
7 people to do work with them, the 2nd engineers -- with
8 the company a long time --at the same time, I -- all of
9 the maintenance -- that is my responsibility.

10 MR. ROTH-ROFFY: Do you supervise the first
11 engineers? Do you give them work assignments?

12 MR. MAGNUS: No, I don't, except when I need
13 help from other day man, repairman, to help us.

14 MR. ROTH-ROFFY: Are you involved in the
15 maintenance of the boilers?

16 MR. MAGNUS: No.

17 MR. ROTH-ROFFY: So, your knowledge of
18 previous problems, where would that come from?

19 MR. MAGNUS: It would come from the 2nd
20 engineers. They would come to me with information from
21 the 1st engineer about the problems they're having, and
22 so what I can see from the control room and sometimes I
23 see from the engine room also.

24 MR. ROTH-ROFFY: So, you're not directly
25 involved in overseeing the maintenance work on the

1 boilers?

2 MR. MAGNUS: No, not directly.

3 MR. ROTH-ROFFY: Who's responsible for
4 preparing the engine room watch bill?

5 MR. MAGNUS: What do you mean?

6 MR. ROTH-ROFFY: The duty assignments for the
7 engine room watch. Does that change or is it always
8 the same people on watch?

9 MR. MAGNUS: That is the 1st engineers --
10 several watch lists.

11 MR. ROTH-ROFFY: And your supervisor is who?

12 MR. MAGNUS: My supervisor is the Chief
13 Engineer. I am his assistant. If he is away
14 someplace, I have to also help him.

15 MR. ROTH-ROFFY: And your subordinates? Who
16 works for you?

17 MR. MAGNUS: Actually, everyone under me, but
18 for my area, is the-- , people --, yeah. Also, the
19 hotel engineer is under me and I also run it with --
20 not so much. That is usually all that is told to him.
21 If he needs help, sometimes he comes to me and I help
22 him.

23 MR. ROTH-ROFFY: Who else would be working
24 for you?

25 MR. MAGNUS: It would also be Polish day

1 people -- the repairmen. Also, the Philippine day
2 people.

3 MR. ROTH-ROFFY: Did you say Polish day
4 people?

5 MR. MAGNUS: Polish, yes. Repairmen. They
6 are Polish repairmen.

7 MR. ROTH-ROFFY: And what do they normally
8 work on?

9 MR. MAGNUS: They are normally daylight,
10 eight in the morning to eight in the evening, working
11 for 1st engineers.

12 MR. ROTH-ROFFY: They work for the 1st
13 engineer, but they also work for you?

14 MR. MAGNUS: If I need help.

15 MR. ROTH-ROFFY: Oh, I see.

16 MR. MAGNUS: I go to the 1st engineer and he
17 will give me some people, pull those people I need to
18 have.

19 MR. ROTH-ROFFY: How long have you been
20 aboard the Norway?

21 MR. MAGNUS: I started on the Norway in 1997.

22 MR. ROTH-ROFFY: 1997?

23 MR. MAGNUS: Yes.

24 MR. ROTH-ROFFY: And what was your position
25 when you started?

1 MR. MAGNUS: 2nd Engineer.

2 MR. ROTH-ROFFY: And could you describe your
3 subsequent assignments on board the vessel after your
4 second -- when did you become a 1st and when did you
5 become Staff Chief.

6 MR. MAGNUS: I was the 1st engineer on the
7 Norway in 1999. I became a 1st engineer in 2001. A
8 Staff Chief Engineer, I become in January.

9 MR. ROTH-ROFFY: January of this year?

10 MR. MAGNUS: This year, yes.

11 MR. ROTH-ROFFY: Well, you've moved up fairly
12 quickly.

13 MR. MAGNUS: Yes.

14 MR. ROTH-ROFFY: And prior to coming aboard
15 the Norway in 1999, where did you work before you came
16 to the Norway?

17 MR. MAGNUS: In what time?

18 MR. ROTH-ROFFY: 1999. You say you came to
19 the Norway, right?

20 MR. MAGNUS: 1997.

21 MR. ROTH-ROFFY: 1997. I'm very sorry.
22 Before 1997, where did you work?

23 MR. MAGNUS: I was on a -- it was a -- ship -
24 - the year 1996 to 1997 and then I was transferred to
25 this ship.

1 MR. ROTH-ROFFY: And could you just go back a
2 little bit further?

3 MR. MAGNUS: Before that I was in the Navy at
4 home and I was -- there for three years and four years
5 on a steam ship.

6 MR. ROTH-ROFFY: And did you go to a
7 particular college?

8 MR. MAGNUS: Yes. I went to Maritime School
9 in Norway. The last school -- in 1998 to 1997.

10 MR. ROTH-ROFFY: And when did you graduate
11 from Maritime School?

12 MR. MAGNUS: That was in 1997 --

13 MR. ROTH-ROFFY: Okay, before that?

14 MR. MAGNUS: It was in 1993.

15 MR. ROTH-ROFFY: Okay, that's all I have for
16 right now. I'm going to pass it to Brian Curtis.

17 MR. CURTIS: Thank you. Brian Curtis. Just
18 to clarify back in the -- system. The maintenance
19 there is only preventive maintenance that puts out its
20 work orders and unscheduled repairs are not -- they are
21 not logged in there?

22 MR. MAGNUS: No.

23 MR. CURTIS: What about the scheduled
24 regulatory work, class work, boilers or anything
25 anywhere in the plant is that --?

1 MR. MAGNUS: -- in a classification.

2 MR. CURTIS: Yes.

3 MR. MAGNUS: Instead of the --?

4 MR. CURTIS: Yes. In a classification work,
5 does that come up as a work order that has to be
6 recorded and logged in there?

7 MR. MAGNUS: I can't answer you that part
8 because I haven't seen them.

9 MR. CURTIS: Okay, on boiler twenty-three, a
10 couple of weeks ago when they did the work in the
11 furnace, did you participate in that work at all?

12 MR. MAGNUS: No.

13 MR. CURTIS: So, you didn't see inside the
14 furnace or the boiler?

15 MR. MAGNUS: I looked inside and I see
16 inside. I just stuck my head in the boiler -- looking
17 how --

18 MR. CURTIS: Was your opinion of the
19 condition of the refractory in the furnace compared to
20 the other boilers?

21 MR. MAGNUS: I would say --

22 MR. CURTIS: Same for the tubes in the
23 furnace?

24 MR. MAGNUS: What I could see, yes.

25 MR. CURTIS: Following the explosion or

1 during the explosion, did you hear or hear anyone else
2 mention that the boiler safety valves had released? Do
3 you recall hearing a noise?

4 MR. MAGNUS: No.

5 MR. CURTIS: That's all I have right now.

6 MR. OLSEN: What types of boiler-related
7 alarms sound in the engine control room?

8 MR. MAGNUS: Excuse me. One more time.

9 MR. OLSEN: If you have alarms related to the
10 boilers --

11 MR. MAGNUS: Yes.

12 MR. OLSEN: -- high pressure, high super heat
13 temperature, for example. What other types of alarms
14 sound in the control room and are recorded?

15 MR. MAGNUS: It's high fuel temperature, low
16 fuel temperature, -- temperature, high and low --
17 temperature.

18 MR. OLSEN: How about if the burner failed,
19 would that alarm in the engine control room?

20 MR. MAGNUS: Yes. If it's a forty ounce --
21 if you have a -- stops burning, one of the burners will
22 go out, we have an alarm for it.

23 MR. OLSEN: Have you seen that happen in your
24 experience. I don't necessarily mean just recent, but
25 since you've been on board, have you seen that happen

1 at any frequency, often or?

2 MR. MAGNUS: Sometimes, it has happened, yes.

3 MR. OLSEN: What is the cause of that? What
4 causes that typically?

5 MR. MAGNUS: To be of that -- forty percent?

6 MR. OLSEN: Uh-huh.

7 MR. MAGNUS: Is something wrong with that
8 burner and you get a failure message and then it's
9 fallout and we get the signal to shut off that specific
10 burner.

11 MR. OLSEN: If I wanted to keep that -- say I
12 had a bad photo cell and if I wanted to keep that
13 burner burning, how could I do that?

14 MR. MAGNUS: I don't know.

15 MR. OLSEN: Okay.

16 MR. MAGNUS: I wouldn't do it either.

17 MR. OLSEN: No, okay. When you were talking
18 about the problems maintaining the fuel air ratio, when
19 you came up to sea speed, how did that -- what were the
20 first symptoms of that problem?

21 MR. MAGNUS: You get the black smoke all in
22 the -- pushing up more air for the boilers so you can
23 get more air into the boilers.

24 MR. OLSEN: So, it's just smoke? Did it
25 every get -- did the air ratio ever get so bad where a

1 burner might drop out?

2 MR. MAGNUS: No.

3 MR. OLSEN: Have you ever been involved in
4 preparing the shipyard work list for the boiler
5 repairs?

6 MR. MAGNUS: No.

7 MR. OLSEN: How about when it's necessary to
8 hire a contractor or a vendor to come on board like the
9 seamen's representative, who makes those decisions to
10 call somebody out?

11 MR. MAGNUS: What do you mean specific now?

12 MR. OLSEN: You have a problem and you
13 realize you need a contractor --

14 MR. MAGNUS: Uh-huh.

15 MR. OLSEN: -- are you the one who makes the
16 final decision on whether or not that contractor is
17 allowed to meet your vessel in Miami?

18 MR. MAGNUS: No, that is a shore side.

19 MR. OLSEN: A shore side?

20 MR. MAGNUS: Yeah, a superintendent on shore.

21 MR. OLSEN: Okay, who communicates the
22 shipyard problem to the shore side staff?

23 MR. MAGNUS: That is the Chief Engineer.

24 MR. OLSEN: The Chief Engineer. You've got a
25 lot of history on board since 1997. When a new stoker

1 comes on board, how does he learn his job?

2 MR. MAGNUS: A new stoker, you don't get a
3 new stoker directly on board. He can have a position
4 as a stoker, yes, but he is not put directly on the
5 boilers. He will follow the stage as waterman, a
6 washman is what he's called.

7 MR. OLSEN: What was the second?

8 MR. MAGNUS: A watch-going. That is a
9 waterman and we have a watch in the forward engine
10 room.

11 MR. OLSEN: Uh-huh.

12 MR. MAGNUS: And then they have their own
13 system to work with and so on and so on. So they would
14 not be teaching directly on the boiler because they
15 have to know a little bit along the area they are
16 working in.

17 MR. OLSEN: I don't know the requirements of
18 the flag, but as a person progresses from boiler tender
19 up to stoker, are examinations necessary, flag state
20 examinations, or is that just the engineers on board
21 see that the person seems capable? How does he
22 graduate officially to stoker?

23 MR. MAGNUS: Officially to stoker, that is
24 actually, he's on the -- how he works. If you can
25 trust the guy and he is doing what we are saying. If

1 we can trust him.

2 MR. OLSEN: He's not necessarily tested by
3 the flag state or by the administration of the vessel?

4 MR. MAGNUS: What do you mean?

5 MR. OLSEN: Examination. You know, when you
6 became Chief, you took an exam?

7 MR. MAGNUS: Yes. They -- I can't really
8 answer that question just now.

9 MR. OLSEN: Okay, but if they have to test,
10 they also have to get the blessing of the engineers?

11 MR. MAGNUS: Yes.

12 MR. OLSEN: Is there any documents,
13 guidelines or checklists that are given to the stoker
14 to help them do their job better, or to help them
15 understand their work?

16 MR. MAGNUS: I -- they get trained. We have
17 a specific -- age watch. What they have to do --

18 MR. OLSEN: But how about anything written
19 down, written documentation?

20 MR. MAGNUS: Of what they're going to do?

21 MR. OLSEN: Yeah. Their job duties.

22 MR. MAGNUS: Yes, we have -- on the board in
23 the boiler room.

24 MR. OLSEN: Okay.

25 MR. MAGNUS: For those stokers who's on duty.

1 MR. OLSEN: Are you aware of anything within
2 the safety management system that might contain
3 descriptions of responsibilities of the stokers?

4 MR. MAGNUS: I can't recall exactly for that
5 part.

6 MR. OLSEN: Okay. When you were 2nd
7 Assistant or 1st Assistant or 1st Assistant Senior, did
8 you ever have to test the controls and sensors on the
9 boiler front?

10 MR. MAGNUS: Testing the controllers?

11 MR. OLSEN: No, the controls. Like, you know
12 how you mentioned you test the scanner, you got to
13 clean the scanner -- well, you didn't mention that --
14 but, on occasion, you may have to test the scanner or
15 test an igniter -- what type of -- I'm interested in
16 anything you may have to do related to the equipment on
17 the boiler front that might be part of a routine,
18 either maintenance or preventative inspection.

19 MR. MAGNUS: For inspection for it, I have
20 never done any testing of the equipment in the front of
21 the boiler.

22 MR. OLSEN: Okay.

23 MR. MAGNUS: I've never done that.

24 MR. OLSEN: So, have you ever been 2nd
25 Assistant in charge of those boilers?

1 MR. MAGNUS: No, never.

2 MR. OLSEN: Okay. All right. Technically,
3 as 1st Assistant Senior, would you be aware of general
4 problems with the combustion control system, other than
5 what we talked about with the air --

6 (Whereupon, the parties went off the record
7 momentarily for taping purposes and the interview
8 subsequently resumed.)

9 MR. ROTH-ROFFY: Okay, the time is about
10 seventeen minutes after five and we're resuming our
11 interview of the Staff Chief Engineer, Mr. Magnus, and
12 I believe, Ken Olsen was asking the questions.

13 MR. OLSEN: In your five or six years being
14 assigned to the Norway, have you ever heard other
15 engineers talk about the problems that they might have
16 experienced with the combustion control systems, burner
17 management systems and so on?

18 MR. MAGNUS: Do you mean specific things?

19 MR. OLSEN: Yeah. Other than tube failures,
20 what other types of problems have you experienced? You
21 mentioned excess air being a problem, and having to
22 operate on manual, but other types of problems with the
23 combustion control or even feed boiler system. Are you
24 aware of other problems?

25 MR. MAGNUS: We haven't had any bigger

1 problems than that. Sometimes electric failures is
2 coming up and you have to put it on manually -- head or
3 maybe on the --

4 MR. OLSEN: Uh-huh.

5 MR. MAGNUS: But that is fixed the same day.

6 MR. OLSEN: Has any of those types of
7 instances occurred recently, say within the last two or
8 three months, other than excess air problem?

9 MR. MAGNUS: Excess air problem. We had
10 problems with the regulator for the fuel pressure, but,
11 usually, then it's been -- manually and is putting on
12 the manual regulating the fuel.

13 MR. OLSEN: Is this for the starboard side
14 boilers or would it be for -- which boiler did the fuel
15 pressure regulate a problem effect?

16 MR. MAGNUS: It's usually affecting the
17 starboard boilers.

18 MR. OLSEN: And when might have been the last
19 time that type of problem occurred?

20 MR. MAGNUS: It could occur the last week
21 here. We had to put it on manually regulating during
22 this last week.

23 MR. OLSEN: Was there any times when the
24 pressure went low? When the regulator was problematic,
25 was it -- did it cause too much fuel pressure at the

1 boilers or too little?

2 MR. MAGNUS: It went up and down. It didn't
3 regulate properly without the pressure and then it went
4 down again.

5 MR. OLSEN: What do you think may have caused
6 those problems with the regulator?

7 MR. MAGNUS: I can't tell you why this is
8 happening.

9 MR. OLSEN: Okay, but it did occur -- some of
10 these types of problems have occurred recently?

11 MR. MAGNUS: Sometimes.

12 MR. OLSEN: Okay. Were those instances, when
13 that occurred, in your opinion, was it something that
14 the stoker could know: I've got to switch to manual,
15 or did it require an engineer to come in and correct
16 it.

17 MR. MAGNUS: The stoker is knowing what to do
18 when this is happening.

19 MR. OLSEN: In terms of the safety management
20 system, are you aware of any non-conforming is reported
21 related to either the boilers or the combustion control
22 systems for those boilers?

23 MR. MAGNUS: No.

24 MR. OLSEN: And, in general, you've never
25 heard of anyone speak of inadequacies of the combustion

1 control system?

2 MR. MAGNUS: What do you mean?

3 MR. OLSEN: Deficiency or bad design for
4 whatever reason.

5 MR. MAGNUS: Bad design?

6 MR. OLSEN: Yeah, with the system in general;
7 combustion control and burner management.

8 MR. MAGNUS: No.

9 MR. OLSEN: Okay, that's all I have.

10 MS. MCATEE: Just one quick question. I'm
11 changing gears here a little bit. This is Nancy McAtee
12 with NTSB. Were you aware of any fire alarms or smoke
13 detectors that had gone off in the boiler area in say
14 the week prior to the accident?

15 MR. MAGNUS: That's only when they're
16 changing burners, it happens sometimes, but that is
17 normal.

18 MS. MCATEE: Okay, that's all I have.

19 MR. PAILLACAR: I have no questions.

20 MR. CMAR: I have actually one point of
21 clarification -- in the safety and management system,
22 there is an F600, there's a familiarization training at
23 the level of stoker that can be adapted by the Chief
24 Engineer and the Chief Engineer is to ensure the person
25 is trained for the position using that form.

1 One second, please. Also, just another point
2 for clarification, I think, it's understood now that
3 AMOS is only for scheduled maintenance as far as for
4 things required by class. I could say -- although I
5 can't say specifically -- I would expect that if
6 something is required, it would be scheduled in AMOS in
7 answer to your question, and I don't believe I have any
8 questions specifically.

9 MR. ROTH-ROFFY: Okay, I have just a couple
10 of follow-up questions. You described a problem with a
11 pressure regulator through the starboard boilers, what
12 were the indications of that problem? How did you know
13 that was a problem?

14 MR. MAGNUS: You can see, in the control
15 room, you can see the pressure gauge is going up and
16 down.

17 MR. ROTH-ROFFY: Was it fluctuating?

18 MR. MAGNUS: No, it's digital.

19 MR. ROTH-ROFFY: Oh, it's digital?

20 MR. MAGNUS: Yes, and you can also see the
21 boiler room with a normal gauge going up and down.

22 MR. ROTH-ROFFY: How fast was it going up and
23 down?

24 MR. MAGNUS: It depends.

25 MR. ROTH-ROFFY: So, a couple of cycles per

1 second?

2 MR. MAGNUS: Yeah, maybe that, and it can go
3 slower.

4 MR. ROTH-ROFFY: And did it ever stick in a
5 particular setting or was it just a fluctuation
6 problem?

7 MR. MAGNUS: What do you mean by that?

8 MR. ROTH-ROFFY: Did it ever jam or stick?

9 MR. MAGNUS: No, not that I know.

10 MR. ROTH-ROFFY: Did this problem ever cause
11 a high steam pressure condition?

12 MR. MAGNUS: No.

13 MR. ROTH-ROFFY: Or low steam pressure
14 condition?

15 MR. MAGNUS: No.

16 MR. ROTH-ROFFY: We've been told that boiler
17 number twenty-three was overhauled or had a major
18 repair in 1999. Were you on board at that time?

19 MR. MAGNUS: No, I was not on board.

20 MR. ROTH-ROFFY: Do you know whether or not
21 these are the original boilers on the vessel from when
22 it was built or were they replaced?

23 MR. MAGNUS: They have replaced and replaced
24 the same construction of the boiler. It had been
25 retubed, and the front have been changed. Before they

1 had -- looking through the joints, you can see before
2 they had six burners -- every one in the center. They
3 changed that to five burners.

4 MR. ROTH-ROFFY: And do you know the
5 manufacturer's name of the boiler?

6 MR. MAGNUS: Babcock. What I know now is
7 that they went bankrupt. I think it was last year or
8 the year before that.

9 MR. ROTH-ROFFY: Did you say Babcock?

10 MR. MAGNUS: Babcock, yes.

11 MR. ROTH-ROFFY: Is that a French company?

12 MR. MAGNUS: English.

13 MR. ROTH-ROFFY: English company. Has
14 Norwegian Cruise Lines given you any training on boiler
15 automation control systems since you've been working
16 with them?

17 MR. MAGNUS: No.

18 MR. ROTH-ROFFY: Do you know if other
19 engineers have received such training?

20 MR. MAGNUS: No.

21 MR. ROTH-ROFFY: Have you received any
22 training from Norwegian Cruise Lines in engineering
23 matters of any kind?

24 MR. MAGNUS: What kind of training do you
25 mean?

1 MR. ROTH-ROFFY: For example, switchboard
2 operations or automation systems of any sort.

3 MR. MAGNUS: What do you mean, from shore
4 side?

5 MR. ROTH-ROFFY: Yeah, from shore side.

6 MR. MAGNUS: No.

7 MR. ROTH-ROFFY: Have you received training
8 on board the ship?

9 MR. MAGNUS: I received some small training -
10 - like two weeks. Look through my notes.

11 MR. ROTH-ROFFY: Sure. Okay, I think that's
12 all I have. We'll go around one more time.

13 MR. CURTIS: I have just a few more
14 questions. Will low fuel oil pressure give an alarm in
15 the engine control room?

16 MR. MAGNUS: If it gets too low --

17 MR. CURTIS: Yeah.

18 MR. MAGNUS: -- the standby pump will start
19 and you have an alarm for that pump.

20 MR. CURTIS: Okay, so has there been times in
21 the recent past where that standby pump has started?

22 MR. MAGNUS: Not that I know.

23 MR. CURTIS: So, you wouldn't know during the
24 casualty the other day that two pumps were running?

25 MR. MAGNUS: No.

1 MR. CURTIS: The fact that pump comes on, is
2 that captured in your data logger system, the running
3 of a standby pump or an alarm indicating as such?

4 MR. MAGNUS: Yes.

5 MR. CURTIS: So, that could be --?

6 MR. CURTIS: So, that could be ---?

7 MR. MAGNUS: That could be.

8 MR. CURTIS: Where are the -- you mentioned
9 the fuel oil regulating valve -- where was that
10 positioned on the boiler, generally?

11 MR. MAGNUS: Which -- was it for a fuel pump
12 or for the boiler?

13 MR. CURTIS: For the boiler, for the
14 combustion control?

15 MR. MAGNUS: That stands between boiler
16 twenty-one and twenty-three.

17 MR. CURTIS: Okay. With respect to the
18 people you call the electronics, have you ever had
19 concern when you were assigned an electronic to do a
20 job on a system that they have enough knowledge of the
21 entire system or that they're knowledge is only limited
22 to electronics?

23 MR. MAGNUS: No, I can't say I can.

24 MR. CURTIS: Okay.

25 MR. BUTCHKO: I have one question. John

1 Butchko, Metro-Dade Police. As far as any employees or
2 crew members, has any crew member come to you or any
3 supervisor or any other engineer come to you expressing
4 that they had some sort of concern with the boilers,
5 even if it was a minor concern that they were a little
6 worried about, and maybe didn't have a knowledge of
7 what would happen, but it was a problem?

8 MR. MAGNUS: Do you think for those years or
9 present?

10 MR. BUTCHKO: No, present time, within a
11 couple weeks, maybe a month, before the explosion.

12 MR. MAGNUS: No.

13 MR. BUTCHKO: Okay, no further questions.

14 MR. ROTH-ROFFY: Okay, the time is about five
15 thirty p.m. That concludes our interview of the Staff
16 Chief Engineer. Thank you very much, sir, for talking
17 with us. You've been very helpful.

18 MR. MAGNUS: Thank you.

19 (Whereupon, at 5:30 p.m., the interview of
20 Staff Chief Engineer Magnus was concluded.)