

UNITED STATES OF AMERICA
NATIONAL TRANSPORTATION SAFETY BOARD
OFFICE OF MARINE SAFETY

**SS NORWAY ENGINEERING GROUP
MAJOR MARINE ACCIDENT
DCA 03 MM 032
INVESTIGATIVE INTERVIEWS**

INVESTIGATIVE INTERVIEW OF:
TROND KRISTENSEN
SS NORWAY

Wednesday, June 4, 2003

In Attendance:

TOM ROTH-ROFFY, NTSB
BRIAN CURTIS, NTSB
CHRIS FOONG, NCL
CHRIS OELSCHLEGEL, USGC
KEN OLSEN, USCG
JOHN RILEY, NCL CONSULTANT
ERIK LASALLE, USGC
RICHARD LEHRER, ESQ.

P R O C E E D I N G S

9:15 a.m.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29
30
31
32
33
34
35
36
37
38
39
40
41
42
43
44
45
46
47
48
49

MR. ROTH-ROFFY: Good morning, Trond.

MR. KRISTENSEN: Hi.

MR. ROTH-ROFFY: It's about 9:15 and the date is June 4th, 2003, and we're resuming our interview with the Second Engineer Trond Kristensen.

For the record, I'd like to go around the room and everybody in the room to please identify themselves. Starting with me, my name is Tom Roth-Roffy, and I'm with the National Transportation Safety Board.

MR. LASALLE: Lt. Erik Lasalle, the senior investigating officer, Miami, U.S. Coast Guard.

MR. CURTIS: My name is Brian Curtis with NTSB, Marine Engineering Accident Investigator.

MR. OLSEN: Ken Olsen, Coast Guard Headquarters, Office of Investigations and Analysis.

MR. LEHRER: Richard Lehrer on behalf of Engineer Trond Kristensen.

MR. KRISTENSEN: My name is Second Engineer Trond Kristensen.

MR. RILEY: John Riley, Independent Surveyor for NCL.

MR. FOONG: Chris Foong, NCL.

MR. ROTH-ROFFY: Okay. Chris, you're the Director of Technical Operations?

MR. FOONG: I'm the Vice President for Technical Operations.

MR. ROTH-ROFFY: Okay. All right. We'll resume them. I believe when we left off, left off yesterday, Ken Olsen was -- had his questions going. Ken?

MR. OLSEN: Okay. Were you ever on board the vessel during the period that it entered the shipyard or -- or repair dock or anything like that?

MR. KRISTENSEN: Pardon me?

MR. OLSEN: Were you ever on board the vessel during a shipyard period or repair dock period?

MR. KRISTENSEN: Yes. Two times.

MR. OLSEN: And what kind of repairs or work was being done at that time?

MR. KRISTENSEN: Normal work.

MR. OLSEN: Normal work. Would that normal work include boiler work?

MR. KRISTENSEN: Sometimes, yes. I guess they have an inspection of the boiler.

MR. OLSEN: Inspection of the boiler. So, during these -- during these inspections that may have

1 occurred, did you ever witness anyone entering any of
2 the steam drums or mud drums?

3 MR. KRISTENSEN: No, no witness that.

4 MR. OLSEN: During these inspections, did you
5 ever witness Classification Society personnel in the
6 boiler room?

7 MR. KRISTENSEN: Yes, in the boiler room,
8 yes.

9 MR. OLSEN: In the boiler room. All levels
10 or just some levels or did you see them peer into any
11 drums? Looking -- not enter but look into a drum?

12 MR. KRISTENSEN: I don't know what they look
13 into, but I see them in the boiler room.

14 MR. OLSEN: In the boiler room. In and about
15 the boiler room?

16 MR. KRISTENSEN: Yes.

17 MR. OLSEN: Were you on board the vessel in
18 1999 when they did the retubing?

19 MR. KRISTENSEN: Yes, on board. I just come
20 on board.

21 MR. OLSEN: Just come on board. Who -- who
22 might have -- who from the ship's crew might have gone
23 in and inspected that boiler when the retubing was
24 done?

25 MR. KRISTENSEN: I guess like the first
26 engineer.

27 MR. OLSEN: The first engineer on board at
28 that time?

29 MR. KRISTENSEN: Yes, that's normal, yes, but
30 -- yeah.

31 MR. OLSEN: And -- and that work was done by
32 Norris Diesel, is that --

33 MR. KRISTENSEN: No, not Norris Diesel. The
34 English company called -- I don't remember now.

35 MR. OLSEN: Okay.

36 MR. KRISTENSEN: It's not Norris Diesel.

37 MR. OLSEN: Okay. Did -- would --

38 MR. KRISTENSEN: Sorry. Harrison.

39 MR. OLSEN: That's right. Harrison.

40 MR. KRISTENSEN: Harrison.

41 MR. OLSEN: Did any of the -- did any of the
42 Norway's crew assist? Did the Filipino laborers assist
43 some of the boilermakers? Can you recall that?

44 MR. KRISTENSEN: I cannot remember that.

45 MR. OLSEN: You cannot remember that. Okay.
46 That's it for now.

47 MR. ROTH-ROFFY: Okay. Trond, I just have a
48 couple of questions.

49 Yesterday, you talked about some kind of a

1 salt problem that you were having with -- was it a
2 condenser tube leak that you were having salt problem?
3 Could you describe that again?
4 MR. KRISTENSEN: Yes. The salt problem is --
5 happened from time to time and leaking in the main
6 condenser. We get salt water into the fresh water side
7 causing oxide.
8 MR. ROTH-ROFFY: Okay. Do you have --
9 currently have that problem?
10 MR. KRISTENSEN: From time to time.
11 MR. ROTH-ROFFY: No. I mean, is there
12 currently a leak in the -- in the condensers that --
13 MR. KRISTENSEN: I don't understand that
14 question.
15 MR. ROTH-ROFFY: Right now, is there a leak?
16 MR. KRISTENSEN: Right now? There was a leak
17 before the explosion. I guess the leak is still there.
18 MR. ROTH-ROFFY: Okay. And could you
19 describe when that leak was noticed and how long you --
20 you've had it?
21 MR. KRISTENSEN: I think the leak come about
22 four-five days after I sign on. So, I sign on the 4th
23 of May. It was there on the 10th of May, something
24 like that, that I remember. The leak start.
25 MR. ROTH-ROFFY: Okay. So, it started about
26 the 10th of May and you had not -- the leak had not
27 been corrected before the explosion, correct?
28 MR. KRISTENSEN: You have the leak on the --
29 on both condensers. Starboard condenser and portside
30 condenser. So, when we come to St. Martin, that's the
31 only port, they try to fix it. It's a big job. So, we
32 take one condenser -- I don't remember starboard or
33 portside, but one of the condensers take and plug this
34 thing.
35 MR. ROTH-ROFFY: Okay. So, you fixed one of
36 them and you --
37 MR. KRISTENSEN: Yes.
38 MR. ROTH-ROFFY: -- still have a problem with
39 the other one?
40 MR. KRISTENSEN: Yeah.
41 MR. ROTH-ROFFY: When was that scheduled to
42 be repaired?
43 MR. KRISTENSEN: The next time we come to St.
44 Martin, I think. I'm not -- I -- I don't know the
45 answer. I don't know.
46 MR. ROTH-ROFFY: Right. St. Martin, you
47 spend the most time in port in St. Martin?
48 MR. KRISTENSEN: St. Martin is the only port
49 I see which fixes condenser. To open it for cleaning

1 and for plugging, if we have some leaks.
2 MR. ROTH-ROFFY: Is -- is that the port that
3 you spend the most number of hours in?
4 MR. KRISTENSEN: Yes.
5 MR. ROTH-ROFFY: How long do you stay in St.
6 Martin normally?
7 MR. KRISTENSEN: We stay in St. Martin about
8 8:30 -- 7:30 in the morning and leave about 6-7:00 in
9 the evening.
10 MR. ROTH-ROFFY: Yeah. So, about 12 hours.
11 MR. KRISTENSEN: Something like that.
12 MR. ROTH-ROFFY: And the other ports, you
13 don't have that much time in, is that correct or not?
14 MR. KRISTENSEN: No. That's the port we stay
15 longest.
16 MR. ROTH-ROFFY: Were you involved in the --
17 the plugging of the condensers last time?
18 MR. KRISTENSEN: It was not my job at the
19 time.
20 MR. ROTH-ROFFY: Do you know who was involved
21 in that -- that job?
22 MR. KRISTENSEN: Yes.
23 MR. ROTH-ROFFY: Could you give us their
24 names, please?
25 MR. KRISTENSEN: The first one was the first
26 engineer, so he was involved, and I know Carlo Fidel
27 was involved, and that's the only name, but I think it
28 was all the day crew, the Filipino, was involved. But
29 I don't remember the name of them.
30 MR. ROTH-ROFFY: Okay. Do you know how many
31 -- how many tubes they found leaking?
32 MR. KRISTENSEN: I think they said it was 25
33 tubes.
34 MR. ROTH-ROFFY: So, they made that repair,
35 and did you think it was only one condenser leaking?
36 MR. KRISTENSEN: I know --
37 MR. ROTH-ROFFY: Did you --
38 MR. KRISTENSEN: I know there was two
39 condensers leaking.
40 MR. ROTH-ROFFY: Oh, how did you know that?
41 MR. KRISTENSEN: Because we can see the alarm
42 for high salinity.
43 MR. ROTH-ROFFY: Okay. And -- and --
44 MR. KRISTENSEN: And I X on the manual tests
45 of both condensers.
46 MR. ROTH-ROFFY: Did both leaks happen about
47 the same time or different days?
48 MR. KRISTENSEN: Well, I remember the first
49 one start leaking, big leaking, but they used some

1 sawdust to go help this leaking, and that everybody
2 speaking about St. Martin, that we need to take this
3 condenser, but just before St. Martin, this leaking
4 stopped, and after two days after St. Martin, we get
5 this leaking again, and the following St. Martin, the
6 tank is leaking, and I think this second condenser
7 started to leak about two-three days before we come to
8 St. Martin, maybe it was Miami. I know it was before
9 this explosion.

10 MR. ROTH-ROFFY: Okay. Would that have been
11 logged somewhere in your -- your log book or the --

12 MR. KRISTENSEN: Sometimes I log it. If --
13 if I cannot skim the condenser, I used to log it when I
14 would have leaking. Skim the boiler. Sorry.

15 MR. ROTH-ROFFY: Right.

16 MR. KRISTENSEN: I would write down that we
17 have a leaking on the condenser, especially if we have
18 so much, because it was eight or seven or eight ppm or
19 so. 16 is very, very high.

20 MR. ROTH-ROFFY: I'm sorry. How high was it?

21 MR. KRISTENSEN: The highest I write in my
22 log book was 800 and something.

23 MR. ROTH-ROFFY: Okay. Yeah. That was the
24 pretty high.

25 MR. KRISTENSEN: Yeah.

26 MR. ROTH-ROFFY: And all the boilers salted
27 up that were running?

28 MR. KRISTENSEN: Yeah. All the boilers
29 salted up.

30 MR. ROTH-ROFFY: And who did you discuss this
31 chloride issue with? Who did you -- who do you notify?

32 MR. KRISTENSEN: Everybody's supposed to hear
33 that.

34 MR. ROTH-ROFFY: I'm sorry?

35 MR. KRISTENSEN: I speak with everybody so
36 they can hear about that, about this problem. I think
37 it's so much.

38 MR. ROTH-ROFFY: Right. But, I mean, who
39 would -- who did you --

40 MR. KRISTENSEN: Normally, I would tell it to
41 the first engineer or the staff chief that's in there.

42 MR. ROTH-ROFFY: In this case, when -- when
43 you first discovered it, you told the first engineer
44 maybe or staff chief or do you remember?

45 MR. KRISTENSEN: I don't remember who I told
46 it first.

47 MR. ROTH-ROFFY: Okay. To control this
48 chloride on these boilers, did you -- did you sometimes
49 do a bottom blow?

1 MR. KRISTENSEN: We never bottom blow if the
2 boiler is on line. Only skimming of it.

3 MR. ROTH-ROFFY: Okay. Did you ever take the
4 boiler off line and then do a bottom blow to -- to
5 control the --

6 MR. KRISTENSEN: No. Just skimming.

7 MR. ROTH-ROFFY: Is there a conductivity sail
8 on the -- on the condensate line that's electronic or
9 do you -- did you find that problem just by water
10 testing, chemical testing?

11 MR. KRISTENSEN: We have -- we have an
12 electronic Pc on the first one. We got it on alarm
13 speed and we have two, on this monitor and we have some
14 things for the red light. We have -- I forget the
15 English name, but we have like a --

16 MR. ROTH-ROFFY: A needle?

17 MR. KRISTENSEN: Right. You can see the --
18 about how much salt we have.

19 MR. ROTH-ROFFY: And that's the way you first
20 learned of the salt problem?

21 MR. KRISTENSEN: Right. Or I see -- maybe
22 the first time I see the salt test of this boiler, I
23 would see this.

24 MR. ROTH-ROFFY: Okay.

25 MR. KRISTENSEN: That's a way to see it, too.
26 Normally we see it on that.

27 MR. ROTH-ROFFY: Okay. I think that's all I
28 have for now.

29 Brian?

30 MR. CURTIS: I'm all set.

31 PARTICIPANT: I've just got a couple follow-
32 up questions to what Tom was asking you about.
33 Do you know how many grains per gallon of
34 salinity was in the condensate system?

35 MR. KRISTENSEN: I don't know how many grains
36 per gallon, but I know we take this salinity test. We
37 used parts per million.

38 PARTICIPANT: ppm.

39 MR. KRISTENSEN: ppm, yes.

40 PARTICIPANT: Do you know if your condensate
41 system ever dumped back to your distilled water storage
42 tank?

43 MR. KRISTENSEN: Not to the storage tank.

44 PARTICIPANT: Where does it --

45 MR. KRISTENSEN: Not possible to the storage
46 tank.

47 PARTICIPANT: It doesn't. You don't have a
48 dump?

49 MR. KRISTENSEN: A dump. I'm sorry. Of

1 course. We dump back to the storage tank, yes.
2 PARTICIPANT: Yeah. Do you know if this
3 storage tank was contaminated by this salt water within
4 the condensate system?
5 MR. KRISTENSEN: When we change storage tank,
6 we always take water test of storage tank, and if
7 there's too much salt, we -- we -- we dump the water.
8 PARTICIPANT: Okay. So, that's probably what
9 you -- was that what --
10 MR. KRISTENSEN: If it's too much salt --
11 PARTICIPANT: Okay.
12 MR. KRISTENSEN: -- in the storage tank, yes.
13 PARTICIPANT: Did you ever see any gauge
14 glasses salt up, turn white, in the blow of the drums?
15 MR. KRISTENSEN: No.
16 PARTICIPANT: Could you -- could you tell me
17 about the procedure? When you come into port and you
18 take steam off the engines, you have finished with
19 engines, could you tell me about the procedures in
20 which you cool down and then later on warm up your main
21 engines?
22 MR. KRISTENSEN: Well, you want to hear the
23 procedure for maintenance?
24 PARTICIPANT: Yeah. Just -- just generally,
25 and cooling -- and cooling. Do you ever take steam off
26 the engine?
27 MR. KRISTENSEN: Yeah. Every time when we're
28 in port, we take the starting gear off. When we finish
29 with engine, when we finish with engine, they trip the
30 main engines, and we take the starting gear off, and
31 the electric motor turn the shocks and the turbines
32 until maybe at, say for example, 4:00. We fix the
33 gauge turning gear, start idling for the turbines. The
34 minimum time is 10 minutes, idling the turbines.
35 PARTICIPANT: Okay. Minimum amount of at
36 least 10 -- at least 10 --
37 MR. KRISTENSEN: At least 10 minutes.
38 PARTICIPANT: -- for warm-up. Okay. Did you
39 ever have any concerns about that procedure? Anything?
40 MR. KRISTENSEN: No.
41 PARTICIPANT: Okay. All right. That's all I
42 have.
43 MR. RILEY: John Riley.
44 Can I just clarify a point, please? I think
45 you referred to the chlorides at one time being over
46 800 parts per million.
47 MR. KRISTENSEN: Yes, yes. On one boiler.
48 MR. RILEY: And did you then say that the
49 alarm set point was 16 parts per million?

1 MR. KRISTENSEN: We don't have an alarm set.
2 We don't have an alarm on -- on the boiler. We have
3 only an alert on the condenser, and the alarm set
4 points on the condenser, I think it was 2 ppm, but the
5 maximum -- the maximum we have on the boilers before we
6 start skimming is 16, but we don't have an alarm or
7 something else.

8 MR. RILEY: So, the -- the main condenser --
9 MR. KRISTENSEN: Two ppm, as I remember.
10 MR. RILEY: Two ppm per alarm point.
11 MR. KRISTENSEN: Yeah.
12 MR. RILEY: And then, the -- the operating
13 normal is -- at 60 ppm, --
14 MR. KRISTENSEN: 16.
15 MR. RILEY: 16, you start skimming?
16 MR. KRISTENSEN: Yes.
17 MR. RILEY: Sorry. I misheard you.
18 MR. KRISTENSEN: Okay.
19 MR. RILEY: 1-6.
20 MR. KRISTENSEN: Right.
21 MR. RILEY: Thank you very much.
22 MR. ROTH-ROFFY: What is your procedure on
23 burner cooling? Normally, at sea, when you have a
24 boiler running, you have five burners in operation.
25 Could you describe at what point you would pull a
26 burner, you know, turn off one of the burners and which
27 one it would be?
28 MR. KRISTENSEN: Every night, evening, from
29 between 8 or 12, they change all the burner on one
30 boiler.
31 MR. ROTH-ROFFY: Okay.
32 MR. KRISTENSEN: That's one time we do that,
33 but then we have full speed ahead.
34 MR. ROTH-ROFFY: Right.
35 MR. KRISTENSEN: Change one-by-one. We take
36 the four because we don't have so much load. We take
37 off one and two burner. Normally, it would be Burner
38 4, 5 or 1, 5 or 1.
39 MR. ROTH-ROFFY: At what point would you --
40 is there a set point that you would pull a burner?
41 MR. KRISTENSEN: Yes.
42 MR. ROTH-ROFFY: When would you do that?
43 MR. KRISTENSEN: I don't do that. The stoker
44 would usually do that. That is determined by the staff
45 chief call and say we can take the burner down. Start
46 off the burner. So, when this stoker hear that, he do
47 that.
48 MR. ROTH-ROFFY: So, when you engage the
49 turning gear, the stoker would turn off one burner?

1 MR. KRISTENSEN: Yes.
2 MR. ROTH-ROFFY: Okay.
3 MR. KRISTENSEN: One or two, sometimes two.
4 MR. ROTH-ROFFY: Sometimes two?
5 MR. KRISTENSEN: Yeah.
6 MR. ROTH-ROFFY: If they turn off two, which
7 one -- other one would they turn off?
8 MR. KRISTENSEN: That would be -- if they
9 have turn off Number 5, that would be Number 1 they
10 turn off.
11 MR. ROTH-ROFFY: If they turn off Number 1,
12 it would be Number 5?
13 MR. KRISTENSEN: Yes.
14 MR. ROTH-ROFFY: So, 1 and 5, if there's two
15 out?
16 MR. KRISTENSEN: Normally, yes.
17 MR. ROTH-ROFFY: Okay. Can you tell us why
18 the -- when you shut off a boiler after -- at some
19 point in the -- in the void, you run three boilers,
20 right?
21 MR. KRISTENSEN: Yeah.
22 MR. ROTH-ROFFY: And -- and at some point,
23 you shut off one boiler?
24 MR. KRISTENSEN: And run two.
25 MR. ROTH-ROFFY: And run two, correct. When
26 you shut off that one boiler, can you -- can you tell
27 us why -- why you don't keep the pressure up? Why do
28 you bring the pressure all the way down to zero?
29 MR. KRISTENSEN: Why? I never thinking about
30 that. But I think -- I know it's very difficult to
31 keep the pressure up all the time. If you want to keep
32 the pressure up, we need to have a burner to -- to
33 steam it up sometimes.
34 MR. ROTH-ROFFY: Okay. But if you were to
35 take the fire out and, you know, let it vent for maybe
36 five or 10 minutes through the superheater and close
37 that superheater vent, and you close everything else,
38 how long would it take for the pressure?
39 MR. KRISTENSEN: I answered that question
40 yesterday.
41 MR. ROTH-ROFFY: Without -- I mean, if you
42 were just to not open any drains and shut off the four
43 --
44 MR. KRISTENSEN: If you don't open any drains
45 and close the boiler and how many hours it takes for
46 the pressure, I really don't know because I never have
47 seen that.
48 MR. ROTH-ROFFY: Okay. Do you know why the
49 -- you don't do it that way?

1 MR. KRISTENSEN: No. They always -- that's
2 very important to do that. They always train the
3 superheater and the boiler down a little bit, drain
4 down the pressure, bottom blow, because, for example,
5 for other stuff in the water, and always open this --
6 this starting line, as we call it, and take off of this
7 for -- from 60 bar to 55 bar, we close this starting
8 line. After we configure this bottom blow down, about
9 20 minutes, and we stop then and how much pressure, I
10 really don't know. I never have checked.

11 MR. ROTH-ROFFY: And you also open up the
12 drains, I believe you say?

13 MR. KRISTENSEN: Yes, that's important.

14 MR. ROTH-ROFFY: All the drains?

15 MR. KRISTENSEN: Yes.

16 MR. ROTH-ROFFY: And you -- you have the
17 four-strap fan running?

18 MR. KRISTENSEN: Yes.

19 MR. ROTH-ROFFY: With the damper about 15 to
20 20 percent?

21 MR. KRISTENSEN: Yes.

22 MR. ROTH-ROFFY: But you don't know why it's
23 important to cool it down, why you just don't close it
24 up?

25 MR. KRISTENSEN: I guess they want to save
26 fuel. They want to keep the pressure in the boilers.
27 It's not a problem to do that.

28 MR. ROTH-ROFFY: Right.

29 MR. KRISTENSEN: You always need to have one
30 burner running. It's no problem to do that, but I
31 guess it's a fuel-saving thing or sometimes they take
32 off the boiler to be able to do some maintenance or
33 that, want to take inspection.

34 MR. ROTH-ROFFY: But if you know you're going
35 to start the boiler up in a couple of days, right, if
36 it's off, how many days would it be off before you
37 started?

38 MR. KRISTENSEN: Normally, after the last
39 drydock, most of the time, when I have been on board,
40 we have run all the time with three boilers or four
41 boilers because the ship loses a lot of speed after
42 this drydock, and so normal before this drydock, when
43 it have run on two boiler from -- from -- from -- and
44 to -- come to St. Thomas again, and we start lighting
45 off this boiler, the third boiler or, for example, it's
46 four boiler, in St. Thomas, we start 8:00 in the
47 morning and finish about -- when we leave, about 6 and
48 we start the blow and that is if we have normally two
49 boilers. We change between one or otherwise. So, why

1 they take -- that's the way I know that we do that.
2 MR. ROTH-ROFFY: Okay. Yeah. I just thought
3 you might know of a good reason why you did it that
4 way.
5 MR. KRISTENSEN: I never have thinking about
6 that, but I don't know why.
7 MR. ROTH-ROFFY: Okay. Ken Olsen, go ahead
8 and follow up.
9 MR. OLSEN: If you did bottle up the boiler
10 and that's the term -- the U.S. term, bottom the
11 boilers, shutting the fin, shutting the vents and the
12 drains. Do you think it would maintain pressure or
13 would it lose pressure quickly?
14 MR. KRISTENSEN: If we don't drain or don't
15 use normal, it would take a long time to get the
16 pressure down.
17 MR. OLSEN: Yeah. And the reason I'm asking
18 that is I'm trying to identify if there's many leaks
19 within the boiler.
20 MR. KRISTENSEN: I understand what you are
21 speaking about.
22 MR. OLSEN: Yeah. So, is the answer no?
23 MR. KRISTENSEN: At that time, it was all the
24 boiler was in good condition when we're speaking about
25 leaking.
26 MR. OLSEN: Hm-hmm.
27 MR. KRISTENSEN: After this retubing.
28 MR. OLSEN: Okay. Where's the hydro pump on
29 this ship?
30 MR. KRISTENSEN: The hydro pump?
31 MR. OLSEN: Hm-hmm.
32 MR. KRISTENSEN: I don't know what the hydro
33 pump is.
34 MR. OLSEN: To test the boiler.
35 MR. KRISTENSEN: The pump they use to test
36 the boiler for leaking?
37 MR. OLSEN: Yeah.
38 MR. KRISTENSEN: Normally, it would be -- I
39 never have done that, but I know they use some of the
40 bigger pumps to open the valves to fill it up with
41 water.
42 MR. OLSEN: Hm-hmm.
43 MR. KRISTENSEN: And they try to get
44 pressure.
45 MR. OLSEN: Okay. You don't know if you have
46 a separate hydro pump?
47 MR. KRISTENSEN: They have -- they have one
48 electrical pump they use. When you lose the pressure
49 on the boiler after a black-out or something, they have

1 to be able to have steam to this -- to this -- steam
2 feeds the water pump. We have an electrical pump for
3 that.

4 MR. OLSEN: Is that a portable pump?
5 MR. KRISTENSEN: No, no, no.
6 MR. OLSEN: You have an electrical feed pump?
7 MR. KRISTENSEN: Yes. That's true.
8 MR. OLSEN: Is that a reciprocating pump?
9 MR. KRISTENSEN: No, no. What you mean
10 reciprocating?
11 MR. OLSEN: Piston pump.
12 MR. KRISTENSEN: No, no, no. No, no. It's
13 normally a propeller.
14 MR. OLSEN: Okay. But I -- just to clear it
15 up, is there on board a fixed pump that is high-
16 pressure/low-volume used to test the hydrostatic --
17 used to perform hydro pressure tests on the boilers?
18 MR. KRISTENSEN: I don't know.
19 MR. OLSEN: Okay. Thank you. That's all I
20 have.
21 MR. ROTH-ROFFY: Just, I think, one more or
22 two more questions for you.
23 You said you were on -- in the shipyard in
24 1999 when they did retubing. Do you recall the extent
25 of the retubing? Which tubes actually were replaced?
26 MR. KRISTENSEN: I don't know what tubes
27 because I was just start to work on the ship. So, I
28 remember, I see the -- I think they redid everything,
29 but I was mostly on the Boiler 22. They retube
30 everything. That's what I remember from this retubing.
31 MR. ROTH-ROFFY: Okay. I'm sure it's in the
32 records, but we just wanted to --
33 MR. KRISTENSEN: I don't know.
34 MR. ROTH-ROFFY: -- see if you remembered.
35 Do you remember how much of Boiler 23 was retubed?
36 MR. KRISTENSEN: Oh, no.
37 MR. ROTH-ROFFY: But it was retubed at least
38 partially?
39 MR. KRISTENSEN: I don't know the answer to
40 that question.
41 MR. ROTH-ROFFY: Okay. That's fine. We've
42 heard something about an electrical problem that caused
43 a black-out of the complete plant. Do you -- were you
44 on board at that time?
45 MR. KRISTENSEN: I've been where?
46 MR. ROTH-ROFFY: No. On the Norway in a --
47 in the past six months?
48 MR. KRISTENSEN: Yes. The last black-out we
49 had in St. Thomas, I was on board. The date, I don't

1 remember. But this is past six months, yes.
2 MR. ROTH-ROFFY: Were you on watch during
3 that time?
4 MR. KRISTENSEN: At the time, I working as a
5 day man. I working with the diesel engine. So, I was
6 not working on that.
7 MR. ROTH-ROFFY: Do you remember about when
8 that happened?
9 MR. KRISTENSEN: Yes. I think it was about
10 4:00 in the evening in St. Thomas and that must be
11 Thursday.
12 MR. ROTH-ROFFY: Do you remember the day --
13 or the month, rather, the day of the month?
14 MR. KRISTENSEN: Oh, I don't know.
15 MR. ROTH-ROFFY: Was it about six months ago
16 or three months?
17 MR. KRISTENSEN: I don't remember.
18 MR. ROTH-ROFFY: But you were --
19 MR. KRISTENSEN: It was shorter than six
20 months ago.
21 MR. ROTH-ROFFY: Okay. And do you recall how
22 long the plant was down?
23 MR. KRISTENSEN: The last black-out?
24 MR. ROTH-ROFFY: Yeah.
25 MR. KRISTENSEN: I know we used about one
26 hour, one and a half hours to start up this -- the
27 Generator 12. That's the -- that's the first generator
28 we started of the back-ups. So, we used about one and
29 a half hours to -- to get this -- to the -- to the
30 switchboard.
31 MR. ROTH-ROFFY: You say about one and a half
32 hours?
33 MR. KRISTENSEN: Yeah.
34 MR. ROTH-ROFFY: Was there a problem that you
35 couldn't get that generator running?
36 MR. KRISTENSEN: No problem to start the
37 motor, but I don't know why it took more time. That's
38 the normal time they usually get it through the
39 switchboard or the main board.
40 MR. ROTH-ROFFY: That's how long it normally
41 takes?
42 MR. KRISTENSEN: Yeah. The black-out. I
43 have been there. That's normal to take something like
44 that. But I don't know why because I'm not an
45 electrician. I have nothing to do with that.
46 MR. ROTH-ROFFY: Do you remember what caused
47 that black-out at St. Thomas?
48 MR. KRISTENSEN: Don't remember.
49 MR. ROTH-ROFFY: We heard that it was an

1 electrician pulling some kind of a switch. Does --
2 MR. KRISTENSEN: I cannot answer that. I
3 don't know.
4 MR. ROTH-ROFFY: Okay.
5 MR. KRISTENSEN: Only know there was a black-
6 out.
7 MR. ROTH-ROFFY: And do you remember how long
8 it took to get the steam plant back up?
9 MR. KRISTENSEN: At that time, I was not on
10 the steam but only the diesel engine. I don't know.
11 MR. ROTH-ROFFY: Have you ever been on watch
12 or do you know anything about or have you ever heard
13 about a boiler tripping off while steaming underway and
14 having to reduce speed?
15 MR. KRISTENSEN: Many times.
16 MR. ROTH-ROFFY: Many times?
17 MR. KRISTENSEN: Yes.
18 MR. ROTH-ROFFY: Can you -- starting from the
19 last time you remember?
20 MR. KRISTENSEN: I remember the last time.
21 It was on my watch. It was maybe one week before the
22 accident, and they had some problem with one of the
23 burners on Boiler 21. Yes, 22. Sorry. We changed the
24 burner and then we -- I don't remember. We start at
25 least the burner and it's not fired up. We used
26 another burner. So, maybe -- I think the guy should
27 reset this alarm but they pushed on the wrong button,
28 so he stopped the fuel feeding to the boiler. So, we
29 kept the boiler tripped or stopped. That was on my --
30 in the morning about 3:30.
31 MR. ROTH-ROFFY: And that was about five days
32 before?
33 MR. KRISTENSEN: About a week.
34 MR. ROTH-ROFFY: About a week before the
35 accident?
36 MR. KRISTENSEN: Yeah.
37 MR. ROTH-ROFFY: Okay.
38 MR. KRISTENSEN: It was on line for a few
39 seconds.
40 MR. ROTH-ROFFY: Who touched the wrong
41 button?
42 MR. KRISTENSEN: Carlos Perez, Perez.
43 MR. ROTH-ROFFY: Okay. Could you go back in
44 history and try to remember some of the other times
45 that you tripped -- had a problem with the tripping
46 boiler?
47 MR. KRISTENSEN: I know there was a tripping
48 boiler just before I come on board -- no. It was --
49 that was on -- we had a tripping boiler, but I don't

1 remember if I was on board or before I was on board
2 because they don't view it as a big problem, and I
3 don't remember the exact something after that.

4 MR. ROTH-ROFFY: I think we've heard about
5 that. Was it a high superheat temperature maybe?

6 MR. KRISTENSEN: Yes, it was high superheat
7 temperature. That's true.

8 MR. ROTH-ROFFY: Okay. Do you remember any
9 other -- any instances where the boiler trips?

10 MR. KRISTENSEN: Oh, I know we have many
11 boiler trips.

12 MR. ROTH-ROFFY: Right.

13 MR. KRISTENSEN: It happens from time to
14 time, but I don't remember. It's small things, and I
15 don't remember.

16 MR. ROTH-ROFFY: When you stood watch in the
17 engine room, have you ever had the opportunity to -- or
18 have you ever tested the flame scatters?

19 MR. KRISTENSEN: The flame scanners?

20 MR. ROTH-ROFFY: Yeah. Correct. Have you
21 ever done anything with them?

22 MR. KRISTENSEN: No, I never have. No,
23 never. Sometimes if we have a problem with the boiler,
24 we used to change the photo cell. That's one of the
25 things we used to try.

26 MR. ROTH-ROFFY: Do you have a spare photo
27 cell that you use?

28 MR. KRISTENSEN: Yes.

29 MR. ROTH-ROFFY: Where was that located?

30 MR. KRISTENSEN: We have our phone booth in
31 the boiler room, so there's also this box there.

32 MR. ROTH-ROFFY: It's a box in the phone
33 booth?

34 MR. KRISTENSEN: No, no. Outside of the
35 phone booth.

36 MR. ROTH-ROFFY: Okay.

37 MR. KRISTENSEN: But on the phone booth.

38 MR. ROTH-ROFFY: Okay. It's mounted on the
39 phone booth?

40 MR. KRISTENSEN: Yes.

41 MR. ROTH-ROFFY: Okay.

42 MR. KRISTENSEN: Six or seven spare.

43 MR. ROTH-ROFFY: Okay. Have you had -- have
44 you ever changed a photo cell?

45 MR. KRISTENSEN: Not personally, no, but I
46 have ordered them to do that.

47 MR. ROTH-ROFFY: Okay. Why would you order
48 them to do that? What would be the indications?

49 MR. KRISTENSEN: If they have problems with

1 the burner and we try a lot of things.
2 MR. ROTH-ROFFY: If the burner won't start
3 up?
4 MR. KRISTENSEN: The burner won't start up,
5 yes, and one thing we try is to change the photo cell
6 or try to clean it.
7 MR. ROTH-ROFFY: Okay.
8 MR. KRISTENSEN: That's one of the things we
9 do.
10 MR. ROTH-ROFFY: Do you ever try to adjust
11 the alignment? Is that an adjustable thing?
12 MR. KRISTENSEN: Oh, that, I don't know
13 because I never have the boiler as my responsibility.
14 MR. ROTH-ROFFY: Sure, sure.
15 MR. KRISTENSEN: I don't know so much about
16 the boilers, about those special things to do, no.
17 MR. ROTH-ROFFY: Do you ever test the flame
18 scanner with like a torch or anything --
19 MR. KRISTENSEN: No.
20 MR. ROTH-ROFFY: -- to see that it works?
21 MR. KRISTENSEN: Not me.
22 MR. ROTH-ROFFY: Okay. That's all I have.
23 Anybody else have any questions?
24 MR. OLSEN: I have one follow-up on something
25 you mentioned, Tom. I apologize.
26 Have you ever seen any of the machinists or
27 whatever they're called, lathe operators, making any
28 boiler plugs?
29 MR. KRISTENSEN: Many times, I see them
30 making boiler plugs.
31 MR. OLSEN: Many times?
32 MR. KRISTENSEN: Yes. Not -- not -- sorry.
33 I'm not thinking about boiler plugs, I'm thinking about
34 condensers.
35 MR. OLSEN: Okay.
36 MR. KRISTENSEN: So, I've never seen -- maybe
37 I've seen, but I don't know it was a boiler plug.
38 MR. OLSEN: Okay. It would have been a big
39 one.
40 MR. KRISTENSEN: Yeah. The pipe was leaking.
41 MR. OLSEN: Yeah. The other question is, if
42 you were -- as if you were having problems with the
43 photocell, is there any way to keep that fire lit while
44 you're working the photo cell?
45 MR. KRISTENSEN: Not as I know.
46 MR. OLSEN: Okay.
47 MR. KRISTENSEN: I think that if they take
48 out the photo cell, the burner should shut off.
49 MR. OLSEN: Yeah. But I was just curious if

1 there's a way to keep it burning.
2 MR. KRISTENSEN: Oh, I don't know that.
3 Maybe. I don't know.
4 MR. OLSEN: Okay.
5 MR. KRISTENSEN: I don't think so.
6 MR. OLSEN: All right. Thank you.
7 MR. ROTH-ROFFY: Okay. The time is now about
8 10 to 10 and that'll conclude our interview of Trond
9 Kristensen, and sir, thank you very much for coming and
10 talking with us. You've been very helpful.
11 MR. KRISTENSEN: Okay. Thank you.
12 MR. ROTH-ROFFY: Thanks.
13 (Whereupon, at 9:50 a.m., the Interview of
14 Second Engineer Trond Kristensen was concluded.)