

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

\* \* \* \* \*

Investigation of:

\*  
\*  
\*  
\*  
\*  
\*

CHLORINE TANK CAR RELEASE IN  
NEW MARTINSVILLE, WEST VIRGINIA  
ON AUGUST 27, 2016

Docket No.: DCA16SH002

\* \* \* \* \*

Interview of: RICKY WELLS

Axiall Corporation  
15696 Energy Road  
Proctor, West Virginia

Thursday,  
September 1, 2016

The above-captioned matter convened, pursuant to notice.

BEFORE: PAUL STANCIL  
Investigator-in-Charge

## APPEARANCES:

PAUL STANCIL, Investigator-in-Charge  
Senior Hazmat Accident Investigator  
National Transportation Safety Board

JOHN VORDERBRUEGGEN, Division Chief  
Pipeline and Hazardous Materials Investigations  
National Transportation Safety Board

I N D E X

ITEM

PAGE

Interview of Ricky Wells:

By Mr. Stancil

4

I N T E R V I E W

(8:19 a.m.)

1  
2  
3 MR. STANCIL: Okay. Today is September 1, 2016. My name is  
4 Paul Stancil. I'm a senior hazardous materials accident  
5 investigator with the National Transportation Safety Board. We're  
6 here at the Axiall Corporation facility at 15696 Energy Road,  
7 Proctor, West Virginia. This is in reference to NTSB Accident  
8 Investigation Number DCA16SH002. It is approximately 8:19 a.m.

9 With me in the room, we're conducting an interview of Ricky  
10 Wells, who is a chlorine loader for Axiall Corporation.

11 So we'll go around the table and introduce yourselves.

12 MR. WELLS: Yeah. My name is Ricky Wells. I'm an employee  
13 at the Axiall Plant here in Natrium and I've been here about 39½  
14 years.

15 MR. VORDERBRUEGGEN: John Vorderbrueggen. I'm the chief of  
16 Pipeline and Hazardous Materials Accident Investigation Division  
17 of the NTSB.

18 MR. STANCIL: Okay. Thank you, Mr. Wells, for giving us the  
19 time this morning.

## INTERVIEW OF RICKY WELLS

20  
21 BY MR. STANCIL:

22 Q. Can you tell us a little about your background and what your  
23 job functions are here at Axiall?

24 A. Well, background, I've been here since, I think, 1977 or  
25 somewhere in that neighborhood. I worked in sales for about the

1 first 8 or so years, and then I moved into the chlorine department  
2 control room where I was for 25 years, and then I began to sort of  
3 ease my way out. I moved down to the loading department and I've  
4 been there somewhere in the neighborhood of 7 years now or so.  
5 And as a matter of fact, I'm preparing to retire on November 1st.  
6 That's about the whole story right there.

7 Q. Okay. Well, that's, that's very good. And so the reason  
8 we're here today, we're trying to investigate the circumstances  
9 related to a chlorine release that occurred last Saturday, August  
10 27th, and we understand that you were working that day and had  
11 handled that tank car. So I would ask if you could describe what  
12 your recollection is and all of the procedures that were involved  
13 as you dealt with that tank car on that day.

14 A. Well, we were there, not that day, but we were there on the  
15 shift previous. We worked the nightshift, my partner and myself.  
16 And so that, that night -- first of all, I'll say up front that  
17 there was nothing in particular outstanding about that car or any  
18 car or the shift in general. It was just a typical night. We  
19 were loading -- we had three load stations there and we were  
20 loading on two of those and on one of them we were unloading a  
21 car.

22 And this particular car is one that we had hooked up with the  
23 flex lines and had started loading. I don't remember what time,  
24 but sometime during our shift, I think probably around 2:00 or  
25 3:00 in the morning, we had connected that car and began loading.

1 Nothing extraordinary either in the movement of the car or  
2 anything else. I mean, there was just nothing about it that  
3 attracted any kind of attention.

4 And handed the shift over to the oncoming shift, I think  
5 somewhere around 6:00, 6:30, somewhere in that neighborhood, and  
6 again there was no real discussion about anything in particular.  
7 It was just status quo. And that's pretty much it, you know. I  
8 mean, there are no fantastic facts I can give you. It's just that  
9 was, that was what happened that morning.

10 Q. Okay. Fair enough. So would you mind describing for us the  
11 general procedures for loading a tank car with chlorine? How does  
12 that work?

13 A. Okay. Let's just take one car, let's say that car. It comes  
14 into the, into the -- what we call the loading shed, which really  
15 is just a covered area, and there are basically -- there are three  
16 tracks inside the shed, but then each of those tracks has three  
17 particular stations on it. The first station, all the way in the  
18 back, kind of like an assembly line sort of an arrangement. So  
19 you bring the cars into the shed in the back, and the first  
20 station they come to is what we call the prep station, which is  
21 where the car -- actually that's the first place where the car is  
22 inspected. There are two people on the job. The person who runs  
23 what we call the front is the person who actually inspects the  
24 cars, and that happens when it comes up on that first station in  
25 the back.

1           So the very first thing that happens to a car when it comes  
2 in is the inspection, and that inspection -- there is a checksheet  
3 that, that I'm sure you'll -- somebody will give you one of those,  
4 and you'll be able to see what all's there, but basically it just  
5 entails a visual once-over to see if there is anything outstanding  
6 about the car. You know, what kind of condition is the body in?  
7 Are there, are there any rust holes or what's the paint condition?  
8 You know, are there bombs hanging off the rails, you know? I  
9 mean, it's just a general maintenance and safety inspection.

10           So once that's done, then the other guy, the other guy on the  
11 shift, the other loader, then he's more -- because the inspection  
12 part of it takes place on the ground, but if you can envision  
13 inside this loading rack, all of the loading takes place on sort  
14 of a midlevel catwalk sort of thing, and that's where he'll be.  
15 And what he does is he opens up the car, the dome, and then I will  
16 also then take a look inside the dome, you know, and see basically  
17 just what the condition of the thing is. And then he begins what  
18 we call the prep, which is basically just clean up, paint and  
19 remove -- at that point in time is when we remove any kind of heel  
20 or leftover, you know, from the previous trip. And sometimes  
21 there will be a little liquid left in it, but usually it's just,  
22 it's just gas, and we get rid of that.

23           And so when that process is complete, then that car will sit  
24 there until the front car, because -- okay. I didn't say that.  
25 We have three stations there inside the shed. Each one of those

1 stations will have a car on it because it's an assembly line,  
2 okay. But that's the end of that step in the back. So whenever  
3 the car on the loading station there is finished loading, then we  
4 just move the whole string up one car.

5 Okay. So that car then will move to the center station which  
6 generally doesn't have anything done there. It's just there. If  
7 you didn't get done with things back here, this is where you  
8 finish up.

9 And then, again, when the next car is done, then everything  
10 moves up one more. So that car now that you had brought in and  
11 inspected and prepped, is now ready to load on the front station.  
12 Okay. You with me?

13 And so when we had come in -- I'll go back directly to that  
14 car now. When we had come in, I believe the inspection and the  
15 prep steps had already been done, and so that car -- and also it  
16 had been moved up one step in the process. So it was on the  
17 middle station. Okay.

18 And so then at around 2:00 or 3:00, whenever it was, we made  
19 the changes. In other words, the front car finished loading. The  
20 one ahead, just ahead of the car, okay, that one finished loading  
21 around 2:00 or 3:00 in the morning, and we just moved everything  
22 up one, which means the car in question moved into the loading  
23 spot.

24 And I was, I was the one -- yes, I was the one -- I hooked up  
25 the flex lines to it and actually began the loading process. And



1 that step, really again, I mean, no matter where you are in the  
2 process, you -- you're -- what I'm saying is that there's  
3 inspection actions, I'll put it that way, that take -- because all  
4 the time you're supposed to be -- you need to be looking at the  
5 condition of things, one, because maybe somebody before you looked  
6 at it and didn't see something; maybe they missed it. Maybe --  
7 who knows what. But the point is to be aware of the fact that --  
8 you keep your eyes open. And again, there, I didn't see anything  
9 unusual in the car that -- at least not that I recollect. And in  
10 my mind, that means if I don't recollect anything, there probably  
11 wasn't anything, and I'm like the third set of eyes that have  
12 looked at this car.

13         Again, now, that's only on the top part. I mean, that's in  
14 the dome. That's the only part I'm concerned with now.

15         So anyway, we go through that process and it takes, depending  
16 on certain variables, it'll take anywhere from 6 to 8 hours, or in  
17 that neighborhood, to load a car, and I think it was around 2:00  
18 or 3:00 in the morning that we started loading that car. And, of  
19 course, we're doing -- you know, we did -- we made the change on  
20 -- this was on number 10 track, and we made a change on number 8  
21 track also. Number 11 track was the unloading car, and it was  
22 just sitting there unloading all night, nothing -- we didn't do  
23 anything with it.

24         Pretty much from the 2:00 or 3:00, whenever it was we made  
25 the change, until about 6:30 or so, when the next shift came in,

1 nothing happened. You know, every hour you're writing down the  
2 numbers, the weights of the cars, you know, just keep track of the  
3 fact that they are moving along like they should and everything's  
4 normal. And that's basically all that we did the rest of that  
5 night. 6:30 or so, we left and -- and that's the last I knew of  
6 it until -- actually I think my son called me and said, are you  
7 listening to the news? And I said, no, I'm sleeping, because it  
8 was -- I think it was around 11:30 or so that he called. And he  
9 said, well, maybe you should listen to the news. So that's when  
10 -- that was the first I'd heard of it.

11 And that's pretty much, you know, unless there's something  
12 specific that you can ask me, that's pretty much my recollection  
13 of the whole deal.

14 Q. So during the course, when you're -- of the loading actions  
15 out there, do you check for leaks?

16 A. One of the things, the nice things about chlorine is that you  
17 really don't have to check for leaks.

18 Q. It'll let you know.

19 A. It there is a leak, it will let you know. In addition to the  
20 fact that we do have sensors all over the place out there, and  
21 there were no sensor alarms. There were no notifications from the  
22 control room, and there was no -- now, now that being said, you  
23 know, occasionally you'll get a little whiff of this, a little  
24 whiff of that. That's just normal. You know, you work -- we make  
25 it, okay. So occasionally you do have something like that, but

1 that particular night, there was nothing.

2 I'd like to say, well, you know, I remember exactly what the  
3 weather was like and there was a gentle breeze from the north. I  
4 don't know what it was like. I don't remember, other than it was  
5 hot and humid like it has been, and -- but as far as anything of  
6 that nature, there were no calls, no notifications, and no  
7 indications of any kind that there was any kind of a leak.

8 Q. If there had been a leak, what would've -- how would you have  
9 detected it and what would the procedure be to deal with it?

10 A. Okay. It could have happened probably two or three different  
11 ways. The first way is that the phone will ring, and it will be  
12 somebody in the control room, either the east area or possibly in  
13 the west area or possibly the sulfur chloride operator, because  
14 they have the Profox, the computer system. Okay. We have a PC  
15 that's network connected, but we don't have the actual Profox  
16 system, but they do, and that's where all of incoming alarms and  
17 things show up. Okay. So we would have gotten, if there was --  
18 if there was a leak sufficient to trip a sensor, then we would get  
19 a phone call or a radio call from one of those places saying this  
20 particular sensor is going off, what's the deal? That's one way  
21 of getting notified.

22 The other would be that if it's somebody out and walking  
23 around and they just smelled something, then they would come up  
24 probably and say, hey, you guys got something leaking in here.  
25 The other would be that if we were just -- happened to be out and

1 walking around in the right place, right time, and we smelled  
2 something. That's pretty much the only ways that it would come to  
3 our attention.

4 Then once that happened, basically we get our little ammonia  
5 squirt bottle and start walking around and smelling. And if you  
6 smell something, I mean, it's just like a dog hunting, you know;  
7 you follow it until you tree it someplace and then you can pretty  
8 much localize it and then deal with trying to fix it, if it's  
9 something you can fix.

10 And -- well, if it's the typical kinds of things, then we can  
11 do that; we can fix it. If was something that we really couldn't  
12 fix, then we would probably, depending on how bad it was -- you  
13 know, I'm not saying I'm not going to panic, I can't do anything  
14 about it. I would either fix it or I would get in touch with  
15 somebody who could.

16 If it was something that was -- that I deemed necessary or  
17 prudent, okay, we'll just shut down. You understand what I'm  
18 saying? I'm not saying a leak means shut down automatically.  
19 Maybe it does; maybe it doesn't.

20 So I'm getting, I'm getting off track. I'm beginning to talk  
21 too much now.

22 Q. No.

23 A. A leak -- you've got a leak and then there's a leak. If it's  
24 just you can give it a squirt and you get a little puff of smoke  
25 and you can, you can smell it, okay, that's a leak. And that's

1 the typical. That's 99 percent.

2 Q. What's a typical cause for a leak?

3 A. Okay. Most generally -- remember I said on the back station,  
4 on the initial station when you -- it's almost always going to be  
5 when you're hooking a flex line. You hook a flex line to one of  
6 the valves in that car. On the back stations, we have what they  
7 call quick connects. There's no gasket or anything like that to  
8 put. It has an O-ring gasket and you just put it on there,  
9 tighten it with your hand and you're done. Those are the best.  
10 And generally, you don't have a leak there because that's -- to  
11 answer your question, generally it's going to be that. It's going  
12 to be when you connect the flex hose to that car.

13 In the front station now, it's a little different. We don't  
14 have the quick connects back there. We have what's called hammer  
15 locks. You know what that is?

16 Q. Yes.

17 A. With just a little white ring gasket, and those are notorious  
18 for leaking if you don't put them on right. I mean, if you don't,  
19 if you don't do a good job; don't get the gasket just right, don't  
20 get it tight enough, things like that. But normally you don't  
21 have that because I don't know how many times in a day, in a week,  
22 in a month and then a year you do that, and after a while, you  
23 just learn there's a way to do it and a way not to do it. But  
24 more than that, what you learn is if I don't do it -- if I don't  
25 do it right the first time, I'm going to be coming back here after

1 a while and fixing it anyway; I'd rather just do it right. So the  
2 majority of leaks would happen that way.

3 Now there are times -- the valves in the dome have plugs in  
4 them. Okay. They're plugged. When they come up on that back  
5 station, the prep station, all the plugs are taken out, the  
6 purpose of that being to see if the valve leaks, you know, if the  
7 valve just inherently leaks. If it does, then we try to fiddle  
8 with them a little bit to get them to stop because you can do  
9 that. There's any number of reasons why it might be leaking a  
10 little bit. A lot of times, it might not even be -- it just might  
11 not be closed tight. But that's the point, you take the plugs out  
12 to see if the valves are in, in good shape.

13 We have trip number -- we have trip counts on all the cars  
14 and all the valves. We change them every 18 trips or every 5  
15 years or if they leak and we can't stop them. Okay. Those are  
16 basically the three things.

17 I don't remember. Again, I'd like to tell you this car was  
18 perfect, it had how many trips. I don't remember. I don't know.  
19 But I do know this. It was fewer than 18 trips. It was less than  
20 5 years, and it wasn't leaking at the time. Because if so, then  
21 those things would have been dealt with on that back station.

22 As I recall that day, it seems to me like that was -- no,  
23 that's right. That was a shop car. That was a car that was just  
24 back from the shop. That's right. So all of that stuff, valves  
25 and everything in the dome should have been brand new.

1 Q. So this would be trip 1 of the 18 it was starting into?

2 A. It was starting into the first trip, yeah. I forgot about  
3 that. Okay. There you go.

4 Q. Okay.

5 A. A new car back from the shop is a little bit different than a  
6 car that's just coming back from a customer trip, because when it  
7 comes back from the shop, everything's new but it has a nitrogen  
8 pad, about 30 pounds or so of pressure, of nitrogen. And frankly,  
9 one of the things that, one of the -- if you want to call it a  
10 rumor or I guess maybe a point of interest would be -- somebody  
11 had mentioned, well, maybe the car had moisture in it, which would  
12 be a bad thing because if it had moisture in it and you put  
13 chlorine in it, then it's got -- all of that becomes HCL, which  
14 could attack the tank. I don't know. That doesn't make any sense  
15 to me. I mean, it's possible. I understand that process.

16 But again, that is dealt with on that back station. When you  
17 have a shop car come in, it has that nitrogen pad on it. If you  
18 open a liquid valve on a tank car -- you've got four valves in  
19 that dome. Two of them are gas valves and two of them are liquid  
20 valves, because they have a stand leg that goes to the bottom of  
21 the tank. If there's any, if there's any amount of water in that  
22 tank, you open one of those liquid valves, and you've got nitrogen  
23 pressure, what will you see coming out of the valve? You will see  
24 at least some kind of mist or something like that. And that's the  
25 procedure for determining whether or not there's moisture in that

1 car. And on the checklist, there's an item that says, you know,  
2 was the car dry? Meaning, was there moisture in it? Meaning, did  
3 you open it up?

4 In days gone by, part of that process was, and I don't know  
5 if I should say this or not, we used to actually remove one of the  
6 valves, shine your light down in there to see if you saw anything  
7 in the bottom. We haven't -- actually I have never done that.  
8 That was a procedure that was done at least 7 or 8 or more years  
9 ago, because that's how long I've been there and I've never done  
10 that.

11 But again, like I said, if there's any amount of water in the  
12 bottom of that car, and you open that liquid valve -- I know that.  
13 I know there was no moisture, I know the valves were all new. As  
14 far as the tank itself is concerned -- well, let's go back first.

15 On the moisture, just the end of that story is, why would it  
16 have moisture in it in the first place? Maybe a lot of people  
17 don't know, whenever we send a car to the shop, before we send it  
18 away, we evacuate it to the extent that we can, meaning we just  
19 hook a flex line to it and suck on it with the sniff system and  
20 they usually have pretty good vacuum.

21 But from our place, the car, I'm pretty sure goes to a wash  
22 shop someplace. They send them somewhere and have them actually  
23 washed out inside before they go to the shop where they're worked  
24 on. So there's where the possibility of moisture comes in, I  
25 guess.



1           But this car, as I recall, was back from a 5-year trip to the  
2 shop, versus the ones we send out that are 10 years. And that's  
3 important because the 5-year inspection, I don't believe has  
4 anything that deals with the tank or anything like that, whereas  
5 the 10-year would. But my recollection is, this was a 5-year car,  
6 and so -- because that's what everybody said. Well, it just came  
7 back from the shop, how could the, how could the tank fail because  
8 it just -- well, they didn't -- I don't believe they did anything  
9 relating to the tank at this particular shop visit.

10           And that's just, that's just something rolling around in my  
11 head. There are no real facts there, you know what I'm saying,  
12 and I just -- I've heard people talking about that, you know.  
13 There has to be something else going on here because it just came  
14 back from the shop. Well, that is true, but it wasn't a shop  
15 visit to deal with the tank. So --

16           I forgot where I got sidetracked, but --

17 Q.   Okay. So you were talking about what typically happens  
18 when a --

19 A.   Okay. Yeah.

20 Q.   -- if a leak were to occur. Have you ever observed tanks  
21 that came into the shop that may have been leaking from the shell  
22 from cracks? Has that ever happened?

23 A.   I have never seen anything that I would say was -- I mean, I  
24 have seen cars come in with what you would call cracks and holes  
25 and all that in the shell.

1 Q. Right.

2 A. Now we're talking about the shell. But I've never seen  
3 anything that looked -- that I looked at that and I thought, oh,  
4 boy, that's been leaking. No. And there's a difference. Well,  
5 the reason I would say -- I'm saying that I see a difference.  
6 I've seen cars that have come in that were leaking, had had leaks  
7 in the dome, inside the dome.

8 Q. Right.

9 A. And I know what that looks like. And what I see on cars, and  
10 there aren't that many of them, the cars that come in and actually  
11 have some kind of hole or anything like that in the shell itself,  
12 that's just, that's just -- it looks like your car, you know.  
13 It's like rust. That's what it looks like. Because you get a  
14 little something and then it starts and then it gets a little  
15 bigger, a little bigger, a little bigger.

16 Because that's part of the inspection, that initial  
17 inspection I was talking about, that's part of that, is to go over  
18 that car as well as you can and anything like that -- when you  
19 finish that checksheet, at the bottom of that checksheet is a, is  
20 a grading table, and you grade paint condition, body condition,  
21 and the markings, A, B, C or D.

22 And I -- in my memory, I can't recall ever marking a car as  
23 unacceptable because of a body, you know, the condition of the  
24 body. Because generally what we do is, if there is something like  
25 that wrong, then we just make a notation of that on the sheet and

1 then that car will ultimately either get -- during that three-step  
2 process in the shed, somebody else may come and look at it and  
3 say, yeah, that's -- we need to do something about that, and not  
4 load it, but that's not really usual. The usual is that it'll  
5 just be noted on the sheet and maybe after the car's loaded,  
6 before it leaves, it will go to our shop and -- if it's something  
7 that they can fix right then and there.

8 Now the difference, big difference, I'd say -- I've seen a  
9 lot of cars that come in and have leaked inside of the dome. It's  
10 a mess. I mean, it's just an oily, nasty mess. And so the answer  
11 to your question is no, I don't, I don't -- not that I -- I didn't  
12 see it that way, anyway. If it was something that was caused by a  
13 leak, I don't think so.

14 And by the way, I saw this one after the fact and I've never  
15 seen anything like that, no, nothing even close to it. I mean, I  
16 saw it from the outside, and then after they opened the shell up  
17 and seeing the tank and all that. I remember when I saw it the  
18 first time, which was just looking at the outside on the corner,  
19 on the shell, and I thought, you know, that that, that just looks  
20 different, you know. But, of course, it was a lot worse than  
21 anything that you would typically see on a car coming in, but I  
22 mean it just had a different, different look to it.

23 But no, anything that I've ever seen didn't -- it didn't ever  
24 turn out to be a leak. I'll say, I'll say that. Maybe it was.  
25 Maybe I've seen them and I just didn't realize it and it didn't

1 happen here. So -- but anything that I'm aware of, no, I've  
2 never --

3 Q. Okay. So loading the car, to what pressure and how much do  
4 you put into a car?

5 A. Okay. I have to go back to the first step in the process  
6 now, because once you evacuate the car in the first step,  
7 obviously would play a part in how much pressure was in it on the  
8 other end. We don't completely evacuate all cars. We do have  
9 some cars, some customers that are low ox customers meaning we do  
10 -- we put a vacuum on that back station. That's, that's not the  
11 usual case. Usually we bring them down to somewhere like 8, 10  
12 pounds of pressure by a gauge, a certified gauge. And so  
13 typically then, when you start loading the car, that's about what  
14 it's going to have on it, empty, 8 or 10 pounds.

15 Now when you load the car, that pressure will increase and we  
16 have a max -- we have a range. Fifty pounds is your minimum  
17 pressure that you want in a loaded car. Fifty pounds why? Well,  
18 let me go the other way. The maximum pressure you want is 108  
19 pounds. 108, who came up with that? I don't know, and I don't  
20 know why it's 108. I'm just telling you that's what it is.

21 Q. Okay.

22 A. It's like somebody woke up one morning, said, yeah, 108. I  
23 like that. Fifty, there's a reason. Fifty is because the checks  
24 in the valves need a minimum of 50 pounds to operate. So that's  
25 your minimum pressure that you want in a loaded car. Maximum

1 pressure is 108.

2       Typical pressure is probably somewhere in the middle of that  
3 range. I'd say probably 60 to 80, in a car, that when you're  
4 finished loading, has too much pressure in it or more pressure  
5 than you like. I mean 108, that's what, that's what the black and  
6 white says. I don't even like -- I don't like anything over 80.  
7 It just -- that's just me. So after you're done loading it, you  
8 can stack it and get whatever pressure you want, and that's  
9 generally what I do. If I've got one that's over 80, I'll usually  
10 open up the stack for a while and just get it down to 80 pounds.

11       What was this one? No idea. I don't have any idea. And we  
12 do not keep a record, a running record as the cars load of what  
13 the pressure on that car is. There is a check on the final  
14 inspection sheet where you write the pressure of your load down.  
15 I don't know what this one came off as. I don't know. But there  
16 is a spot where you mark that pressure.

17 Q.   So how do you control the loading volume? How much goes in?

18 A.   Volume is controlled by just a simple -- it's just a simple  
19 valve. Well, obviously you've got a flex line connected to the  
20 valve in the car. The car valve is open and you just open the  
21 liquid chlorine valve, which I think is like a 2½, maybe -- yeah,  
22 probably like 2½-inch line. Pour less in it, depending on looking  
23 at -- to me, I'm looking at the pressure gauge because I don't  
24 like to run a real high pressure on the flex lines. I just don't  
25 like to. I know they're supposed to be good up to -- but I don't,

1 I don't believe in tempting fate, and there's generally no great  
2 rush in doing this. It's going to take 6 to 8 hours no matter  
3 what you do anyway.

4 So you will get a car in and, of course, the loaders -- the  
5 loading stations are all scales. There's a scale there. In fact,  
6 that's how you tell how much you're putting in it and how much  
7 when you're done. It just sets on a scale, and generally a car  
8 will come in there, 85- to 95,000 pounds. That's just what the  
9 car weighs empty. And then in the paperwork you do this  
10 calculation and you come up with what the, what the -- on what  
11 your total weight max is. Okay. 263 is the limit, 263,000 is the  
12 limit around here.

13 So you have the tare weight of the car, the max weight of the  
14 car; the difference is how much chlorine you should put in it, and  
15 basically that's just all we do. We get a number that says, okay,  
16 if the car's tare weight was this, then what -- there's also the  
17 maximum load weight, too. When you look at a car, look at a  
18 chlorine car, you'll see these two numbers back here in the  
19 back --

20 Q. Um-hum.

21 A. -- and usually it's somewhere around 180,000 pounds. That's  
22 what your actual load weight can be. They're 90-ton cars. And so  
23 somewhere around in that neighborhood, it won't always be exactly  
24 that, but I'll always be less than that, less than 180,000.

25 And what you do on the paperwork is you figure out, okay,

1 once you calculate what the right load weight is, and you add the  
2 tare weight of the car to it, that's your finished gross weight,  
3 and that's your target. That's what you're, what you're shooting  
4 for. So whenever you reach that number then, you know, that  
5 number is for all intents and purposes, it's full. Shut it off,  
6 and you load that pressure we were talking about and you -- if  
7 it's too high, then you just open your stack valve a little bit  
8 and bleed off some of the gas that's on top of it, which  
9 eventually will reduce the weight. The liquid vaporizes. You  
10 blow the vapor off and eventually you, you lose weight.

11       You don't always have to do that. Like I said, it depends on  
12 whether or not you want to get rid of too much pressure. You will  
13 always do that to an extent because there's liquid in your flex  
14 line and all of that, and that's how you get rid of that. You  
15 open up that stack line and let the car pressure blow it back into  
16 the system and you do that until your lines are empty. Then you  
17 close your car valve and then you'll open your sniff valve, and  
18 that sucks the gas that's left in there, that just sucks that all  
19 our and takes it away.

20       So you end up, you've got an empty, evacuated flex line, your  
21 car valve's closed, and you disconnect all of that mess. And then  
22 sometimes, you know, we have gone through different stages where  
23 we leave that car sit for some period of time to see if those  
24 valves are going to leak after we've loaded it, and that will vary  
25 from, you know, a few minutes to up to an hour sometimes.

1 But the point is, at that point in time, the plugs aren't  
2 back in the car yet. But when the car is actually ready to leave,  
3 then the plugs go back in it. Again, there's a check sheet that  
4 the loader who finished that actual loading process on that car,  
5 he'll sign that, and he's basically saying everything that has  
6 been put down on the paperwork for this car, as I see it at this  
7 point in time, is all true and accurate and I'm signing it off to  
8 go; it's ready to go.

9 That went up. You come along and you -- your assembly line,  
10 you just push that one on through and then it parks maybe, what,  
11 30, 40 yards up the track, and that's where this one was. As I  
12 understand it, they had just finished doing that and were pretty  
13 much walking away from it when this happened. And pretty much --

14 Q. Moving the car to that last stage --

15 A. Right.

16 Q. -- where it sits at, how does that happen?

17 A. Okay.

18 Q. What do you use to do that?

19 A. Well, we use the -- everybody calls it a Trackmobile. It's  
20 kind of like a Kleenex or a Q-tip. It's not a Trackmobile. The  
21 one they had before that -- a Trackmobile is a brand.

22 Q. It's a brand.

23 A. Yeah. And the one they had before for like 250 years was --  
24 so I've got a feeling like they'll always be Trackmobiles, but  
25 this is a Rail King actually. But it's just a little, it's just a



1 little mover engine is all it is. And you've got your string of  
2 cars here, and whenever this one's full, then you just come around  
3 behind and you just push your string up.

4 Now the one, the one that's actually loading won't be  
5 connected to any other cars. The two behind that are still  
6 connected. As a matter of fact, they're still connected to the  
7 whole string, however many you have there. The one actually  
8 loading is not connected to anything and it's chocked and all  
9 that's separate.

10 And there's also a closure system that goes on the one that's  
11 loading. It's just an automatic system that will close the valves  
12 if that tank car moves any. Okay. It's -- there's a sensor there  
13 it's connected to. If that car moves a certain distance, then the  
14 valves will automatically close.

15 But to move those cars and all that happens is you just bring  
16 the engine around to the rear of that string. Then you come up,  
17 connect to that one, push that one on up, and if there are any  
18 other ones above there, then you connect to them and set them at  
19 their designated spots and then disconnect, come back, and again  
20 you'll separate the one that's being loaded and then the other two  
21 on the other stations back here, and you start all over again.  
22 It's a continuous process.

23 Q. Is there any possible way that the car could get rough  
24 handling in the process here?

25 A. Well, I mean, you know, that -- that's a matter of opinion, I

1 think, because I've seen some of the movements out in rail yards  
2 and even out, you know, in our -- and, you know, they -- those  
3 cars can get smacked around pretty, pretty hard, especially, you  
4 know, if you've got a long string of full cars. It's just a lot  
5 of -- a rail car has a hard life, no matter what you say. But in  
6 this particular part of the process, say -- how did you say that?  
7 Rough treatment?

8 Q. Rough handling, did it get whacked or banged around?

9 A. The only way that you could do that, in my opinion, or the  
10 only way a rail car can get this rough treatment is smacking them  
11 together. Okay. In the distances that we're moving, I don't see  
12 how anything that you could, that you could qualify as rough  
13 treatment because that first move is only about 15 feet. The  
14 thing that separates your string back here and your load car, you  
15 come up maybe 15 feet to connect to it. Then you push those up  
16 and sometimes you don't even hit anything up here. But if you do,  
17 you're moving another -- lengths of the distance. In other words,  
18 what I'm saying is, with the engine that we have especially, you  
19 don't have enough power to move that load in that short distance  
20 to gain any amount of speed that would qualify rough treatment. I  
21 mean, I don't see how you could do that.

22 But generally speaking, speed is necessary. That's what I'm  
23 trying to say. Speed is necessary to get rough treatment. But we  
24 don't generally move very fast, you know what I mean, and we have  
25 -- we do have some new people and new people tend to drive way

1 slower than experienced people. So, no, I don't, I don't think  
2 any time that car was moved after -- at least after it came into  
3 the shed, I don't see how there could have been anything that  
4 would have qualified rough treatment.

5 Q. Okay. Mr. Wells, I think we covered a lot here. Is there  
6 anything else that you can think of that any, any conditions that  
7 perhaps we need to look at?

8 A. Well, I'll tell you. The scary thing about this to me was  
9 apparently -- I think that's the key word for me, apparently --  
10 there was no way to know this was -- there was even a possibility  
11 of this happening. And I hate to say this, but that makes me  
12 wonder how many other bombs there are that are just about ready to  
13 go off and you don't know. It makes me wonder, number one, and it  
14 worries me because, number one, I look around me and every day I'm  
15 right in the middle of the whole pile of those things. So that's  
16 one thing to worry about.

17 But then in the larger scheme of things, local papers around  
18 here in the last 3 or 4 days, you hear all this stuff about  
19 shouldn't be doing this anyway. You know, we shouldn't have -- we  
20 shouldn't be shipping this stuff and we shouldn't be doing this,  
21 we shouldn't be doing that, which, to me, is just foolish because,  
22 you know -- I don't want, I don't want you people up there. Well,  
23 if we are not up here, then you're not going to have your cell  
24 phone and you're not going to have your car, you know, because  
25 that's what we do. We make all this stuff that everything in your

1 life is made of. And so people want their cake and they want to  
2 eat it, too.

3 And you're always going to have that to some degree, but it  
4 troubles me whenever something like this happens because it stirs  
5 -- it's like kicking the beehive, you know. The bees are always  
6 angry but if you don't kick the nest, they'll generally just sit  
7 there and buzz and not bother you. And I don't like to see people  
8 -- I don't like to see things like this because it does -- it's  
9 like kicking the nest.

10 Q. Right.

11 A. But, but even so though, like I said, it is a troubling thing  
12 to know but -- or to believe, that apparently we had no idea,  
13 nobody had any idea that this was going to happen, because if we  
14 had, we'd have done something about it.

15 And so the question then is, what are we going to do -- just  
16 like you said in the beginning, what are we going to do or what  
17 can we do to, to eliminate this possibility. And I don't know  
18 what that could be.

19 Q. But in general, do you feel that you have the tools and the  
20 training and the knowledge necessary to do your job safely?

21 A. See, now that's, that's a tough question because, because --  
22 the answer is yes but at the same time, using all of those things  
23 that I had that makes me answer yes is exactly what was being used  
24 on Saturday morning when -- so, so it's an -- I guess what I'm  
25 saying is this. It's an inherently unsafe place to be. Okay.

1 You can do so much to protect yourself but apparently there are  
2 just going to be times when it doesn't matter how well trained you  
3 are, how well equipped you are, or how knowledgeable you are or  
4 how experienced you are. Sometimes things just happen. Okay.

5 And that's, that's what I'm saying. That's the troubling  
6 part about it. If you, if you believe that you are 100 percent  
7 equipped, trained, experienced, knowledgeable, and everything else  
8 to do your job safely, yes. Do I believe that? Yes, I do. But I  
9 do also recognize that if I would have been here Saturday morning,  
10 there wouldn't have been, there wouldn't have been an ounce  
11 difference in me being here or whoever else was here because what  
12 happened would still have happened.

13 And, and that's the worrying part to me, is that nothing I  
14 can do personally could have changed what happened on Saturday  
15 morning, and Saturday morning could happen any time. I mean,  
16 that's the worrying part to me. So I guess I'm one of those  
17 people who says, do we here have anything that could have  
18 prevented that? No, I don't think so. Is there somebody  
19 somewhere who has what it would take to have spotted that? I  
20 don't know. I don't know how you would go about that. That's  
21 above my pay grade.

22 But as far as what, what capabilities we have here, I think  
23 we, I think we have everything that we need. Maybe need's not the  
24 right -- I think that we're capable of doing our job safely and  
25 effectively, but I think that there is a need to maybe --

1 certainly the need to investigate the possibility of maybe  
2 something else. Somebody said, well, we need some kind of big  
3 x-ray machine, you know, and we drive the cars in front of that,  
4 and it immediately shows this, which sounds, sounds stupid, okay.  
5 And that's what they were doing, they were just being stupid.

6 But on the other hand, you know, we've got -- whenever a car  
7 pulls up in front of the scales down here, you never see it and  
8 you'd never know it, but on the post over there, there's a reader  
9 over there that reads the GPS on that car and shoots up on the  
10 computer, here's the number and where it's been and all that.  
11 When the cars leave here, they pass a thing out there, and every  
12 car that leaves here gets a picture taken of it. I mean, stuff  
13 you never knew and never would have thought of.

14 So maybe it's not all science fiction, but I don't -- I just  
15 can't see myself what the answer to that would be. You can't just  
16 stop and do that kind of an inspection on every car every time it  
17 goes. It's just not practical. It can't be done.

18 I don't know what the answer is but I do -- I know that an  
19 answer -- there's one to find, I'm sure it is, and if we look long  
20 and hard enough, you know, we'll find it. But at this, at this  
21 point, I don't know what it would be.

22 MR. VORDERBRUEGGEN: It will help find that answer.

23 MR. STANCIL: So, John, do you have any questions? I think  
24 we've covered pretty much everything.

25 MR. VORDERBRUEGGEN: No, I didn't. Certainly nothing that we

1 need to continue on the record.

2 MR. STANCIL: Also, thank you so much. You've been extremely  
3 helpful and I appreciate your time this morning.

4 MR. WELLS: Thank you.

5 MR. STANCIL: At this point, we'll go ahead and close the  
6 interview.

7 MR. WELLS: Okay.

8 MR. STANCIL: Thank you, sir.

9 (Whereupon, the interview was concluded.)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF:           CHLORINE TANK CAR RELEASE IN  
                                  NEW MARTINSVILLE, WEST VIRGINIA  
                                  ON AUGUST 27, 2016  
                                  Interview of Ricky Wells

DOCKET NUMBER:           DCA16SH002

PLACE:                     Proctor, West Virginia

DATE:                      September 1, 2016

was held according to the record, and that this is the original,  
complete, true and accurate transcript which has been transcribed  
to the best of my skill and ability.

---

Kathryn A. Mirfin  
Transcriber