

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

* * * * *

Investigation of:

*
*

ENBRIDGE - LINE 6B RUPTURE IN
MARSHALL, MICHIGAN

Docket No.: DCA-10-MP-007

*
*

* * * * *

Interview of: STEVEN BOTT

Enbridge Headquarters
Edmonton, Alberta
Canada

Thursday,
December 8, 2011

The above-captioned matter convened, pursuant to notice.

BEFORE: MATTHEW NICHOLSON
Investigator-in-Charge

APPEARANCES:

MATTHEW NICHOLSON, Investigator-in-Charge
Office of Railroad, Pipeline, and
Hazardous Materials Investigations
National Transportation Safety Board

[REDACTED]

BRIAN PIERZINA, Accident Investigator
Pipeline and Hazardous Materials Safety
Administration (PHMSA)

[REDACTED]

JAY JOHNSON, Supervisor
Audits and Inspections
Enbridge Pipelines

[REDACTED]

RAVINDRA CHHATRE
Integrity Management Group Chair
National Transportation Safety Board

[REDACTED]

MATTHEW FOX
NTSB Materials Lab
National Transportation Safety Board

[REDACTED]

<u>ITEM</u>	<u>I N D E X</u>	<u>PAGE</u>
Interview of Steven Bott:		
By Mr. Nicholson		5
By Mr. Chhatre		51
By Mr. Nicholson		55
By Mr. Chhatre		57
By Mr. Nicholson		59
By Mr. Fox		60
By Mr. Nicholson		61
By Mr. Chhatre		63
By Mr. Nicholson		65
By Mr. Fox		68
By Mr. Chhatre		68
By Mr. Nicholson		70
By Mr. Chhatre		71
By Mr. Pierzina		114
By Mr. Chhatre		122
By Mr. Fox		149

1 I N T E R V I E W

2 MR. NICHOLSON: Okay. This is NTSB Pipeline case number
3 DCA10MP007, Enbridge Energy July 2010 crude oil release in
4 Marshall, Michigan. These are the Integrity Management Group
5 interviews being conducted at the Edmonton, Alberta, Canada, at
6 Enbridge headquarters. Today is Thursday, December 7th, 2011 --

7 MR. CHHATRE: 8.

8 MR. NICHOLSON: 8? December 8th, 2011. This interview
9 is being recorded for transcription at a later date. Copies of
10 the transcripts will be provided to the parties and the witness
11 for review once completed.

12 For the record, Steven, please state your full name,
13 with spelling, employer name, and job title.

14 MR. BOTT: My name is Steven Bott. S-t-e-v-e-n, Bott,
15 B-o-t-t. I work for Enbridge Pipelines and I'm a materials
16 engineer in the crack programs.

17 MR. NICHOLSON: Okay. For the record, please provide a
18 contact phone number and e-mail address.

19 MR. BOTT: [REDACTED] and my e-mail address is

20 [REDACTED] [REDACTED]

21 MR. NICHOLSON: Okay. Steven, you're allowed to have
22 one other person of your choice present during this interview.
23 This other person may be an attorney, friend, family member, co-
24 worker, or nobody at all. If you would, please indicate whom
25 you've chosen to be present with you during this interview?

1 MR. BOTT: I've chosen to have no one at all.

2 MR. NICHOLSON: Okay. We'll go around the room now and
3 have each person introduce themselves for the record.

4 I am Matthew Nicholson, spelled M-a-t-t-h-e-w, N-i-c-h-
5 o-l-s-o-n. I'm the NTSB IIC. My phone number is [REDACTED]
6 My e-mail is [REDACTED]

7 MR. FOX: This is Matt Fox, M-a-t-t, F-o-x, NTSB
8 Materials Lab, and the number is [REDACTED] E-mail is
9 [REDACTED]

10 MR. JOHNSON: Jay Johnson, Enbridge Pipelines,
11 [REDACTED] Cell: [REDACTED]

12 MR. PIERZINA: Brian Pierzina, PHMSA Central Region, B-
13 r-i-a-n, P-i-e-r-z-i-n-a, [REDACTED] and my phone
14 number is [REDACTED].

15 MR. CHHATRE: Ravindra Chhatre. That's R-a-v-i-n-d-r-a.
16 Last name Chhatre, C-h-h-a-t-r-e. I am Integrity Management Group
17 chair on this accident with NTSB. My phone number is [REDACTED]
18 [REDACTED] E-mail: [REDACTED]

19 INTERVIEW OF STEVEN BOTT

20 BY MR. NICHOLSON:

21 Q. Okay. Steven, I think to begin with, maybe you could
22 give us sort of a brief background, educational experience, when
23 you came to Enbridge, positions you've held at Enbridge, that sort
24 of thing?

25 A. Sure. So I graduated from U-of-A with a bachelor of

1 science in materials engineering. During that time I was part of
2 the core program, so I had 8 months of experience at a steel
3 making and pipe making facility in Regina, and then I also had 8
4 months experience within the integrity group at Enbridge. After
5 graduating in 2005, I returned to Enbridge and was part of the
6 corrosion programs, and I stayed there until 2010 when I moved
7 over to the crack program.

8 Q. Okay. So you said 2005 you started with Enbridge? And
9 that was on the corrosion side?

10 A. Yeah.

11 Q. So you spent 5 years there?

12 A. Yeah, 5 years there.

13 Q. And then went to the crack group?

14 A. I moved to the crack group in January 2010.

15 Q. So what were your responsibilities in the crack group in
16 2010? Can you talk about that a little bit?

17 A. So when I started in 2010, I was assigned several lines
18 to look after. To be honest, I can't remember the full list right
19 now, which lines that was.

20 Q. Okay.

21 A. And I was also assigned to the sleeve inspection program
22 at that time.

23 MR. CHHATRE: I'm sorry. Which inspection?

24 MR. BOTT: Sleeve inspection program.

25 MR. CHHATRE: Okay.

1 MR. BOTT: So it's a program to inspect sleeves that
2 we've previously placed on a line for repairs.

3 BY MR. NICHOLSON:

4 Q. Explain that sleeve inspection program. How would you
5 go about doing that?

6 A. Well, for the most part, because we can't use our
7 in-line inspection tools to inspect sleeves directly, typically,
8 for the most part we do opportunistic digs. So anytime we're
9 doing any other kind of work on the line, if we expose a
10 previously installed sleeve, we'll have the NDE guys inspect the
11 welds and the general condition of the sleeve. So we'll record
12 that and track it, as well if we think we have specific problems
13 or specific issues, we'll target specific sleeves to expose them
14 and to inspect.

15 Q. But if you can't see them with ILI, how do you know to
16 dig? If they're not opportunistic, how do you --

17 A. Based on the types of sleeves, the history of that type
18 of sleeve, how long the sleeve's been on the line. In the past,
19 since the '80s actually, Enbridge has done extensive inspections.
20 So almost all of our sleeves that we have on have been inspected
21 since they've been put on, but we just like to keep that going.

22 Q. So there must be a database or some way to track for
23 these sleeves. Are they on the alignment drawings or how do you
24 guys inventory all the sleeves?

25 A. Our technical records group keeps track of all the

1 sleeves they put on, and so we get our data from them. Many of
2 the ILI tools can also see the sleeves where they're welded to the
3 pipe as well, so we can -- we have a good idea where they are.

4 Q. Okay. But before you said your ILI tools could not see
5 the sleeves, so --

6 A. They can't inspect them for flaws, but they can see
7 where they're welded to the pipe.

8 Q. Okay. And then can you talk to us a little bit -- I
9 think you did have 6B as one of your lines assigned to you in
10 2010; is that correct?

11 A. Yeah. So, in May 2010 our line assignments were updated
12 and at that time 6B was assigned to me then.

13 Q. And can you tell us what sort of inspections or analysis
14 you would perform on 6B when you arrived?

15 A. So in May 2010, because it was near the end of the
16 inspection cycle, a lot of the dig programs, inspections, trending
17 was already completed when I took over the line. When I took over
18 the line, the previous subject matter lead on the line just --

19 Q. Who was that?

20 A. It was Ivan Hubert (ph.).

21 Q. Okay.

22 A. He went through the fact that he had recently updated
23 his analysis and had sent some digs out just to check for SCC
24 growth rates, and so I didn't do a lot more analysis in that area
25 because we had already just sent out some digs. And then I also

1 had an opportunity in June to go down to the region and go to some
2 line 6B digs. But I didn't do a lot more analysis past that point
3 because it was near the end of the inspection cycle. We were
4 expecting a new tool and Ivan had just kind of sent more digs out,
5 so --

6 Q. You were expecting another tool run? Is that what
7 you're saying?

8 A. Yes.

9 Q. Yeah, okay. A 2010 tool run?

10 A. Yes. The crack tool was actually in the line at the
11 time of the incident.

12 Q. So that's the one that was slated for a 2009 run?

13 A. Originally I think so, yeah.

14 Q. Okay. So I think one thing we asked you to do today was
15 to take us through the CorLAS software and just maybe show us --
16 actually, we're interested in the actual 2005 crack indications,
17 if there's a way we could pull some of those up and maybe walk
18 through how they get into the CorLAS system and analyze. Is that
19 possible?

20 A. Okay, yep. So we have two versions of CorLAS. They use
21 the same equations in the background.

22 Q. Okay.

23 A. We have an Excel version that we use. We didn't have it
24 at the time of Marshall, but we do now. But we can use -- if
25 we're going to just use an elliptical or rectangular flaw shape.

1 So we can't put a profile into this.

2 Q. Okay.

3 A. So that's one set. And then the other software -- and
4 this is the software that we had at the time and that we still
5 have, which is kind of a DOS-based system right now. We are --
6 this is the version that we can put profiles in. It can also do
7 rectangular or semi-elliptical type analysis.

8 Q. Okay. This is the DOS version here?

9 A. Yes.

10 Q. Okay. So in the DOS version you can enter profiles?

11 A. Yes.

12 Q. But in Excel you have two options?

13 A. The Excel is just a more simplified version --

14 Q. Okay.

15 A. -- that goes much faster.

16 Q. But in 2005 -- whoever then -- Ivan would have analyzed
17 his 2005 run using the DOS?

18 A. Yes.

19 Q. Okay. Okay.

20 A. So, yeah, I can actually use the profile. Let me just
21 look at what the feature number is so I can verify the profile.

22 Q. Well, what would have been typical in 2005? Would you
23 have used a profile or --

24 A. The steps that we went in 2005 were we would generally
25 still use the rectangular flaw shape using --

1 Q. Okay.

2 A. -- the max bin depth, and then only if it goes below
3 hydro test pressure --

4 Q. Um-hum.

5 A. -- then they would request a profile from GE.

6 Q. Okay.

7 A. And then use the profile to refine the analysis, so
8 there.

9 Q. Okay. So you always start with the rectangular, compare
10 it to hydro --

11 A. Yeah.

12 Q. -- if it fit? If it's less than hydro, then you come
13 back and do a --

14 A. That was the process at the time, yes.

15 Q. Okay.

16 A. Now we actually don't use the profiles. In 2008 they
17 actually changed their process for making profiles. Before, they
18 did it more manually. It was a hands-on process. The ILI vendors
19 would use our expertise to build us profiles. Now they've made an
20 algorithm to do it automatically, so it still gives a profile and
21 we can still use it. We just haven't validated that yet. So now
22 at this time we're just using the rectangular for most things.

23 Q. Okay.

24 A. So --

25 MR. NICHOLSON: Was there a feature, Matt Fox, that you

1 wanted to see?

2 MR. FOX: Well, I know the 9.3-inch long feature was
3 profiled on the ruptured joint, so maybe we could step through the
4 process from, you know, the initial analysis, you know, what was
5 done there, and then the profiling and then how that analysis
6 proceeded to -- you know, on that particular feature.

7 MR. BOTT: Okay. So I just have to look up the profile
8 data. So I believe I have a feature number in here. So what this
9 is, is historically when we only could use a DOS version, because
10 you have to manually input everything, we designed some macros to
11 do the input for us. So I'm just looking at which file is
12 associated with the feature so I can use that file.

13 BY MR. NICHOLSON:

14 Q. So, I'm sorry. Is this linked to the DOS? Does this
15 actually export data out into --

16 A. No, it doesn't. It's just --

17 Q. It's just for you?

18 A. It's just to help us set up the files.

19 Q. Okay.

20 A. Yeah. Okay. So this would be what the input file
21 looked like. That goes into DOS, the DOS version. So it has the
22 wall thickness, some material inputs, the profile. So in this
23 case you start with the rectangular-shaped profile, so this is the
24 rectangular shape. We have to -- because of the way the input
25 works, we can't actually make a straight rectangle, so what we do

1 is we add 0.01 inches on either end just to zero -- go back to
2 zero. But essentially this would be the rectangular portion.

3 Q. So these are X/Ys? Is that what we're looking at?

4 A. Yes.

5 Q. Okay.

6 A. Yeah. This would be the length in inches and this would
7 be the depth in inches.

8 Q. Oh, okay. Length and depth.

9 A. Yeah.

10 Q. So go up to the top. What's all this other stuff; L
11 batch?

12 A. This has to do with the program, the DOS version. So 1
13 and 12, that's essentially inputs. So if I go to here --

14 Q. Oh, okay.

15 A. Yeah. And so if you see, if you go to 1, then
16 there's --

17 Q. I see.

18 A. -- inputs. So that's just a reference for the
19 program --

20 Q. Okay.

21 A. -- to know which inputs to use.

22 Q. So 2 is your material choice?

23 A. Oh, yeah. Sorry. Yeah, so this is where all the
24 material properties would be input to.

25 Q. Okay. And what was 1 on the previous page?

1 A. Data entry.

2 Q. Oh, okay.

3 A. Yeah.

4 MR. CHHATRE: Who does this input?

5 MR. BOTT: Whoever is the subject matter lead for the
6 line does the input for the -- so I hadn't done it for 6B.

7 MR. NICHOLSON: Well, I mean it's your position, though;
8 right?

9 MR. BOTT: But it's my position, yeah, my level.

10 MR. CHHATRE: And this is Ravi, NTSB.

11 So if somebody has done already for 6B, you don't go
12 back again and do that?

13 MR. BOTT: Not necessarily. If we had up -- if we
14 update the processes, that would require a change in the inputs to
15 this, then we would go back and redo it.

16 MR. PIERZINA: So, Steve -- this is Brian.

17 Back on your entry sheet for that flaw, the wall
18 thickness was 285?

19 MR. BOTT: Yeah.

20 MR. PIERZINA: Could you run it both at 285 and 250 to
21 see what the difference in the failure pressure is?

22 MR. BOTT: Yeah.

23 MR. FOX: And as far as the depth, real quick, on that
24 .14, where does that come from?

25 MR. BOTT: So this is a reassessment. This is what Ivan

1 had done. He did two sets. Let me check the other one. He might
2 have been doing a sensitivity analysis. I can't say.

3 MR. JOHNSON: And Ivan is out this week. He's on a
4 cruise, so we can't bring him in to ask questions.

5 MR. FOX: No problem. On a beach --

6 MR. BOTT: Oh, so it's the same. So I'm not -- normally
7 the depth would come from the ILI call.

8 MR. FOX: So for this it should be 40 percent; right?

9 MR. BOTT: Yes.

10 MR. FOX: Since it was in a point in that bin. So, 40
11 percent of 285 is .114.

12 MR. BOTT: So he might have been adding bias to that,
13 because the bias on this line was --

14 MR. FOX: Uh-huh.

15 MR. BOTT: -- .026 inches for that bin, but I can't
16 confirm that.

17 MR. PIERZINA: It does add up, doesn't it?

18 MR. BOTT: Yeah.

19 BY MR. NICHOLSON:

20 Q. But that's the -- so that's the -- we're in the file
21 that was the original assessment?

22 A. No. That was the reassessment.

23 Q. Oh, I see. Okay.

24 A. Yeah. The original assessment -- yeah. I have to go
25 in --

1 Q. Does this stay untouched, the original assessment?

2 A. It should. It's just --

3 Q. So when you do a reassessment, you do a copy --

4 A. Yeah.

5 Q. -- into a new folder? Okay.

6 A. Yeah. I just have to find the -- where the old CorLAS.

7 So the original -- okay. I'll just use original file here.

8 MR. CHHATRE: This is Ravi.

9 What does this left column mean? What is it telling
10 you, 2-70 and --

11 MR. BOTT: This is just the file names. So we don't --
12 the file name -- because we use a macro to generate the file
13 names, it's difficult to include the feature number from the ILI
14 vendor. So that's what this Excel sheet had, was -- so you can
15 see for this file, this feature number from the ILI vendor, we've
16 used this file name.

17 MR. CHHATRE: Okay.

18 MR. BOTT: And that's just to help with the input and
19 output, so -- so, here. Here's the original, so here's the 40
20 percent.

21 MR. CHHATRE: Okay.

22 MR. BOTT: I'm just going to save this. So with the
23 CorLAS version -- that's in DOS -- the files have to be in the
24 same folder. So I'm just going to move this so I can show you how
25 it works. So how we input a batch file is -- number 3 is batch

1 file input, and then we have our number, our file number. Just
2 make sure I have it right. Okay. It might be just -- so this is
3 a -- at the time we had Version 2. I think it's at 2.25, so that
4 might -- why it's not working. So I can just reformat the file
5 quick. So we'll just save this in here.

6 MR. FOX: What's the 681? I mean, you've got a 9681.

7 MR. BOTT: Oh, thank you. That's the MOP or --

8 MR. FOX: Okay.

9 MR. BOTT: I believe.

10 MR. FOX: That might be the --

11 MR. BOTT: Yeah. When you're using a rectangular flaw,
12 I don't think it makes that much of a difference, but if we're
13 using a profile, it does make more of a difference, for sure.

14 Okay. So now we've loaded in the data, so I can show
15 you -- I have to I press 5 -- to -- oh, sorry about that. Save
16 that again. To -- we want to use the file length versus depth, so
17 you can see that it's got the same length and depth in there as
18 the batch file. And if we go to data entry, you can see under 2,
19 Alloy Name, so it has the same yield strength, ultimate strength,
20 all of the inputs that were the same in the batch file.

21 So then we use the effective flaw analysis. So it puts
22 out a bunch of flow strength equations right off the bat. If we
23 go to press number 2, so that's a toughness dependent chart. So
24 this is how -- we've put in the rectangular feature, and then
25 CorLAS uses a -- simulates to model of the same area as that

1 rectangular feature.

2 MR. CHHATRE: Can you go back?

3 MR. BOTT: Yeah.

4 MR. CHHATRE: Okay. So based on that model, CorLAS is
5 telling you what the design pressure is, what the failure stress
6 will be?

7 MR. BOTT: Yeah. So this is for flow strength, flow
8 strength dependent. So if we want to check if it's toughness
9 dependent, like if it's a crack, then if you press 3 it does the
10 critical pressure from the crack.

11 MR. PIERZINA: So did you just say that if it's a crack,
12 you use a toughness dependent formula?

13 MR. BOTT: Well, what we would do -- and it's easier to
14 show in the Excel version. What we do -- I'll just use what's in
15 here, example data. So what we would do is when we pull out our
16 data, you get the flow stress and the fracture toughness, and you
17 use -- you would use the minimum of these. So almost always
18 they're either the same or the fracture toughness is lower because
19 it's dependent on that. So, for instance, if we made this one
20 deeper, then you can see the fracture starts to become lower.
21 It's no longer equal, so -- so, in this case if we look at it,
22 it's 7088 was the fracture dependent, and then in the flow stress
23 -- there's different methods, but the flow stress, if you use
24 effective area, the pressure is 832 failure pressure. So it does
25 make a slight difference on this feature.

1 MR. PIERZINA: Wait. I'm sorry. It's 832?

2 MR. BOTT: Yeah. The design pressure includes a safety
3 factor. So if you go to the line below, failure pressure, it's
4 832 based on flow stress. So that would be like a blunt flaw type
5 failure.

6 MR. CHHATRE: And you have maximum stress pressures
7 coming with like 75 -- 72-percent (indiscernible)? Is that why
8 you're using it? Just below that you're --

9 MR. BOTT: Yes. So that would be the design factor.
10 What we do is we take the failure pressure and then do the safety
11 factor calculations outside of this software. We don't use the
12 software. I mean, it's -- this is just kind of some standard
13 outputs it gives, but what we do is we take this failure pressure,
14 put it back into our assessment file, and then calculate the safe
15 operating pressure.

16 MR. CHHATRE: And how do you do that?

17 MR. BOTT: We use a 1.25 safety factor for crack --

18 MR. NICHOLSON: Well, I'm just looking at the report
19 from 2005. It looks like 895 was the value entry. CorLAS
20 predicted failure pressure at depth profile 1.

21 MR. FOX: It's the profile.

22 MR. BOTT: Oh, it might be the formula for --

23 MR. NICHOLSON: Oh, that's what the -- is that with a
24 profile? Is that the difference?

25 MR. BOTT: Yeah.

1 MR. NICHOLSON: And it's got "as issued 789".

2 MR. FOX: Yeah.

3 MR. BOTT: Yeah.

4 MR. FOX: So that should be the --

5 MR. BOTT: So that's this 788.76.

6 MR. NICHOLSON: Yeah, okay. There you go. Cool. Okay.

7 And then the other is if you went back and actually profiled it?

8 MR. BOTT: Yeah.

9 MR. NICHOLSON: I see.

10 MR. FOX: So what -- I guess in the prior view you had
11 there --

12 MR. BOTT: In the --

13 MR. FOX: Or -- oh, wait. You had the 789.

14 MR. BOTT: Oh, sure. Yeah.

15 MR. FOX: So that's essentially the failure pressure for
16 an equivalent semi-elliptical --

17 MR. BOTT: Yes.

18 MR. FOX: -- profile? Okay.

19 MR. BOTT: Yeah. We use a rectangular flaw shape to
20 start with, but --

21 MR. FOX: Right.

22 MR. BOTT: -- the models use a --

23 MR. FOX: The model converts that into a semi-
24 elliptical. Okay. And then -- so then in the next -- and then
25 what was the next slide, the data on the next --

1 MR. PIERZINA: Actually, before we get off of that
2 slide --

3 MR. NICHOLSON: Yeah, yeah.

4 MR. PIERZINA: -- the equivalent flaw equals .145. What
5 does that tell you?

6 MR. BOTT: So that's the depth of the equivalent.

7 MR. NICHOLSON: The maximum depth of the semi-
8 elliptical?

9 MR. BOTT: Yes.

10 MR. NICHOLSON: Okay.

11 MR. FOX: Oh, where is that?

12 MR. BOTT: This one right here. So the depth that we
13 put in, max was this depth --

14 MR. FOX: Okay.

15 MR. BOTT: -- the 40 percent. But the equivalent flaw,
16 that's the semi-ellipse. That's what --

17 MR. CHHATRE: That (indiscernible) flaw, is it semi-
18 elliptical?

19 MR. BOTT: Yes.

20 MR. PIERZINA: So when you run those numbers, you're not
21 doing any bias at all; right?

22 MR. BOTT: No.

23 MR. NICHOLSON: And then you took -- what's the maximum
24 safe pressure? And that's with your factor of safety?

25 MR. BOTT: So, yes, we could use this program to

1 calculate that. What we do is we take the 788 and then add a
2 safety factor outside of this program. So we would multiply this
3 by our safety factor, yeah.

4 MR. PIERZINA: So that design factor of .72, is that a
5 1.39?

6 MR. BOTT: Yeah. That's just a standard thing that's in
7 the software, yes.

8 MR. NICHOLSON: But that doesn't come out on this
9 worksheet here that you guys fill out. So you don't use that 567?

10 MR. BOTT: No.

11 MR. NICHOLSON: You're only curious about the actual
12 burst pressure --

13 MR. BOTT: Yes.

14 MR. NICHOLSON: -- failure pressure?

15 MR. BOTT: Yes.

16 MR. NICHOLSON: Okay.

17 MR. BOTT: We do apply our own safety factors with that
18 788 or 789 outside of the software.

19 MR. CHHATRE: And how is that developed, safety factor?

20 MR. BOTT: Pardon me?

21 MR. CHHATRE: How the safety factor is developed. Where
22 do you get a number or value?

23 MR. BOTT: Sean could clarify more, but I believe the
24 safety factor of 12.25 is sort of equivalent to the 125-percent
25 hydro test logic, so that's why we use the same safety factor.

1 MR. NICHOLSON: So if this 789 is less than hydro, what
2 would you do?

3 MR. BOTT: So the 789 is less than hydro, so we -- or a
4 1.25, which is our dig criteria. So we then go and ask the vendor
5 for a profile.

6 MR. NICHOLSON: Oh, okay. That's right. Okay.

7 MR. BOTT: Yeah. So --

8 MR. FOX: Now, the data on the next slide that you had
9 showed, now, this was showing, okay, the block profile. And then
10 you also show an effective area in that, then?

11 MR. BOTT: Yeah. So this model, you can use it for
12 corrosion as well, for blend, yes.

13 MR. FOX: Oh, okay.

14 MR. PIERZINA: So if you used it for corrosion, would
15 you use the .72, the same factor?

16 MR. BOTT: Yes.

17 MR. PIERZINA: But not for a crack?

18 MR. BOTT: For crack we use .8.

19 MR. PIERZINA: Yeah.

20 MR. FOX: So for the crack -- sorry. Did you have more?

21 MR. PIERZINA: Oh. So -- and did you say Sean is the
22 best person to discuss why --

23 MR. BOTT: Yeah.

24 MR. PIERZINA: -- why you've used a different safety
25 factor for a crack versus corrosion?

1 MR. BOTT: Yes. Sean would be the best. Like I said,
2 my understanding is that has to do with -- we relate back to hydro
3 test, and the hydro test is 125 percent or .8 safety factor.

4 MR. FOX: So this slide here where we're looking at the
5 effective area method and the B-31-G method, essentially you don't
6 do work with this on the crack side?

7 MR. BOTT: No.

8 MR. FOX: If you're analyzing a crack, okay.

9 MR. PIERZINA: So, and these calculations that we're
10 seeing now are based on a 285 wall thickness, right?

11 MR. BOTT: Yes.

12 MR. PIERZINA: I haven't captured any of these numbers
13 that we're looking at here.

14 MR. NICHOLSON: Well, I was actually just thinking that.
15 Why don't you -- can we just save this out to a text file or a CSD
16 and then you can --

17 MR. BOTT: Yep.

18 MR. NICHOLSON: -- run it as a .25 and we can bring them
19 up together?

20 MR. BOTT: We can save.

21 MR. FOX: That would be better than me trying to write
22 those numbers down.

23 MR. NICHOLSON: Yeah. I wasn't going to even attempt.

24 MR. BOTT: Okay. So what I'll do, if you want to run it
25 as a .25, so open the original file. I'm going to save it as

1 something else. Oh, don't want to save it as --

2 MR. FOX: Just follow right along here, Brian.

3 MR. PIERZINA: Oh, yeah.

4 MR. BOTT: Call it 1-2. And we'll -- I can change the
5 properties of this file. So we want to have 250 wall. That's 40
6 percent. So that's -- I believe that's 100 even.

7 UNIDENTIFIED SPEAKER: Oops --

8 MR. BOTT: All right. We'll just run this one. So
9 again, this is the shape.

10 MR. NICHOLSON: So even though you put it in as a
11 rectangular profile, it converts it to --

12 MR. BOTT: Yeah. But it's more conservative than just
13 putting it as a semi-elliptical profile right off the bat.

14 MR. NICHOLSON: Okay. Oh, okay.

15 MR. BOTT: Because it's still using a semi-ellipse, but
16 it's a more severe semi-ellipse than if we just made the semi --
17 the max depth of that semi-ellipse, so --

18 MR. NICHOLSON: Okay. So it drops to 693?

19 MR. FOX: So then we get a 693.

20 MR. PIERZINA: From 789 down to 693?

21 MR. CHHATRE: 07- --

22 MR. FOX: 0694.

23 MR. NICHOLSON: Yeah. Call it 690- -- a 95 --

24 MR. FOX: That's a pretty significant drop, then.

25 MR. NICHOLSON: Ninety-five pound drop.

1 MR. BOTT: Yes.

2 MR. FOX: And the equivalent flaw is 125.

3 MR. NICHOLSON: But does it change the outcome? Because
4 your next step is to get a profile; right?

5 MR. BOTT: Yes.

6 MR. NICHOLSON: Even at 693.

7 MR. PIERZINA: This one that we're looking at is
8 actually the defect that didn't fail; right?

9 MR. BOTT: Yes.

10 MR. PIERZINA: This is the 9-inch --

11 MR. BOTT: It's the 25-to-40 nine-inch --

12 MR. NICHOLSON: It's the deepest one, right.

13 MR. BOTT: Yeah.

14 MR. PIERZINA: And still, that's a -- I think it was
15 mentioned that the 285 to 250 wall thickness didn't affect the
16 failure pressure that much, but -- and maybe it doesn't on a
17 profiled defect, you know, versus the maximum. I'm not sure, but
18 -- did you save this screen?

19 MR. BOTT: I sure can, yeah.

20 MR. NICHOLSON: And just go ahead and go to Outlook and
21 send that to jay.johnson.

22 MR. BOTT: Yep. I can do that for sure.

23 MR. FOX: So the "Z" at the end of the file indicates
24 that's the output file?

25 MR. BOTT: Yes. That's just traditionally what I've

1 kind of done.

2 MR. FOX: Could we take a look at -- well, I don't know
3 whether we want to go to the profile and then come back and --

4 MR. NICHOLSON: No.

5 MR. FOX: -- take a look at the rupture section or look
6 at the rupture section with this first and then go to the
7 profiling.

8 MR. CHHATRE: I would go to rupture section first.

9 MR. FOX: All right.

10 MR. BOTT: Sure.

11 MR. FOX: Let's take a look at the rupture section.

12 MR. PIERZINA: Yeah, then I kind of got a flavor for --

13 MR. FOX: Yeah. Yeah, just -- yeah, see the same
14 analysis for the rupture.

15 MR. BOTT: Okay. I'll just have to grab the data for
16 that.

17 MR. CHHATRE: And this program has been internally
18 developed, or you guys bought the software from somebody?

19 MR. BOTT: CorLAS was developed by PRCI for PRCI
20 members, and then the Excel version we paid DNV to develop for us
21 to make it faster for us to use.

22 MR. CHHATRE: Your Excel version is not as friendly for
23 the profile and --

24 MR. BOTT: No. We can't use the profile, so it does
25 have some limitations. But most of the time we just are using the

1 rectangular flaw shape.

2 MR. PIERZINA: This is for a mass amount of
3 information --

4 MR. BOTT: Yeah.

5 MR. PIERZINA: -- crunching; right?

6 MR. BOTT: Yeah, exactly.

7 MR. PIERZINA: So while you're doing that, Steve, I
8 don't know if you can multi-task or not here, but -- so when they
9 did the initial batch in 2005, that's on the reported values
10 without bias; right?

11 MR. BOTT: Yes. The maximum of the bin depth, yeah.

12 MR. PIERZINA: Okay. And today when you do that initial
13 check, are you adding a bias into your first run?

14 MR. BOTT: Yes. We're doing both, actually. We'll do
15 it as reported and with the bias added.

16 MR. PIERZINA: Okay.

17 MR. BOTT: And so I think with the profile -- or, sorry,
18 with the bias added, we help that to use -- to help or guide our
19 "D" selection, so --

20 MR. CHHATRE: What is your bias again? How do you find
21 your bias?

22 MR. BOTT: So on a new run it would just be the tool --
23 a measurement error quoted by the vendor, which is .5 millimeters
24 or 0.02 inches. Once we have a lot of trending, then we're able
25 to adjust that based on our trending, so it may change.

1 MR. CHHATRE: But you're essentially increasing all
2 dimensions by that much error, or you're --

3 MR. BOTT: Yeah. We focus on increasing the depth.

4 MR. CHHATRE: Okay. So only on depth you increase that
5 by that much bias?

6 MR. BOTT: Yes. Okay. So this is what this one looks
7 like, so you can tell it's longer and more shallow. So it's a
8 little bit different shape.

9 MR. NICHOLSON: So I guess the predicted critical
10 pressure is what goes back into the feature assessment worksheet,
11 though; right?

12 MR. BOTT: Yes.

13 MR. NICHOLSON: So, I'm showing 858 here.

14 MR. BOTT: That's interesting.

15 MR. NICHOLSON: Am I looking at something wrong or did
16 we enter it --

17 MR. BOTT: I will check. All right.

18 MR. NICHOLSON: Are you seeing it?

19 MR. BOTT: You know, you know what, I can even check his
20 original file and see if it's in here. So, yeah, 858. Yeah, we
21 might have entered something differently.

22 MR. FOX: What do you (indiscernible)?

23 MR. NICHOLSON: Oh, yeah. What did we -- did you --

24 MR. BOTT: This is the original file.

25 MR. NICHOLSON: No, I know, but --

1 MR. BOTT: Yeah.

2 MR. NICHOLSON: -- did we use the .25 when you built
3 yours or -- well, it wouldn't have been --

4 MR. BOTT: No.

5 MR. NICHOLSON: Yours is higher, so --

6 MR. BOTT: Yeah, it's higher. So I've got to figure out
7 what I did here. 52 --

8 MR. PIERZINA: Was there a fracture and toughness value
9 that maybe was in this --

10 MR. BOTT: Yeah, that's -- that's the only thing I can
11 think of. Just open this guy up and check everything again.

12 MR. NICHOLSON: What's the 4-1 under "outside"? You've
13 got a 4-1, then just had a 4?

14 MR. BOTT: Yeah. That -- I wonder that's it. I had
15 that on the other ones, though.

16 MR. NICHOLSON: Oh.

17 MR. BOTT: Didn't make a difference.

18 MR. NICHOLSON: I don't know what it means.

19 MR. BOTT: I think it's just for how the --

20 MR. NICHOLSON: What selection?

21 MR. BOTT: -- profile is put in, so it shouldn't make a
22 difference, but I'll try. Yeah. It doesn't even work with the --

23 MR. NICHOLSON: Yeah.

24 MR. BOTT: -- one now because of the new software.

25 That's very interesting. We've got 30, 285, 681. Look at the

1 results sheet here. Yeah, the toughness is the same. Wall
2 thickness is the same. Everything's the same.

3 MR. CHHATRE: For 285 thickness?

4 MR. BOTT: Yeah.

5 MR. CHHATRE: Yeah.

6 MR. BOTT: Well, you know what -- yeah, it's different.
7 I can save it. I'll open it. Maybe this file. So we compare the
8 original file to the new one.

9 MR. FOX: What's FS? Yield stress?

10 MR. BOTT: Flow --

11 MR. FOX: And FS? Flow stress?

12 MR. BOTT: Flow stress.

13 MR. FOX: Those are different.

14 MR. BOTT: That's probably why that -- we had a
15 different flow stress equation. Okay, I know how to fix it. So
16 the original one used the yield strength plus 10,000 PSI, and this
17 one's -- or, sorry, the original one used the average between the
18 two. This one's using 10,000 plus yield strength, which is the
19 difference. So, 3. So I just -- we'll just change that. This
20 should give us the same answer.

21 MR. NICHOLSON: Well, I don't understand what we're
22 doing. What's the yield plus 10? Why would I use one over the
23 other?

24 MR. BOTT: Typically below about X 70, we'll use yield
25 plus 10,000 PSI.

1 MR. NICHOLSON: Okay.

2 MR. BOTT: And above we'd use the average, because then
3 they get so close together that if you add 10,000 PSI, you're
4 already at your ultimate tensile strength.

5 MR. NICHOLSON: Oh, okay.

6 MR. BOTT: I believe historically, though, when we run
7 our profiles and our old files through the DOS version with our
8 macro, I think it might automatically choose just the average
9 between the two, even though our process document says you can use
10 plus 10,000, and plus 10,000 will generally give you slightly
11 higher values.

12 MR. NICHOLSON: So is 2 the average? Is that what
13 you're saying?

14 MR. BOTT: Two's the average, yeah. So if I pick that
15 one, then we'll save it, then run that feature again. Now you've
16 got 857.84. So, 858.

17 MR. NICHOLSON: Okay. So he had used an average?

18 MR. BOTT: Yes.

19 MR. PIERZINA: That's the way it was done in 2005?

20 MR. BOTT: Yes.

21 MR. PIERZINA: Could you redo that with the 250?

22 MR. BOTT: You bet.

23 MR. PIERZINA: Did you save that to a --

24 MR. NICHOLSON: Well, did he need to? You already had
25 the original file. As long as we get that captured so we can --

1 MR. BOTT: Yeah, I'll still save it.

2 MR. NICHOLSON: -- see before and after.

3 MR. BOTT: Yeah, I'll still save it and I'll append the
4 data so you actually have the difference between the different
5 flow stress equations, since we looked at it.

6 Okay. So I will change the wall thickness here to
7 quarter inch. Do you have a calc -- can you figure out what a
8 quarter -- 25 percent of quarter inch is? Just make sure I have
9 it right.

10 MR. CHHATRE: .06 --

11 MR. PIERZINA: 25, huh?

12 MR. FOX: Yup, 0-6-2-5.

13 MR. NICHOLSON: Um-hum.

14 MR. BOTT: 0-6-2-5? Thanks. So you get 750.

15 MR. PIERZINA: Well, yeah, that's a pretty significant
16 change. And that's using a flow stress 59,000?

17 MR. BOTT: Yes.

18 MR. PIERZINA: We should be able to check it.

19 MR. BOTT: Yes.

20 MR. NICHOLSON: So, let's see, what is the result? It's
21 108 less? 758, is that what we came up with?

22 MR. BOTT: 750.29.

23 MR. NICHOLSON: Which would be less than hydro, so you
24 would have gone to a profile.

25 MR. BOTT: Yes. We would have asked for a profile then.

1 MR. NICHOLSON: But when it was 285, we were 858, so we
2 didn't need to go to -- well, shoot. Only you'd run it as a .25;
3 right, then it would have triggered -- well, it would have
4 triggered a profile, but then you'd run the profile and --

5 MR. BOTT: You might have gotten a pressure higher
6 than --

7 MR. PIERZINA: Well, and at that point you're asking for
8 two different profiles on the same joint and --

9 MR. NICHOLSON: Well, what's wrong with that?

10 MR. PIERZINA: Well, that just, you know -- it kind of
11 raises the --

12 MR. NICHOLSON: Oh, I see what you're saying. Yeah.

13 MR. PIERZINA: -- interest level of that pipe joint
14 probably at that --

15 MR. NICHOLSON: Yeah, you're right. Then you've got two
16 features you're asking for profiles on. Does that send off any
17 triggers for an analyst or is that just part of your work?

18 MR. BOTT: Yeah. I mean I can't speculate, but possibly
19 it would have, right. It's hard to say.

20 MR. NICHOLSON: Yeah.

21 MR. CHHATRE: But, I mean, once you get the profile --
22 this is Ravi -- if the profile doesn't show you that much depth,
23 what will you do? What is a profile going to tell you?

24 MR. BOTT: Well, in the past we used the profiles to
25 refine the analysis, so the assumptions going into using a

1 rectangular flaw with a max bin depth, they're typically quite
2 conservative, so they would use the profile to try to -- because
3 especially if you have a lot of features that are all the same bin
4 depth and you're using the max bin depth for them all, there's not
5 a lot of gradient there. So that's why they would go to the
6 profile, to try to elevate some over others.

7 MR. PIERZINA: Just to rank the features --

8 MR. BOTT: Yeah, for sure.

9 MR. PIERZINA: -- in a better --

10 MR. BOTT: Yeah. If you -- for example, if you take two
11 features that are almost the same and they're reported just max
12 bin depth and length, then you get the profiles and one pressure
13 doesn't change much and the other one goes way up, well, then
14 obviously you're a lot more concerned about the one that doesn't
15 change much. So that was the logic path there.

16 MR. FOX: What was the effective depth for at the .285
17 thickness, and the CorLAS predicted effective --

18 MR. BOTT: I will just open the results file for you.
19 For this feature that we're working on right now?

20 MR. FOX: Yeah.

21 MR. BOTT: Yeah. 0.09 inches.

22 MR. FOX: Okay.

23 MR. PIERZINA: What's that; equivalent flaw?

24 MR. FOX: That's the elliptical flaw.

25 MR. BOTT: Oh, sorry. That's with the previous

1 definition of flow stress. Oh, yeah, it's the same. That makes
2 sense, yeah. Flow stress is --

3 MR. PIERZINA: Equivalent flaw depth?

4 MR. BOTT: Yeah. So we're putting in --

5 MR. PIERZINA: Okay.

6 MR. BOTT: -- a rectangular-shaped flaw.

7 MR. PIERZINA: Right.

8 MR. BOTT: So the software still -- the models are still
9 based on a semi-elliptical flaw. So it approximates the area, but
10 that makes the ellipse deeper because it's not rectangular.

11 MR. CHHATRE: Essentially (indiscernible) by about
12 50,000?

13 MR. BOTT: In this case, yeah.

14 MR. NICHOLSON: Okay, yeah. The .071 is your original
15 depth as a rectangle.

16 MR. BOTT: Yes.

17 MR. NICHOLSON: I gotcha.

18 MR. CHHATRE: You use a rectangle because that is how
19 you get the data from GE, or --

20 MR. BOTT: Yes. They give us a depth and a length, so
21 that's -- we use a rectangular shape from that.

22 MR. CHHATRE: Now, does the width of the indication
23 makes any difference to your calculations?

24 MR. BOTT: No. We don't use it in our calculations, no.
25 I mean for a crack-like feature, it actually has -- it's just the

1 width of the box they put around the feature, so it has no
2 meaning. For a crack field feature where there's a field of
3 indications, that is the width of the feature, the area that the
4 features are within, but we still just use the max depth and the
5 length. We don't consider the width.

6 MR. NICHOLSON: That's what I was going to ask next. A
7 crack field goes into this as what?

8 MR. BOTT: We'll still use the rectangular max depth for
9 the whole length, the entire length.

10 MR. NICHOLSON: The entire box?

11 MR. BOTT: Yeah.

12 MR. NICHOLSON: Okay.

13 MR. FOX: Now, in the comparing to the hydro pressure or
14 stress -- or, I guess that's the stress, the hydro stress. Was
15 that value calculated for the .285 thickness when you're looking
16 at, you know, comparing the stress value here to the hydro stress
17 value?

18 MR. BOTT: No. It would have been based on nominal
19 properties. So, for instance, if the hydro test pressure was --
20 for instance, if it was 850 PSI, that's what we'd use. We
21 wouldn't adjust it because the wall thickness was different.

22 MR. FOX: Okay.

23 MR. NICHOLSON: The hydro's the actual --

24 MR. BOTT: Yeah.

25 MR. NICHOLSON: -- hydro test.

1 MR. BOTT: Yeah.

2 MR. FOX: Oh, okay. So it was in each joint. Depending
3 on the elevation and everything, it's going to affect the pressure
4 on that hydro.

5 MR. BOTT: Yeah, for sure.

6 MR. FOX: So -- right.

7 MR. NICHOLSON: So you can batch multiple features into
8 CorLAS; right?

9 MR. BOTT: Yes. Well --

10 MR. NICHOLSON: And get --

11 MR. BOTT: The version we had at the time, the original
12 version, we couldn't. You could only do kind of like I'm doing
13 it. So we actually had a macro that would run it for us and put
14 each feature and take the results out for us.

15 MR. NICHOLSON: But your new one you can batch?

16 MR. BOTT: Yeah. So this one, although I've never done
17 it because we don't use profiles as much anymore, I think you can
18 batch profiles into this.

19 MR. NICHOLSON: Well, I guess what I was getting at is
20 can you take -- I mean, that was pretty interesting, those two
21 features. Why not take all seven of them? Because we're just
22 running them through --

23 MR. BOTT: Yeah.

24 MR. NICHOLSON: -- as rectangles; right? So we could
25 really just take all seven and run them through this 285 and run

1 them through 25 --

2 MR. BOTT: Yeah.

3 MR. NICHOLSON: -- real quick in that Excel one;
4 correct?

5 MR. BOTT: Yeah. We could do that answer, yeah.

6 MR. NICHOLSON: To look at the --

7 MR. BOTT: Yeah, if you'd like to do that.

8 MR. NICHOLSON: Yeah. I mean instead of just
9 piecemealing this, let's --

10 MR. BOTT: For sure.

11 MR. NICHOLSON: -- cut to the chase.

12 MR. PIERZINA: Sean did say you were pretty good.

13 MR. BOTT: I've used Excel a lot. Whether that's good
14 or not, I -- okay. Well, there's only six.

15 MR. PIERZINA: I think there was one added, a 9.3.

16 MR. NICHOLSON: 9.3; 14-1.

17 MR. BOTT: There. Right here. So we're missing one or
18 we got --

19 MR. NICHOLSON: Oh, I think you got -- I see them all
20 there.

21 MR. BOTT: Okay. Just making sure.

22 MR. PIERZINA: So there's six?

23 MR. NICHOLSON: One, two, three, four, five, six. Yeah,
24 I show six.

25 MR. BOTT: Okay.

1 MR. NICHOLSON: If I said seven, sorry. How'd you know
2 which bin to use originally?

3 MR. BOTT: Well, this one is a 40.

4 MR. NICHOLSON: You just remember?

5 MR. BOTT: Yeah. And this is 12-1/2.

6 MR. NICHOLSON: 40, 12-1/2, 25, 25. Okay.

7 MR. BOTT: Yeah. Because we're using the tops of the
8 bins. So then what we can do is we can take this guy. That's
9 here, six features.

10 MR. PIERZINA: When you get the profile from the vendor,
11 are you getting -- you're not getting a percentage depth at that
12 point? You're getting an actual depth; right?

13 MR. BOTT: Yes.

14 MR. PIERZINA: And when they initially analyze their
15 tool results and get those, they're actually -- they're getting
16 the actual depths, right, but they're reporting in percentage
17 bins?

18 MR. BOTT: I believe so, yeah, because now -- I know
19 with the most recent runs they -- we've asked them to report in
20 depths.

21 MR. PIERZINA: Depth bins; right?

22 MR. BOTT: Yeah, rather than percents.

23 MR. NICHOLSON: Do you put the hydro pressures in column
24 "D" there? Is that available on there?

25 MR. BOTT: Yeah, it might be in here.

1 MR. PIERZINA: Can you also -- can you insert a couple
2 other columns, one for 1.25 safety factor and one for 1.39 safety
3 factor?

4 MR. BOTT: You bet.

5 MR. CHHATRE: Well, why would you add 1.39 to that?

6 MR. PIERZINA: That's a typical 72 percent.

7 MR. CHHATRE: I see. And 1.25 will give you --

8 MR. PIERZINA: 1.25 is what Enbridge uses --

9 MR. CHHATRE: Okay.

10 MR. PIERZINA: -- for cracks. 1.39 is what the
11 regulations require for corrosion.

12 MR. CHHATRE: Not for cracks?

13 MR. PIERZINA: Correct.

14 MR. CHHATRE: Regulation has any safety factor for
15 cracks?

16 MR. PIERZINA: Correct.

17 MR. BOTT: Oh. Oh, I see what you mean. Do you want
18 the actual safety factor or just --

19 MR. PIERZINA: No. Just what those failure pressure
20 values --

21 MR. BOTT: Okay.

22 MR. PIERZINA: -- are for -- actually, I think you
23 misunderstood me. Actually, I was wondering, using those
24 calculated failure pressures for the 285 and the 250, what the
25 safe working pressure count --

1 MR. BOTT: Yeah. The safety factor directly from those
2 features is.

3 MR. PIERZINA: Yeah.

4 MR. BOTT: Okay. Sorry about that.

5 MR. PIERZINA: No, that's fine. I wasn't very clear.

6 MR. FOX: Now, I guess I'm wondering where the numbers
7 came from for the .285, because it's not matching up to what we
8 have from the original results, like for the -- in the first
9 feature at 11, you know, we had 789 versus 792 there. Could be a
10 rounding error?

11 MR. BOTT: It could be, because we can't choose some of
12 the material inputs in here.

13 MR. FOX: Oh, okay.

14 MR. BOTT: They just use correlations from the pipeline
15 steel. So, like the strain hardening rate would be slightly
16 different, stuff like that.

17 MR. FOX: So it's a difference in what we were able to
18 do in the DOS software --

19 MR. BOTT: Yeah. We can change a lot more variables.

20 MR. FOX: -- as far as adjusting some of the variables?

21 MR. BOTT: Yeah.

22 MR. NICHOLSON: And they're all within a pound or two.

23 MR. FOX: Yeah. I mean, it's close. It's close. The
24 differences in the -- I think we saw that with the difference in
25 the flow stress definition.

1 MR. BOTT: Yeah.

2 MR. NICHOLSON: Yeah. Let's save that.

3 MR. FOX: So there actually would have been in that case
4 -- if it had been analyzed at the quarter inch, there would have
5 been three features that would have then triggered a -- would have
6 triggered --

7 MR. BOTT: Profile.

8 MR. FOX: -- profile.

9 MR. NICHOLSON: Can you just highlight those three --

10 MR. BOTT: Yep.

11 MR. NICHOLSON: -- just so they stand out a little bit?

12 MR. CHHATRE: He's able to say about 100 PSI.

13 MR. NICHOLSON: Yeah. They're all essentially deltas.

14 MR. CHHATRE: Yeah, 110, yeah. It's close.

15 MR. PIERZINA: It's consistent.

16 MR. NICHOLSON: 100 to 108, I think. Or 95 to 108.

17 Okay. Thanks, Steven.

18 MR. BOTT: Yep.

19 MR. NICHOLSON: That's great. You guys want to do a
20 profile or is there more you want to do with this currently?

21 MR. PIERZINA: No.

22 MR. NICHOLSON: And you mentioned wanting to do a
23 profile, I think.

24 MR. FOX: Yeah. I think it might be -- you know, I mean
25 that's the procedure that was in place at the time.

1 MR. NICHOLSON: Yeah. From this you would go to the
2 profile.

3 MR. BOTT: Yep. Yeah, for sure. What we can do is we
4 can do a profile, for sure, yeah. I'll just have to track down.

5 MR. FOX: Maybe we could get it -- I don't know how long
6 it would take. Would it take long to profile those three that
7 would have triggered at the quarter --

8 MR. BOTT: The other two, it might take longer.

9 MR. FOX: I guess we have the profile data on the --

10 MR. BOTT: Yeah. I have profile data --

11 MR. NICHOLSON: Oh, do you have the --

12 MR. BOTT: -- but we have to set the files up so they --
13 the format they give us, the profile data isn't something we can
14 just stick straight into CorLAS. But we --

15 MR. FOX: Well, I guess, we could -- if we can
16 demonstrate with the 9.3, and I think we have the results of the
17 other one.

18 MR. NICHOLSON: Do we have the profile for 51?

19 MR. FOX: It was run after the fact.

20 MR. BOTT: Yeah. I'm sure we have it around --

21 MR. NICHOLSON: Okay.

22 MR. BOTT: -- somewhere.

23 MR. CHHATRE: (Sneezing) Allergies, ah. I think I'm
24 allergic to you.

25 MR. FOX: I would like to think it's me, Ravi.

1 MR. CHHATRE: Oh, no, no, no. You are not
2 (indiscernible) at all.

3 (Laughter.)

4 MR. NICHOLSON: Still on the record.

5 MR. CHHATRE: Yes, we are.

6 MR. BOTT: Okay. So, yeah, we do have the profile for
7 the 25 to 40. Okay. So I believe this will be the results one.

8 Yeah. So here's the original results one from this
9 profile. Here's the 895. And then I will find the input file.
10 So I'm going to show you how that would have been done, maybe.
11 Oh, that's okay. I can use this profile information to generate a
12 new input file. So once you have the profile formatted in the
13 input file, it's the same process. You just load the file in to
14 the DOS version and run it.

15 So in this case, the profile was just one depth, so it
16 doesn't actually look any different than our box data would have,
17 other than it's not as deep because we've got the actual depth
18 rather than the top of the depth.

19 MR. CHHATRE: This is Ravi. Question: What additional
20 information profile is giving you that we don't have for here?

21 MR. BOTT: So in this case, other than the different --
22 like the actual max depth, it hasn't given us a lot more
23 information because they just gave us one depth for the profile.
24 But typically a profile, rather than having to use one depth for
25 the whole length, we're able to actual -- use the different depths

1 along the length of the crack for a crack field feature.

2 MR. PIERZINA: And what kind of increments do they give
3 you that?

4 MR. BOTT: Generally, I believe it's just whenever it
5 changes, they have a data point.

6 MR. CHHATRE: I don't think I understand. Can you
7 elaborate more?

8 Do you understand?

9 MR. NICHOLSON: No. I mean. I'm still a little
10 confused. You're entering a profile --

11 MR. BOTT: Yes.

12 MR. NICHOLSON: -- that's not rectangular now?

13 MR. BOTT: No.

14 MR. NICHOLSON: Okay. But it's still converting it to a
15 semi-elliptical --

16 MR. BOTT: Yes, it will.

17 MR. NICHOLSON: -- flaw?

18 MR. BOTT: Yes.

19 MR. NICHOLSON: Okay. So it still -- yeah, it still
20 converts it to -- it takes the area of the flaw and converts it to
21 a semi-ellipse.

22 MR. FOX: So for the 9.3-inch long defect, it just gave
23 you the one depth across --

24 MR. BOTT: Yes.

25 MR. FOX: -- the entire defect, but like for that 51-

1 inch profile after the fact, that one had varying depths over the
2 length of the --

3 MR. BOTT: Yes.

4 MR. FOX: -- 51-inch. So it takes that and converts it
5 into some other -- a semi-ellipse that --

6 MR. BOTT: Yeah. So it takes the profile and converts
7 that area into an ellipse, yeah.

8 MR. CHHATRE: Do you have an example for us? I mean, do
9 you have any example that shows how it could be different than
10 what I'm seeing so far? And all I'm seeing every time is a
11 rectangle --

12 MR. BOTT: Yeah. No, for sure.

13 MR. NICHOLSON: Do you want to try and draw it or --

14 MR. CHHATRE: Well, if you can draw it, that's fine,
15 too.

16 MR. BOTT: I can either draw it or I can just -- we can
17 do a profile.

18 MR. CHHATRE: Oh, yeah.

19 MR. NICHOLSON: Sure.

20 MR. BOTT: We have all these profiles, I'm sure. Sure,
21 we'll just open one. Let's find one that's on (indiscernible) --

22 MR. CHHATRE: You guys might -- I don't think I got it.

23 MR. BOTT: Okay. So, I'll quickly, will show --

24 MR. PIERZINA: Do we have the profile that was done on
25 the -- you know, after the fact, done after the incident on the --

1 MR. BOTT: We do.

2 MR. PIERZINA: -- ruptured --

3 MR. BOTT: For sure.

4 MR. PIERZINA: -- feature?

5 MR. NICHOLSON: That didn't really look that difficult
6 to build. It looked like it was just a series of points along the
7 length and then a corresponding depth; right?

8 MR. BOTT: Yeah. I can definitely do that one. I think
9 the trickiest part will be finding where we have the new profile
10 stuff, because I know we have it. To be quite honest, I'm not
11 sure where we would have stored that, but I'll look quickly.

12 Oh, that's field data. Yeah, I'm sorry. I'd have to
13 track it down for you. But I can draw it on the board --

14 MR. CHHATRE: Yeah. That is fine.

15 MR. BOTT: -- if that would make it easier.

16 MR. NICHOLSON: Please. Why don't you (indiscernible).

17 MR. BOTT: Sure.

18 MR. NICHOLSON: If you need to set that -- if you want
19 to set it on this ledge over there, that's --

20 MR. BOTT: So when we get the original data from the
21 ILI, we'll get -- essentially what we do is we get one depth and
22 we get a length, so we'll assume something like this, which we've
23 demonstrated several times. And then the software does something
24 like this. So when you get a profile that's actually different,
25 what you might get is, you'll get -- say you get something like

1 that, so -- and maybe the depth's not always the max bin depth
2 rate. Well, it's down here, but -- but that increases our
3 knowledge of the feature, because then we kind of have an idea of
4 the shape and it reduces this area assumption, is the biggest
5 effect, right, because you're only assuming this profile. So then
6 when the software still just makes the same thing, you'll get
7 something more like this possibly.

8 MR. NICHOLSON: So we're looking at just one side of the
9 pie; correct? This is just one wall? This your pipe wall here?
10 I just want to be sure --

11 MR. BOTT: Yeah.

12 MR. NICHOLSON: -- I've got my bearings.

13 MR. BOTT: Yeah.

14 MR. NICHOLSON: This is IOD?

15 MR. BOTT: Yeah. I was just showing it the same as PI
16 in the --

17 MR. NICHOLSON: Okay.

18 MR. BOTT: -- software. So, yeah, this is OD at the
19 bottom --

20 MR. NICHOLSON: Okay.

21 MR. BOTT: -- where the feature is, and this would be
22 ID.

23 MR. NICHOLSON: Okay.

24 MR. BOTT: So, yeah, it reduces the severity of the
25 conservatism of our assumptions, essentially, is what it does.

1 Because we're actually using what the vendor has told us is the
2 actual shape of the feature.

3 MR. FOX: Now, for the profiling that was done from the
4 2005 data, essentially that's just taking that box, the
5 rectangular box, and shrinking it to whatever the deepest
6 indication --

7 MR. BOTT: Yeah. It appears that a lot of them are like
8 that. Like it was manually done in 2005, and so they made -- for
9 some features they may not have -- they may have decided they
10 couldn't make the call to go as far. I have seen profiles from
11 2005 where they've gone this far --

12 MR. FOX: Oh, okay.

13 MR. BOTT: -- to this level of detail, but it's possible
14 in 2005, for these ones, instead of having the 25 to 40, they
15 said, well, no, the max depth's actually 29 and --

16 MR. FOX: Now, would you tell them, you know, which ones
17 you want the greater detail on versus the ones that you just want
18 the max value?

19 MR. BOTT: Sean would have to clarify that, because
20 since I've been in the group, GE in particular, anyway,
21 automatically generates all these for us.

22 MR. FOX: Okay.

23 MR. BOTT: We typically don't use them that often, but
24 they do get generated automatically. So they actually go down to
25 this level, because it's a computer doing it, so it's not --

1 MR. FOX: That's fine.

2 MR. BOTT: So I'm not sure if previously they had to ask
3 for what level of detail they needed.

4 MR. NICHOLSON: Any questions, Ravi?

5 MR. CHHATRE: I'll go outside (indiscernible) --

6 MR. BOTT: I can go through it quickly again.

7 MR. CHHATRE: Okay.

8 MR. BOTT: So, it's a little hard with all my little
9 lines everywhere. But essentially what the tool gives us
10 originally is a max length and a max depth. So we will assume a
11 box, and that's what we do. Now, if we ask for a profile, what
12 happens is -- so in the case of many of the profiles -- one thing
13 we were discussing in this one is actually what we got from the
14 tool was that's the max bin, and they just gave us a square that
15 was what they actually thought it was. So that's one step. Now,
16 what they can also -- what I've seen as well is they'll actually
17 go down to the level where along the length of the reflector,
18 the --

19 BY MR. CHHATRE:

20 Q. That's each pixel you are drawing?

21 A. Yeah.

22 Q. Or you are drawing a --

23 A. Well, it's not each pixel. So the multiple sensors will
24 see this part, but it's sort of the depth they've calculated based
25 on their algorithm --

1 Q. Okay.

2 A. -- for this part. And, yeah, and they go along and
3 build a profile out of it.

4 Q. So, now, all these really even correspond to my -- I
5 guess my length is here; right?

6 A. Yes.

7 Q. Okay.

8 A. Yeah.

9 Q. And so your rectangle, now, is really the depth versus
10 length. I mean, this is the depth?

11 A. Yes.

12 Q. And this is the length?

13 A. Yes.

14 Q. Now, how does -- if they give you the maximum, your
15 elliptical model of profile goes beyond your box, is where I have
16 disconnect. I don't --

17 A. Oh, okay. So the reason that is, is because the
18 software and the model uses a semi-ellipse. So if we put in a
19 rectangle, the model converts that area, this amount of area, to
20 an ellipse. But in order for the ellipse to have that much area,
21 because it's a rounded shape, it has to go --

22 Q. Oh, you -- okay.

23 A. It has to go deeper.

24 Q. Okay.

25 A. Yeah.

1 Q. So that definitely doesn't mean a whole lot or it does
2 mean something?

3 A. This depth here?

4 Q. Yeah -- no, no. I mean, now that you are beyond your
5 box, this really has no special meaning; it's just equal to the
6 other (indiscernible)?

7 A. It's the same area.

8 Q. Okay. So I thought that ellipse is going to be used
9 when more depth than you actually are measuring, and that's why I
10 was confused.

11 A. It does give you more depth and it -- because of stress
12 concentration, it does give you a slightly lower -- like if you
13 were to model the same area as a square and as this, this might
14 give you a slightly less -- lower pressure because it's deeper.
15 But the -- it wouldn't change much, but it's more conservative
16 than just assuming this, where you'd have your ellipse with the
17 same depth as the maximum. Because then it has less area, so
18 obviously your fail pressure will be higher.

19 Q. So what we are losing by taking a more blunt crack
20 versus a more sharp crack? I mean the one that you are doing
21 there, the dash line is a more sharper crack, whereas --

22 A. Well, I'm not drawing the shapes accurate.

23 Q. Okay, okay.

24 A. It's the same semi-ellipse.

25 Q. Okay.

1 A. Yeah.

2 Q. I'm sorry. Yeah.

3 A. Yeah. Sorry about that. It's the same semi-ellipse.
4 It's just which -- how much area it encompasses. And so what we
5 get by going to the profile is there's less area, so you have a
6 smaller feature.

7 Q. So that ellipse is giving you a more conservative number
8 and a higher number than the actual number in depth?

9 A. A higher number, yeah, than actual number.

10 MR. CHHATRE: Okay.

11 MR. PIERZINA: And so, Steve, you said that you're not
12 using the -- currently not using the vendor-generated profiles
13 because you haven't validated them yet, but wouldn't they still be
14 of value as far as ranking features, or --

15 MR. BOTT: Yeah. So they could be, yeah. So
16 essentially what -- and I believe it was 2008 is when they
17 switched to automatically generating those, and so in most cases
18 since then we haven't used the profiles. We've just gone with the
19 maximum bin depth and dug everything that met our criteria. So
20 now that we're adding, you know, bias to our fitness for purpose
21 calculations, we may start looking at them again just as a way to
22 rank features again.

23 MR. NICHOLSON: Matt Fox, anything you'd like to see in
24 CorLAS, or are we done?

25 MR. FOX: I can't think of anything at the moment. I'm

1 good with the CorLAS demonstration.

2 MR. NICHOLSON: Mr. Chhatre?

3 MR. CHHATRE: I mean, I might be contacting you guys
4 again over the phone, but I don't think -- I mean, I feel I
5 understand what is being explained, but I'm not sure I retained
6 the whole thing, but --

7 MR. NICHOLSON: Okay.

8 MR. CHHATRE: It looks reasonably simple to do it.

9 BY MR. NICHOLSON:

10 Q. Yeah, I just want to clarify, though, when I asked you
11 about the SCC, you said this is the same program you used for a
12 crack field, it's just -- and you input it pretty much the same
13 way.

14 A. Yes.

15 Q. You use the box for the length and the maximum depth.

16 A. Yeah.

17 Q. Can you profile a crack field?

18 A. No. They don't give us profiles for crack fields.

19 Q. Okay. All right. So there's nothing else you really
20 change. It's just how it's --

21 A. Yeah.

22 Q. The same program, the same way.

23 A. Yeah.

24 MR. CHHATRE: So essentially what I understood from
25 yesterday was a crack profile and crack, they treating

1 (indiscernible) same, pretty much. The way you're handling the
2 data, it's essentially the same.

3 MR. BOTT: It's very similar to doing a crack field.

4 MR. CHHATRE: Whether it's crack or it's crack field, no
5 difference.

6 BY MR. NICHOLSON:

7 Q. Do you have to apply any other kind of, you know, non-
8 quantifiable measures when you look at a crack field that you
9 wouldn't for a fatigue crack?

10 A. I don't -- not normally.

11 Q. Okay.

12 A. Again, like I said, when you start to get a lot of them
13 that are the same, you may look at other things to try to
14 prioritize, but typically when it comes to this is what we're
15 going to dig, we may try to prioritize within that, but that's
16 what we're going to dig, so --

17 Q. And you trust the characterizations? There's never -- I
18 mean, in this case you call it crack-like and now they're saying
19 it's crack field. There would be no reason typically in your job
20 to question the characterization of a defect?

21 A. Yeah. So in our -- and I know we're going to get to it,
22 but in our outlier analysis and trending, we do trend the
23 classification.

24 Q. Okay.

25 A. And even though we treat everything fairly similar, we

1 still work with the vendor to try to improve that classification.

2 So we do trend it.

3 Q. Based on digs?

4 A. Based on the field.

5 BY MR. CHHATRE:

6 Q. I thought you were using the same approach for crack-
7 like field, cracks and --

8 A. (indiscernible) Yes, we do use the same approach. We
9 grow them all by the same growth rates and -- just in case they do
10 mis-classify something. But, of course, we always want them to
11 get it right. It helps us, you know, characterization the line as
12 a whole and understand the mechanisms, so --

13 Q. Well -- I'm sorry. This is Ravi again.

14 But for your analysis, CorLAS, crack-like features,
15 crack, and crack field, they're all analyzed the same way --

16 A. Exactly.

17 Q. -- is that correct?

18 A. Yes.

19 Q. So what is the (indiscernible) of getting these three
20 different classifications from the vendor?

21 A. It understands us -- or helps us understand what kind of
22 features may be there. Also, especially in the area of the weld,
23 because they can't really tell if it's in the weld or near the
24 weld. But if they call something a crack field, then obviously
25 it's easier for us to understand it's probably near the weld,

1 along the edge of the weld. But if they call something a crack-
2 like, it's more likely to be something associated with the seam.
3 So it does -- especially on lines where you'd expect to have
4 features in the seam, like flash weld or low frequency or "W", it
5 does help us kind of understand what's going on with the line and
6 which threats would be there.

7 Q. So then you're saying the tool will not identify where
8 the weld is?

9 A. It knows where it is, but because it's a shear wave and
10 it's going in the pipe at an angle and the -- it's getting signals
11 from multiple things on both sides of the weld, they know where
12 the weld is, but it's hard for them sometimes to nail down exactly
13 whether the feature's in the weld or just close to the weld.

14 Q. In your analysis, you treat it differently, even in the
15 weld was this -- it's on the heated-affected zone or near the
16 weld?

17 A. No. We will treat everything near the weld as if it was
18 in the weld. So, for toughness purposes; right?

19 Q. Okay.

20 A. So when GE reports the location of a feature to us,
21 typically they just have two calls. They have adjacent to weld,
22 and they have base metal.

23 Q. Right.

24 A. And so everything adjacent to weld could either be in
25 the weld or just near the weld, and they can't determine, so they

1 tell us it's close to the weld.

2 Q. Um-hum.

3 A. So -- but normally if it's adjacent to the weld or it's
4 a crack field, you'd actually expect it to be in the base
5 material, just close to the weld. Whereas if it's a crack-like,
6 it's more likely to be associated directly with the weld.

7 Q. And so in your analysis, you treat those things
8 differently?

9 A. No, we don't, because it's conservative to treat them
10 the same.

11 Q. Okay.

12 A. But just for our understanding of what the threats are
13 in the line.

14 Q. Okay. But otherwise, really it's no different. You
15 treat everything the same way, where -- do the digs?

16 A. Yes.

17 Q. The same way, whether it's a crack field, crack-like
18 feature, or a crack?

19 A. Yes. Yeah.

20 MR. CHHATRE: Any questions -- I don't have any
21 questions on CorLAS, but I don't have other questions.

22 MR. NICHOLSON: Oh, of course we do. Yeah. I didn't
23 know if we --

24 BY MR. NICHOLSON:

25 Q. Now, you said you flaw check. You are unable to -- you

1 don't feel comfortable running the flaw check for us?

2 A. No. We do have some training on fatigue and flaw check,
3 but currently what we -- in our group we kind of have a person
4 who's responsible for us. We give him all our inputs and they do
5 the flaw check for us, and then we use the outputs from that. So
6 I don't actually use the software regularly, so --

7 Q. You use the outputs from flaw check?

8 A. Yes. I use the remaining lives generated from the --

9 Q. Is it in CorLAS or --

10 A. No. For our reassessment annual determination.

11 Q. Oh, okay.

12 A. And the dig selection, yeah.

13 BY MR. FOX:

14 Q. So you get involved in the dig selection, then?

15 A. Yes.

16 Q. So I guess a question I would have is if you had a joint
17 that had, I guess in this case three features that would have been
18 flagged for profiling or, conversely, say, three features that
19 were near the rupture limit on one joint, would you flag that
20 joint for a dig?

21 A. It's possible I would. I depends a lot on the line and
22 what we're seeing, and if we're already doing -- like if we
23 selected a large number of excavations already, I might not pick
24 it in, say, like a phase one. But we do consider feature density
25 and distance from the pump station and stuff like that in our

1 selection criteria. It's likely that if it almost met our fitness
2 for purpose criteria, that we would probably select it based on
3 growth or if we were adding bias to the fitness for purpose, that
4 might flag it, so --

5 BY MR. NICHOLSON:

6 Q. If CorLAS is your fitness for purpose --

7 A. Yes.

8 Q. Okay. I'm a little fuzzy, then, on the flaw check.
9 Flaw check if your fatigue.

10 A. Fatigue, yeah.

11 Q. So would someone else be doing a parallel run of all
12 these features for fatigue?

13 A. So, yeah. What happens with that is when I get a new
14 run, I will do the fitness for purpose assessment and I will
15 calculate the critical depth for the fatigue analysis, and I will
16 choose what pressure data based on our, you know, pressure
17 monitoring that I think would be most appropriate to use, and I'd
18 put that all into a file that contains all the inputs, and then I
19 send that to someone who then actually runs flaw check for me, and
20 then he gives me the output back and then I use the output.

21 Q. So I thought there was a dedicated engineer doing the
22 pressure selection.

23 A. He does the pressure monitoring.

24 Q. Oh, okay.

25 A. Yeah. So he -- on a quarterly basis he takes all the

1 pressure data and calculates the pressure severity each quarter
2 for each line signal. But since it's -- I'm the one that's kind
3 of responsible for doing the analysis for that line. We have
4 guidelines in our process documents that say what we should use
5 for pressure data, but it's up to me to choose which pressure
6 data, which quarter or two quarters to represent, you know, on our
7 fatigue list.

8 Q. And then can you show us, how do you get the critical
9 depth? Is that through CorLAS or --

10 A. Yeah. So --

11 Q. -- Excel, I mean --

12 A. Yeah. What we do -- and I can just use this file that
13 we already had that I closed. I'll just open it again. So we can
14 use this. Not this one. So we can use this. So right now we've
15 used it for fitness of purpose, but it also outputs critical
16 depths.

17 Q. Oh, okay.

18 A. So, because flaw check grows, we grow our fatigue growth
19 by an elliptical shapes, an elliptical shape. We can -- what
20 we'll do is we'll run it once to get out our fitness for purposes
21 assessment, and then we would change the profile to the elliptical
22 shape, and then we would run it and then we take the minimum depth
23 between full stress and fracture toughness, and that would be our
24 critical depth. So that's why -- that's based on whatever
25 pressure we put in here.

1 Q. Right. That's the depth at which it will --

2 A. Fail.

3 Q. -- run or fail?

4 A. Yeah. So --

5 Q. At that pressure.

6 A. -- that's what we grow our fatigue -- when we run our
7 fatigue, that's what we go to, is this depth. So I calculate
8 that.

9 MR. CHHATRE: So on the very last row here, you're
10 saying that 624 PSI operating pressure, you are -- how is that
11 pressure different now for fatigue? If you look at --

12 MR. BOTT: It's not, so -- well, we would put our MOP in
13 this column, our maximum operating pressure. So our fatigue, we
14 obviously don't want to exceed the maximum op pressure. So that's
15 how we get our critical depth, is based on that pressure. So I
16 give that and then the other parameters from the feature, and then
17 that all goes into kind of input file and I give that to the other
18 engineer.

19 BY MR. CHHATRE:

20 Q. I'm sorry. Can we revisit again, because I don't think
21 I understand with your fitness for service and -- can you explain
22 one more time as to how does that work?

23 A. Okay. So -- sure. That's not a problem. So we use a
24 rectangular profile for our fitness for service.

25 Q. Right.

1 A. So I won't redo it, but we put "R" in here for
2 rectangular profile and we run it, and then we get the results
3 that we would use to decide what we dig based on fitness for
4 purpose.

5 Q. Okay.

6 A. And then, because we grow by fatigue --

7 Q. And what -- I'm sorry. What is the criterion for these
8 numbers? Which numbers would determine a dig?

9 A. A safety factor of 1.25 or 0.8. However you want to say
10 it. So if this was your MOP, then anything that was less than
11 1.25 times MOP we would dig.

12 Q. Okay. Where is that number in the column, 1.25 times
13 MOP?

14 A. We don't -- this is just the assessment file. We have
15 another file that we store that in.

16 Q. And that number is automatically imported?

17 A. We import it to the other file, yeah.

18 Q. So for each number you are to go back at that file and
19 look at the number or -- I'm sorry.

20 A. Here. What I can do is --

21 Q. Show me an example.

22 A. Yes, I sure can. That will make it easier. I'll show
23 you the same one that Sean was showing you yesterday, I think. So
24 we have a file that we call our crack assessment file, --

25 Q. Okay.

1 A. And that's the ILI results. Then our inputs that we put
2 into that other CorLAS Excel file.

3 Q. Okay.

4 A. And then we take the failure pressures that we get out
5 and we put them in here. So that way they're kind of all lined up
6 with their ILI data, and then we also have the MOP in here.

7 Q. Okay.

8 A. So then we'll have a -- right here. So, safety factor
9 over MOP. So this -- anything less than 1.25 we would --

10 Q. Okay.

11 A. -- sign for an excavation. So that's how that works.

12 Q. Okay.

13 A. And then to calculate the critical depth for fatigue,
14 we'd change it to elliptical profile. We run it again, make sure
15 we have the correct numbers in here, obviously. Run it again, and
16 then whichever is the lower of these two numbers is what we'll use
17 for --

18 BY MR. NICHOLSON:

19 Q. Where do you get the operating pressure from?

20 A. So we have these documents called line description
21 documents.

22 Q. Um-hmm.

23 A. And they're supplied by our Facilities Management Group,
24 and they have the hydro test and MOP and any pressure restrictions
25 and all that kind of stuff.

1 Q. Okay. So it has pressure restrictions. So if there was
2 a pressure restriction on that line, --

3 A. Yeah.

4 Q. -- that value would be --

5 A. Well --

6 Q. You would use that value?

7 A. No. We'd try to use just the MOP of the line, because
8 that way your analysis doesn't depend on whether that pressure
9 restriction comes off or not, because --

10 Q. Okay.

11 A. -- the pressure restriction might be on there for a
12 different -- like a corrosion dig and then they're done. When
13 they finish the corrosion dig, --

14 Q. I see.

15 A. -- they might take that off, so you can't use that. You
16 have to use the --

17 MR. PIERZINA: So the 624, I think, in this case is 72
18 percent of SMYS; right?

19 MR. BOTT: Yes.

20 MR. CHHATRE: Excuse me. (Indiscernible) maximum
21 operating pressure, not the operating pressure. (Indiscernible)
22 is a maximum operating pressure, --

23 MR. BOTT: Yes. It's a maximum.

24 MR. CHHATRE: -- not an operating pressure; right?

25 MR. BOTT: No, no. It's just because this is -- you can

1 use this software to do any kind of calculations, so they just
2 called it operating pressure, but we put maximum --

3 MR. CHHATRE: Maximum.

4 MR. BOTT: -- pressure.

5 MR. NICHOLSON: Okay. So you give the flaw check guy
6 the critical depth and the pressure cycle?

7 MR. BOTT: Yep.

8 MR. NICHOLSON: And he gives you years to failure, which
9 goes back in this worksheet?

10 MR. FOX: And you give him the flaw length, too.

11 UNIDENTIFIED SPEAKER: Yeah.

12 MR. FOX: Length and critical depth for each flaw?

13 MR. BOTT: Yeah. I give him the length and then the --
14 you know, the grade and the wall thickness.

15 MR. NICHOLSON: Who do we need to show us flaw check? I
16 didn't hear a name.

17 MR. BOTT: Well, Aaron is the one who does it. Sean
18 might be able to show you as well.

19 MR. JOHNSON: Is that something he can show us here, or
20 has it got to be on his computer?

21 MR. BOTT: It's got to be on his computer. It's got a
22 hard block, so I believe it's got to be on his computer.

23 MR. JOHNSON: Is he here today? Do you know?

24 MR. BOTT: Aaron's here, so -- and he may have a laptop
25 that he can bring up. I'm not sure.

1 MR. NICHOLSON: Let's go off record here. We're off the
2 record.

3 (Off the record.)

4 (On the record.)

5 MR. NICHOLSON: Okay. Steven Bott interview, part two.
6 Okay, Matt Fox. I think you had a question.

7 BY MR. FOX:

8 Q. My question is, you know, looking at that 9.3-inch
9 feature on the ruptured joint, after that feature was profiled, if
10 a tool bias had been applied, would that still keep that predicted
11 pressure above rupture pressure or the -- met hydro pressure if we
12 had tool bias? So, and this is still with the 0.285 wall depth?

13 A. Yeah. So the -- I believe the bias was -- I know on the
14 12 to 25 it was 9 percent. It may have only been the actual tool
15 tolerance on that, so --

16 Q. Oh, the bias changes by crack depth?

17 A. Yeah. Typically, especially the 25 to 40 or the 2- to
18 3-millimeter bin, actually you don't need to add as much bias
19 typically.

20 Q. Okay.

21 A. So I should just check and confirm what we used.

22 BY MR. CHHATRE:

23 Q. Why is that? The tool tolerance are the same; right?

24 A. Yeah, but -- so the tool tolerance is always 0.5
25 millimeters or 0.02 inches. But based on our trending, I believe,

1 on the 2005 data for the 12 1/2 to 25 bin, it was slightly more
2 than that. Instead of being about 7 1/2, 8 percent, it was like 9
3 percent, which is -- it was 0.026 inches, I think. But I don't --
4 I can't recall off the top of my head what it was, so I'm just
5 going to take a look at this trending here. So, yeah. So you can
6 see that here's the different tolerances, so --

7 Q. (indiscernible)

8 A. Yeah, can do that. So you can see that the 12 1/2 to 25
9 has a bit more variability here, so this is actually including
10 post-incident. So if we go to pre-incident, this is what it
11 looked like. So you can see this here. It's slightly above the
12 one tolerance, which is where the 9 percent comes from. So here
13 would be -- it's under the one tolerance, so the minimum we ever
14 add is -- would be one tolerance.

15 Q. I'm sorry. What are 1, 2 and 3 tolerances? What does
16 that mean?

17 A. Just the number of tool measurement error bands we would
18 add, I guess, the equivalent. So for -- so plus one tolerance
19 would be adding 0.02 inches. Two would be adding 0.04 inches,
20 because it's two times the tolerance. Three would be 0.06 inches.
21 So, it's just a guide to kind of help visualize it, so --

22 Q. So it is really the confidence limit? Is that related
23 to the confidence limit, then, like 95 percent confidence, 90
24 percent confidence?

25 A. No, this isn't directly related to that. This is --

1 well, as reported by the vendor, --

2 Q. Uh-huh.

3 A. -- they say that it's plus or minus 0.02 inches, I
4 think, 90 percent of the time. So I guess --

5 MR. NICHOLSON: So each tolerance is 0.02?

6 MR. BOTT: 0.02 inches. So if we had a feature up at
7 this line, the uppermost one, for our bias, if we confirm that
8 feature was an outlier and we agree with the NDE calls and
9 everything, we would add that much, three tool tolerance as our
10 bias for those features for that run.

11 BY MR. CHHATRE:

12 Q. And is your bias always plus/minus or is the biases
13 always on --

14 A. It's always plus.

15 Q. Always plus.

16 A. We won't remove bias. I mean we may -- like if we're
17 always trending way down at the bottom, we may work with GE to
18 recalibrate the run maybe, but we would never just be like, "Oh,
19 no. There's nothing. We can take off depth." We would never do
20 that, for sure.

21 BY MR. NICHOLSON:

22 Q. So is the tolerance applied to each specific defect or
23 do you just go across the -- you take your worst case and apply
24 that bias across the board?

25 A. Typically we'll do it on a bin specific type deal. So

1 for, you know, the less than 12 1/2, we might have one. Twelve
2 and a half to 25, we might have one.

3 Q. But that's applied to all defects in the bin?

4 A. But all features in the bin, yeah.

5 Q. Regardless of where they might have trended?

6 A. Yes.

7 Q. Okay.

8 A. Yeah. So, yeah, even though we have features down here.
9 So obviously not all of them are going to need this, but --

10 BY MR. CHHATRE:

11 Q. So you did the data that (indiscernible) giving you.
12 Then you added this value and made that that depth, either by 0.02
13 inches, 0.04 inches, and 0.06 inches.

14 A. Yeah.

15 Q. -- depending upon some tolerances. So these numbers
16 plotted here, they can view the tolerances; correct?

17 A. Well, these numbers plotted here --

18 Q. Uh-huh.

19 A. -- are what the field has reported as the depth.

20 Q. But they are not -- they do not (indiscernible)
21 tolerances. So all of them must shift up by that much?

22 A. They would shift over towards this edge if we added
23 tolerance, because ILI is on the "X" axis.

24 Q. Okay, okay.

25 A. So if we added tolerance, they would shift.

1 Q. They all shift to the right?

2 A. Yeah.

3 Q. Okay.

4 A. So for this one, I'm just going to add one tool
5 tolerance, because that's what our trending would show, so --

6 Q. (indiscernible) 0.02; right?

7 A. It was 0.083 before.

8 MR. PIERZINA: Right. So it should be 0.103 now; right?

9 MR. BOTT: Yes.

10 BY MR. CHHATRE:

11 Q. Okay.

12 A. I think I may have made an error. Just one sec. I
13 think there might be a typo. That's why I check those, because --
14 yeah.

15 Q. That's what I was trying to tell you.

16 A. Oh, okay.

17 Q. Yeah. And then you guys all "hoo'd" me. I said, okay
18 (indiscernible).

19 A. You were right, yep.

20 UNIDENTIFIED SPEAKER: (indiscernible)

21 UNIDENTIFIED SPEAKER: Stick to your guns, Ravi.

22 MR. BOTT: Yeah.

23 UNIDENTIFIED SPEAKER: It was a 0.25. Which case are we
24 (indiscernible)?

25 MR. FOX: This is the 9.3-inch crack?

1 MR. BOTT: Yeah. He had asked for 285.

2 MR. NICHOLSON: Oh, I'm sorry.

3 MR. FOX: Yeah, with the 285. Well, yeah. It would be
4 as calculated then if you added the five.

5 MR. CHHATRE: So it would be --

6 MR. BOTT: 31.

7 MR. FOX: 831?

8 MR. CHARTE: Yeah. Still we have all hydro, we have
9 not?

10 MR. NICHOLSON: Yeah.

11 MR. BOTT: Yeah.

12 MR. NICHOLSON: It's above hydro, so ninety --

13 BY MR. CHHATRE:

14 Q. Now -- this is Ravi -- I remember, I guess, him just
15 telling me that -- telling us that after the accident, GE went
16 back and reclassified that defect as a crack field or crack-like
17 feature. I forget what.

18 A. It was a crack-like originally, and they reclassified it
19 as a crack field based on their new look at it.

20 Q. But if I understand you correctly, earlier you said your
21 calculations makes no difference, though.

22 A. It would not make any difference to these calculations.

23 Q. Whatever your numbers were, (indiscernible)?

24 A. Yes.

25 Q. Your treatment was no different?

1 A. Yes. The only one thing we do different with crack
2 fields is if they have a -- because "G" also reports a longest
3 indication. If that was long, then we would dig it, so that would
4 be the only difference.

5 Q. But even if that --

6 A. But it wouldn't be based on this. Like the feature
7 could be way, way above our criteria. But if -- we still would
8 dig if we had a really long longest indication. But that would be
9 the --

10 Q. But I thought --

11 A. Yeah.

12 Q. -- maybe "G" reclassifying were identically different
13 and the crack would have been identified, but the field --

14 A. Not by this method, no.

15 Q. So your crack (indiscernible) treat everything same?

16 A. Yes; yeah. Like I said, unless they reported it with a
17 really long longest indication, that we would have dug.

18 Q. But it was that changing the indication, not
19 classification; right?

20 A. Well, crack-likes they don't report along a syndication.
21 They do for crack fields. So it would change, but based on
22 fitness for purpose, all this work, yeah, the crack field, crack-
23 like change doesn't.

24 Q. So I thought maybe that was a big, I guess, improvement
25 that would have triggered something on your part, but you would

1 not have?

2 A. No, not from this point of view.

3 MR. NICHOLSON: But the longest indication having been
4 bigger than 2 1/2 inch --

5 MR. BOTT: I think --

6 MR. NICHOLSON: -- triggers an immediate dig or
7 something?

8 MR. BOTT: Or not an immediate dig, but it would have
9 meant the criteria that was used for phase one, I believe, that
10 they --

11 BY MR. CHHATRE:

12 Q. But they would have still gone to the same calculation
13 (indiscernible) same conclusion?

14 A. Yeah. No, the longest indication lengthening is -- we
15 just use that as -- if it's a crack field and it has a long
16 interacting length, it could be growing, it could be really
17 active, so we want to dig those. So it's like additional step.
18 It's independent of whatever we think the fail pressure might be.

19 MR. NICHOLSON: So you're saying the model, you can't
20 really do anything with these anyhow, so we dig them?

21 MR. BOTT: Or it does -- you know, 99 --

22 MR. NICHOLSON: Oh, okay.

23 MR. BOTT: It does do it; right? It does -- we do use
24 them. But it's just another indication. It's a non-quantitative
25 way. It's just like looking for things close to the pump stations

1 or looking for things with lots of features on the joint. It's
2 just another one of those kind of methods of looking deeper into
3 the data past the numbers.

4 BY MR. CHHATRE:

5 Q. (Indiscernible) profile not having changed based on the
6 change in classification, crack-like feature was this --

7 A. They don't -- they can't do a profile for a crack field
8 indication, so -- They do something called a crack field
9 statistics, which is just where all the indications are in their
10 box, but it is not a profile.

11 MR. FOX: Could that -- in this case it wasn't -- they
12 weren't able to give you a more detailed profile. Could that be
13 an indication that there was a crack field that they couldn't give
14 that kind of profile or possibly, you know, it would -- because
15 there was a crack field, they weren't able to give a more detailed
16 profile?

17 MR. BOTT: I can't say for sure, but I don't think that
18 would be the issue because if they've classified it as a crack-
19 like, then their software will treat it as a crack-like. So I
20 don't think that's the issue here. It probably goes back to the
21 fact that they are manually done.

22 MR. FOX: Okay.

23 MR. BOTT: Because if they've called it a crack-like,
24 then they should be able to generate the same thing as any other
25 crack-like.

1 MR. NICHOLSON: Now, when we talked to the corrosion
2 guys, they had two criteria that called for an immediate dig. It
3 was like a 40 percent through -- or 80 percent through wall and a
4 RPR one or less. What's the crack group's criteria, then?

5 MR. BOTT: So we saturate a signal. So, greater than --
6 it depends on the vendor, but for sake of conversation, for GE
7 greater than 3 millimeters. They say that they can't determine
8 the difference, the change in depth based on the altitude anymore.
9 They get the saturated back. So if it's deeper than 3
10 millimeters, they can't tell us how deep it is. So that's an
11 immediate dig.

12 MR. FOX: What's that correlate to in inches?

13 MR. BOTT: Sorry. 0.12 inches.

14 MR. CHHATRE: (indiscernible)

15 MR. BOTT: Yeah. 0.12 inches. So, about an eight inch
16 close. So it's the -- essentially so they have the bins, now
17 measured in depth. The bins are zero to 0.04 inches, 0.04 to 0.08
18 inches, 0.08 inches to 0.12 inches. And then, so if it's deeper
19 than that, they just say it's greater than 0.12 inches and that's
20 a priority dig for us. And the other one that we do, we may not
21 dig it immediately, but what we do do immediately is if we have a
22 feature where we do our fitness for purpose assessment and it's
23 below MOP, we'll immediately put on a pressure restriction. And
24 depending on where it is, we'll have to report that to the
25 regulator as a safety-related condition, because obviously with a

1 0.8 safety factor, if you have to go below that, then you're
2 already -- you're meeting the safety-related condition, reporting
3 criteria typically. So we -- and typically we'll dig those pretty
4 fast, too. Just we'll get out there and dig them right away as
5 well, but definitely we'll put a pressure restriction on right
6 away.

7 MR. CHHATRE: So (indiscernible) saturation of the
8 (indiscernible) 50-percent wall, --

9 MR. BOTT: Yeah.

10 MR. CHHATRE: -- roughly, for this case?

11 MR. BOTT: Yes, in this case.

12 MR. NICHOLSON: And I'm using the term "immediate." How
13 are your digs classified? I heard you say -- is a phase one also
14 immediate or --

15 MR. BOTT: No. A phase one would be just the first set
16 of -- so, yeah, the term "immediate" or "priority" would be
17 something we sent out right as we were -- we found out about it
18 essentially, and we'd get it done, we'd take action. The term
19 "phase one," what I mean is that, is you pick your slate of
20 whatever digs you think you need to do to complete your validation
21 of the tool, and if -- I mean in some cases it might be everything
22 that you think you need to dig right away, and usually we'll give
23 those between a 180- and 365-day timeline to dig. So get them all
24 --

25 MR. NICHOLSON: You get up to a year to dig?

1 MR. BOTT: Yeah. So if any features require pressure
2 restrictions, they -- say the safety factor was 1.24 even. We
3 would put a pressure restriction on to restore the 1.25 safety
4 factor right away, so --

5 MR. JOHNSON: The PHMSA regulations only have timing for
6 defects in high consequence areas, so they're -- you know, if it's
7 not in a high consequence area, there's not a timing on it.
8 Enbridge has put their own 365-day limit on all digs.

9 MR. NICHOLSON: All digs. Okay.

10 MR. JOHNSON: The immediate term is also a PHMSA term
11 from the Integrity Management rule, and that criteria is outlined
12 in our own MP manual, which they'll send out an immediate dig as
13 in per the HC rule.

14 MR. NICHOLSON: Okay, right. So there's a phase one.
15 Then there must be phase two, three or --

16 MR. BOTT: Sometimes there is, sometime -- there
17 typically is, because even if you've dug sort of everything that
18 meets, you know, our fitness for purpose criteria, whatever,
19 generally -- usually over the life of, say, a five-year cycle,
20 something else will change. Maybe your pressure cycling changes.
21 Maybe you get all your digs back and your trending shows it's --
22 you know, you need to adjust something. So, typically we'll have
23 a phase two just to take care of stuff like that, keep an eye on
24 growth rates and stuff like that.

25 MR. NICHOLSON: Do you have time limits on the phase?

1 MR. BOTT: Those are usually between 180 and 365 days
2 from whenever we issue those as well, so --

3 MR. NICHOLSON: Okay.

4 MR. BOTT: The process document says 365, but it depends
5 on how fast you might want data back.

6 MR. CHHATRE: So the clock really starts ticking for
7 phase one is after you guys identify as these are the dates --

8 MR. BOTT: Yes.

9 MR. CHHATRE: -- you want to make.

10 MR. NICHOLSON: What process document was that?

11 MR. BOTT: It's PI-38.

12 MR. JOHNSON: Okay. Just to be clear, the clock starts
13 when the data discovery is made --

14 MR. CHHATRE: Right.

15 MR> JOHNSON: -- per the PHMSA rule, --

16 MR. CHHATRE: Okay.

17 MR. JOHNSON: -- which is 195.452. So the clock starts.
18 So a clock may start from the date of discovery on a 180-day dig.
19 It may take the Integrity Group 30 days to get that out. That
20 doesn't mean they get 30 -- 180 days past --

21 MR. BOTT: Yes.

22 MR. JOHNSON: -- their 30, just so we're clear on that.

23 MR. CHHATRE: You know, the 180 days date --

24 MR. JOHNSON: That's from the date of discovery we
25 talked about yesterday. That dig needs to be done. So, as you

1 know, if it through their analysis it takes them a month, which
2 Steven just talked about to get that done, when that dig goes out,
3 now the execution -- dig execution team has 150 days to complete
4 that. And in their dig packages, which you've seen, they've got
5 the dates, date of discovery, and if it's 180-day dig, here's when
6 it has to be done. So that's in the dig packages, just so we're,
7 you know, clear on that.

8 MR. NICHOLSON: Yes. Thanks.

9 MR. CHHATRE: That does clarify it, --

10 MR. JOHNSON: Okay.

11 MR. CHHATRE: -- because I thought the clock starts
12 after you guys decide, you know, which was to dig. To me, I was
13 considering that like (indiscernible).

14 MR. JOHNSON: No. Well, and I think in a way the rule
15 is, you know, determine that your data is good from the tool
16 vendor, and then gear up your forces. Don't be sitting on that
17 data once you've determined it's good. So, you know, that's, I
18 think, a way that PHMSA has pushed us to expedite that analysis to
19 send out the digs.

20 MR. CHHATRE: So your data (indiscernible) when your
21 QA/QC department says data is good, you proceed (indiscernible).

22 MR. JOHNSON: Yes.

23 MR. CHHATRE: Is that when the data discovery is
24 considered --

25 MR. BOTT: Well, no. Our data discovery is when Sean

1 proves our dig selection.

2 MR. CHHATRE: Well, (indiscernible).

3 MR. JOHNSON: But when the tool -- when the data team
4 says -- and Steven's probably a big part of that. When they say,
5 "Okay, we've looked at this and we went through all of the
6 gyrations," --

7 MR. CHHATRE: (indiscernible)

8 MR. JOHNSON: -- and they go, "Yeah, this is go," data
9 discovery. And that's defined in one of the PI documents, so --

10 MR. CHHATRE: Correct. So --

11 MR. JOHNSON: Which I'm sure you have.

12 MR. CHHATRE: So your 365 days also starts from that --

13 MR. JOHNSON: Correct.

14 MR. CHHATRE: -- data as well?

15 MR. BOTT: Yes.

16 MR. CHHATRE: Okay.

17 MR. NICHOLSON: You said "all the gyrations." You're
18 talking about running the CorLAS models and --

19 MR. JOHNSON: You know, the things they do to verify
20 that, --

21 MR. NICHOLSON: Okay.

22 MR. JOHNSON: -- if the tool's from GE that the data is
23 good.

24 MR. BOTT: Yeah. So for us, that --

25 MR. NICHOLSON: Well, that's not him. That's the

1 program logistics that does the QA, the first step of planning.

2 MR. JOHNSON: And I just -- I don't know what level
3 Steven's involved with that.

4 MR. BOTT: So, yeah. Before we send our digs out and we
5 start our timing, we have to do the assessment of the data because
6 the vendor doesn't give us an RPR. We have to calculate that.
7 And we also have to make sure that whatever we're sending out
8 hasn't been excavated before, so that takes a couple days, so --

9 MR. NICHOLSON: Why would you -- if it's been excavated
10 before and it's showing bad, you want to excavate it again
11 regardless, don't you?

12 MR. BOTT: Well, typically, yeah, unless it's under
13 sleeve. I mean tools aren't perfect and maybe it doesn't report a
14 sleeve somewhere. So we just make sure we go through out dig
15 history records and confirm --

16 MR. JOHNSON: And what we had talked about with Saheed
17 (ph.), if it requires digging because of the corrosion field and
18 the cracking and it's already been done before, blasted and
19 coated, then they've arrested that corrosion, so that they're
20 looking at sleeves and to see if it's been recoated.

21 MR. CHHATRE: Right, but what you are looking at is the
22 data that already was put on the common drive --

23 MR. BOTT: Yes.

24 MR. CHHATRE: -- while you're QA/QC.

25 MR. BOTT: Yes.

1 MR. CHHATRE: So (indiscernible). Data discovery
2 already has been done; right?

3 MR. JOHNSON: Yes.

4 MR. CHHATRE: Yeah, okay. I wanted to make sure. You
5 may want to look at all kinds of things from your perspective, but
6 of regulation, data discovery started; correct?

7 MR. JOHNSON: Correct.

8 MR. BOTT: So within the ACA rules, the only comment it
9 says about cracking currently is that you have 180 days to repair
10 it from the time you confirm it's a crack, and Enbridge doesn't
11 consider crack only data. It confirms cracks.

12 UNIDENTIFIED SPEAKER: Right.

13 MR. BOTT: So we do make every attempt to determine what
14 we need to dig what we think is a threat, and dig it quickly in a
15 reasonable time frame.

16 MR. NICHOLSON: So as you said, date if discovery is
17 when your dig package is approved by Sean?

18 MR. BOTT: Not the dig package. That comes after --

19 MR. NICHOLSON: Oh, okay.

20 MR. BOTT: -- all that stuff. As soon as I've
21 determined, based on our dig selection criteria, what I think we
22 need to dig, Sean just reviews to make sure he thinks I did a good
23 job with the selection, and then, yeah, he puts his name and date,
24 and from that, that's when the time starts. So things -- often
25 dig history does come after that. Making the dig packages, yeah,

1 all the execution, all that stuff happens --

2 MR. NICHOLSON: So are the dates different for a
3 corrosion package versus a crack package --

4 MR. JOHNSON: Yes.

5 MR. NICHOLSON: -- or for a crack ILI versus corrosion
6 ILI?

7 MR. JOHNSON: The process to determine --

8 MR. NICHOLSON: Because for the corrosion ILI, --

9 MR. JOHNSON: -- to say if it's crack-like --

10 MR. NICHOLSON: -- the vendor's going to give your RPR.

11 MR. BOTT: Yes.

12 MR. JOHNSON: Yes.

13 MR. BOTT: And that's the one step we have to take.

14 MR. NICHOLSON: So eventually once that comes back from
15 the vendor --

16 MR. JOHNSON: It's verified, yes.

17 MR. NICHOLSON: -- and it's been verified, then the date
18 starts there, whereas with the crack, you're saying the crack --
19 you're doing the analysis on the crack and so it's not until
20 you've finished doing that analysis and verified that it's correct
21 that the date starts there for the crack.

22 MR. BOTT: That's correct, yeah.

23 MR. JOHNSON: And then the gray area comes in. It's
24 crack-like. So --

25 MR. CHHATRE: (indiscernible) because, from what I

1 understand, you guys take everything, say, "I pronounce this."

2 MR. BOTT: Yes. We treat everything conservatively.

3 MR. JOHNSON: So that -- and, you know, they do. The
4 rule is gray, but Enbridge put procedures in place to take the
5 grayness out to say this is when it's going to be dug.

6 MR. CHHATRE: Okay.

7 MR. NICHOLSON: Mr. Fox, anything else you'd like to see
8 in CorLAS?

9 MR. JOHNSON: And whenever you're ready, Aaron is ready,
10 so I just told him.

11 MR. FOX: No. I think we've covered what I -- my
12 questions.

13 MR. BOTT: Okay. Let's make sure it's -- oh, I already
14 saved it.

15 MR. NICHOLSON: You didn't want to see that as a 0.25
16 wall?

17 MR. FOX: I think we've already shown even without the
18 bias that what the 0.25 wall would trigger.

19 MR. BOTT: I don't think it does on -- based on the
20 profile. Could be wrong, but --

21 MR. NICHOLSON: Oh, yeah, I guess we -- yeah. Or did we
22 -- oh, yeah, the profile. Yeah. So I guess, yeah, let's do that.

23 MR. BOTT: I don't think we did that before.

24 MR. FOX: Oh, because you used one-point -- it did at
25 1.39, but probably not at 1.25, huh?

1 MR. BOTT: Well, we didn't do the profile for --

2 MR. NICHOLSON: We didn't do the profile, --

3 MR. BOTT: Yeah.

4 MR. NICHOLSON: -- 29 percent, and profile with bias.

5 MR. BOTT: So did you want to do the profile with
6 (indiscernible)?

7 MR. NICHOLSON: Yeah, let's do the 29 percent --

8 MR. BOTT: Okay.

9 MR. NICHOLSON: -- of 0.25.

10 MR. BOTT: Well, in this case, because it's a profile,
11 it would be at a 0.083 that they gave us, because it's a profile.

12 MR. NICHOLSON: Oh.

13 MR. BOTT: So it's not a percent. It's the actual --

14 MR. FOX: Well, we should get the bias in that, too.

15 MR. NICHOLSON: Yeah, get the bias.

16 MR. BOTT: Oh, okay.

17 MR. NICHOLSON: Yeah. We already have the -- Well, the
18 profile comes back as a percent, doesn't it, or is it --

19 MR. BOTT: No. They gave us an absolute depth, which is
20 why now we get our reports --

21 MR. NICHOLSON: No, wait. Is that -- yeah, is that
22 true?

23 MR. BOTT: I thought it was.

24 MR. NICHOLSON: It comes back as an absolute depth on a
25 --

1 MR. JOHNSON: As a depth, not a percentage.

2 MR. BOTT: Yeah, I thought it -- I know -- see, it's a
3 little hard, because ever since I started in this group, we've
4 always got stuff in reported as depth bins, and the profiles come
5 with just depths --

6 MR. NICHOLSON: Well, here, I just opened one up. It
7 says, "Max depth percent wall thickness."

8 MR. BOTT: But it gives the wall thickness right there.

9 MR. NICHOLSON: It does.

10 MR. BOTT: So you --

11 MR. NICHOLSON: Okay.

12 MR. BOTT: You'd multiply that wall thickness --

13 MR. NICHOLSON: Right.

14 MR. BOTT: -- by that percent.

15 MR. NICHOLSON: So in essence --

16 MR. BOTT: I guess --

17 MR. NICHOLSON: But you could do that on the --

18 MR. BOTT: Yeah.

19 MR. NICHOLSON: -- report, too?

20 MR. BOTT: You could. Well, I guess this is the most
21 conservative way to do it, is the way we did it. Yeah, I thought
22 it came in absolute --

23 MR. NICHOLSON: And it's 0.285 on a 29 percent.

24 MR. BOTT: So, 680.51. So that's with quarter-inch wall
25 and including the (indiscernible).

1 MR. CHHATRE: They still wouldn't have --

2 MR. NICHOLSON: No. That's --

3 MR. BOTT: That would have, yeah.

4 MR. FOX: It's below hydro, but it's not --

5 MR. BOTT: It's not below MOP, but it is below hydro,
6 and it's below 1.25 as well, I believe, so -- I believe 1.25 in
7 this location is 780.

8 MR. CHHATRE: So would these actually trigger the
9 immediate date?

10 MR. BOTT: Not immediate date, no.

11 MR. JOHNSON: For the phase one date.

12 MR. CHHATRE: Would it actually go to phase one date?

13 MR. BOTT: Yes, it would have.

14 MR. CHHATRE: So that (indiscernible).

15 MR. BOTT: Yes.

16 MR. NICHOLSON: Yeah, okay. It would have triggered a
17 phase one because it was lower than hydro?

18 MR. BOTT: Lower than 125 percent MOP -- of MOP.

19 MR. CHHATRE: What is that hydro number?

20 MR. FOX: 796?

21 MR. BOTT: Yeah, 796. That was right.

22 MR. FOX: And that was with bias?

23 MR. BOTT: With bias and a quarter-inch wall.

24 MR. FOX: So, and did we run this without bias? If we
25 ran that, it would have triggered -- did we run the profile track

1 without bias?

2 MR. BOTT: I don't think so, but we can do that quickly.

3 MR. FOX: With this interval.

4 MR. CHHATRE: I thought we did.

5 MR. FOX: Did we do that?

6 MR. CHHATRE: I thought we did and it wasn't

7 (indiscernible).

8 MR. JOHNSON: I think so.

9 MR. BOTT: Oh, possibly.

10 MR. JOHNSON: Run it again and then you know.

11 MR. BOTT: Yeah.

12 MR. JOHNSON: He's that fast. Let's run it again.

13 MR. BOTT: It won't take very long, yeah.

14 MR. JOHNSON: Because in a week or two when you go, "Oh,
15 we don't have that" --

16 MR. NICHOLSON: I hope we're labeling all these text
17 files.

18 MR. BOTT: I'm writing down what each one is, so, yeah.

19 MR. NICHOLSON: Oh, okay.

20 MR. BOTT: So you said the --

21 MR. JOHNSON: Explain again what you want, Matt.

22 MR. CHHATRE: (indiscernible)

23 MR. BOTT: Yeah, I got that.

24 MR. JOHNSON: The profile, no bias.

25 MR. BOTT: No bias. Okay. This is assuming that they

1 gave this number an absolute, though, so --

2 MR. NICHOLSON: Yeah, exactly.

3 MR. FOX: Which they would have.

4 MR. NICHOLSON: No, it's not. It's --

5 MR. CHHATRE: The percent -- they gave us a percentage.

6 (Indiscernible -- multiple speakers at the same time.)

7 MR. NICHOLSON: That's not what this shows. That's not
8 what these profiles show.

9 MR. BOTT: No, the profiles did show that they were a
10 percent, yes, but it's considerative to do it this way, so --

11 MR. NICHOLSON: And it's got the 285 wall --

12 MR. CHHATRE: Well, I mean, the (indiscernible) number.

13 UNIDENTIFIED SPEAKER: Yeah.

14 MR. BOTT: 747.41.

15 MR. CHHATRE: And where's your hydro? (indiscernible)

16 MR. BOTT: Hydro is --

17 MR. FOX: 796.

18 MR. BOTT: -- 796.

19 MR. NICHOLSON: 796 and 125 and 780, so --

20 MR. BOTT: Yes.

21 MR. CHHATRE: (indiscernible)

22 MR. BOTT: Yes, using the absolute depth. So I guess
23 there's a little bit of uncertainty with -- if they reported in a
24 percent, then the profile would have been 29 percent of .25 or
25 would have been a different value of .25. It's hard to say,

1 but --

2 MR. CHHATRE: Assuming "G" had the right number, then
3 (indiscernible). Well, "G" had .35, so .58, it doesn't make any
4 difference (indiscernible). It's still the same number.

5 MR. BOTT: Yeah.

6 MR. FOX: So Enbridge requested the profile of this
7 feature and it did not trigger a date; --

8 MR. BOTT: Yeah.

9 MR. FOX: -- correct? So was that because it was .285
10 wall?

11 MR. BOTT: It's possible, because we did our assessment
12 based on USCD --

13 MR. NICHOLSON: Yeah, we ran that number and it came
14 back greater than hydro, so that --

15 MR. BOTT: Yes.

16 MR. NICHOLSON: Or, I'm sorry. Yeah, the profile came
17 back higher than hydro, because they used --

18 MR. CHHATRE: Wall thickness (indiscernible).

19 MR. NICHOLSON: Wall thickness (indiscernible).

20 MR. FOX: So have we determined that if we've used 0.25
21 wall, that it would have triggered it, then?

22 MR. CHHATRE: Yeah. That's what he's showing right now.

23 UNIDENTIFIED SPEAKER: That's what we're --

24 MR. NICHOLSON: But the argument is, would he have taken
25 29 percent of .25 or 29 percent of 285 for his depth?

1 MR. BOTT: Yeah, because we used 29 percent of 285.

2 MR. NICHOLSON: We're assuming that you would use this
3 data.

4 UNIDENTIFIED SPEAKER: Well, why don't we run with 29
5 percent of --

6 UNIDENTIFIED SPEAKER: So let's use 29 percent of .25
7 and see if it would have triggered a dig. Right?

8 MR. BOTT: Yeah. So, 29.

9 UNIDENTIFIED SPEAKER: .0725. Okay. So it's 73.

10 MR. BOTT: Yeah.

11 UNIDENTIFIED SPEAKER: Well, it only gives you --

12 MR. CHHATRE: (indiscernible)

13 UNIDENTIFIED SPEAKER: No.

14 UNIDENTIFIED SPEAKER: No. We're hoping that --

15 UNIDENTIFIED SPEAKER: No, we want to --

16 MR. CHHATRE: Well, they wouldn't have any bias, then.

17 UNIDENTIFIED SPEAKER: No.

18 (Indiscernible -- multiple speakers at the same time.)

19 UNIDENTIFIED SPEAKER: Okay.

20 MR. BOTT: 779.

21 MR. NICHOLSON: Oh, it's right on the line. What do you
22 do with that?

23 MR. FOX: Well, it's less than hydro; right?

24 MR. NICHOLSON: Technically less than --

25 MR. BOTT: It's less than hydro.

1 MR. NICHOLSON: It's less than hydro, but it's also
2 right on the line of your 1.25.

3 MR. BOTT: Yeah.

4 MR. NICHOLSON: 780 is 1.25.

5 MR. CHHATRE: (indiscernible) that number
6 (indiscernible).

7 MR. NICHOLSON: Well, that's their criteria.

8 MR. BOTT: Yeah, that's our criteria.

9 MR. NICHOLSON: It's 1.25 times the maximum allowed.
10 Huh. Well --

11 MR. FOX: So, what's the answer? Yes or no?

12 MR. BOTT: Well, it -- because it's so close, like it
13 probably -- like if it -- it depends on -- like the 624 is exactly
14 624. Is it 623-point like -- I can't say for sure, but it's
15 pretty close. It would have been right on the edge of being dug
16 or not, for sure.

17 MR. CHHATRE: What about --

18 MR. NICHOLSON: Phase one?

19 MR. BOTT: Possibly.

20 MR. CHHATRE: If computers were (indiscernible).
21 Anything else, then you have --

22 MR. BOTT: Yeah, but what I mean is --

23 MR. CHHATRE: (indiscernible) is 1 PSI or 0.1 PSI.
24 Computers wouldn't say that. Human beings (indiscernible).

25 MR. FOX: But how far do you carry out the significant

1 figures if it's 99 point --

2 MR. BOTT: Oh, exactly.

3 MR. FOX: -- 999? You know, the two significant
4 figures, then --

5 MR. BOTT: Yeah, that's what I mean. Like I use 624
6 because that number's in my head, but it could be 621 here and
7 does that not trigger like -- I think it's 624.

8 MR. NICHOLSON: Well, it's 624 on this sheet, too.

9 MR. BOTT: Yeah. So it -- yeah, if you're using a
10 computer to filter, it probably would have, because it would have
11 been one point --

12 MR. CHHATRE: (indiscernible)

13 MR. BOTT: -- less than 1.25.

14 MR. FOX: I didn't get it written down for the prior
15 analysis with the 0.083-inch depth and no bias. What was the
16 pressure on that one?

17 MR. BOTT: Oh, sure. I can -- 747.

18 MR. NICHOLSON: Well, I haven't been writing any of this
19 down, so if you send it to us, you're going to -- I have a feeling
20 you're going to code each one for us and tell us --

21 MR. BOTT: Yeah. I will include a Word document that
22 has like a -- this file is just --

23 UNIDENTIFIED SPEAKER: Cheat sheet?

24 MR. CHHATRE: (indiscernible)

25 MR. NICHOLSON: Bias, no bias.

1 MR. BOTT: Yeah, for sure.

2 MR. NICHOLSON: All right.

3 MR. BOTT: I can even re-name the files themselves as
4 well.

5 MR. NICHOLSON: Okay. (indiscernible)

6 MR. CHHATRE: Anything else?

7 MR. NICHOLSON: I don't think we've covered the matrix.

8 MR. FOX: We'll have to get clarification on the -- with
9 the profile and whether it's a -- how they calculate the profile
10 data. Was that in a PI document, what you would do with that 29
11 percent?

12 UNIDENTIFIED SPEAKER: Well, what do you mean, how --
13 (Indiscernible.)

14 MR. NICHOLSON: In 2005, you would have just said 29
15 percent and what did the wall thickness on that profile show.

16 MR. BOTT: Yes; yeah.

17 MR. NICHOLSON: Okay.

18 MR. CHHATRE: Well, I have other questions regarding
19 CorLAS, but I don't go back and forth.

20 MR. NICHOLSON: I think we are finished with CorLAS.
21 Thank you, Steven.

22 MR. FOX: Thanks, Steven.

23 MR. BOTT: You're welcome.

24 MR. NICHOLSON: Shall we go off the record?

25 MR. CHHATRE: No. Now I have some questions on the --

1 MR. NICHOLSON: Oh, okay.

2 MR. JOHNSON: Oh, some more for Steven. I thought we
3 were going to bring up --

4 MR. NICHOLSON: Everyone is still on the record.

5 MR. JOHNSON: -- Aaron.

6 BY MR. CHHATRE:

7 Q. Can you tell me again, you're a senior engineer
8 (indiscernible)?

9 A. I'm not a senior engineer. Just --

10 Q. Okay. Tell me in your own words how you look at the
11 crack group's function in your daily management. How do you look
12 at your group's function?

13 A. So our function is to manage the -- most importantly is
14 to manage the crack threat in the group, and we primarily do that
15 by running crack ILI and assessing features and determining date
16 programs and reassessment intervals and supporting field
17 activities. But we could also do that role if there was no way to
18 run crack ILI or if crack ILI for some reason would not be
19 sufficient on a certain line. If we determine that, we would use
20 hydro test --

21 Q. Okay.

22 A. -- possibly, or in some cases direct assessment.

23 Q. And have you done that in the past, hydro test or direct
24 assessment?

25 A. Since we started running crack ILI frequently, we've

1 rarely hydro tested unless we were trying to raise our MOP or
2 reverse a line or change the product or something of that nature.

3 Q. So I guess the short answer is no?

4 A. Yeah. To -- yeah. We haven't hydro tested to validate
5 ILI specifically.

6 Q. Okay. And I'm going back to this (indiscernible) the
7 profile. Was there any discussion in the crack group about, okay,
8 so the (indiscernible). Well, let's do hydro?

9 A. At the time, no, because our reassessment interval was
10 good till 2010. So even though we wanted to run the crack tool in
11 2009 to get another look at the line, based on the ILI data and
12 the assessment we had done.

13 Q. So how many months you had between the true start and
14 your drop-dead deadline for the assessment? You gave me years,
15 but I do not know because (indiscernible). December-January
16 scenario or a --

17 A. Well, we would start from when the -- typically from
18 when the tool is run the first time, which was, I believe, in the
19 Q-4 2005.

20 Q. (indiscernible)

21 A. Q-4 of 2005.

22 Q. Oh, fourth quarter. Okay.

23 A. So, a ten-year life would give you a Q-4 of 2010.

24 Q. Fourth quarter of two thousand --

25 A. Because we use a safety factor of two on our lives.

1 Q. So almost November, December of --

2 A. Yeah.

3 Q. -- 2010. And the tool will start when?

4 A. The tool was in the line at the time of the incident, so
5 we launched it in --

6 MR. JOHNSON: July.

7 MR. BOTT: -- July.

8 BY MR. CHHATRE:

9 Q. July 2010?

10 A. Yeah.

11 MR. JOHNSON: Yeah. It was scheduled for December of
12 2009, but was damaged.

13 MR. CHHATRE: I'm sorry. I didn't hear that.

14 MR. JOHNSON: It was scheduled for December of 2009 when
15 it was damaged.

16 MR. NICHOLSON: And maybe Steven can confirm that.

17 Is that correct?

18 MR. BOTT: Yes, I believe it was scheduled for late
19 2009.

20 MR. JOHNSON: And that's one of your IRs, is that
21 schedule.

22 MR. BOTT: Yeah.

23 BY MR. CHHATRE:

24 Q. Okay. So how much time did you have, December 2009 to
25 the drop-dead deadline to get this thing to run time-wise?

1 A. Well, it would be, I guess -- from when we actually ran
2 it or from December?

3 Q. No, no. I mean you had a drop-dead deadline to finish
4 your reassessment.

5 A. Yes.

6 Q. And that was fourth quarter 2010.

7 A. Yes.

8 Q. And before that, the tool was stuck in the line and had
9 to be sent back and all that, so now when did that happen? When
10 was the tool stuck in the line?

11 A. In July.

12 Q. Of 2010?

13 A. 2010.

14 Q. Okay. That's what I thought. Okay.

15 A. Yes.

16 Q. Now, did the vendor tell you at that time how long it
17 was going to take them to fix it?

18 MR. JOHNSON: No.

19 MR. BOTT: Well, sorry --

20 MR. CHHATRE: They've answered that. If he doesn't
21 know, I can understand that.

22 MR. JOHNSON: No. Stuck in the line or damaged in the
23 line? We've got our terminologies.

24 MR. BOTT: Yeah. It's two different events.

25 BY MR. CHHATRE:

1 Q. Then explain those to me.

2 A. Okay. So in late 2009 --

3 Q. Okay.

4 A. -- the tool was damaged.

5 Q. In 2009 the tool was damaged.

6 A. Yes.

7 Q. Okay.

8 A. And I wasn't involved on Line 6B at the time.

9 Q. Right. You were not there.

10 A. So all's I know is I became involved in May and the tool

11 --

12 Q. Of?

13 A. 2010.

14 Q. Okay.

15 A. And at that time the tool was scheduled to be run in
16 June or July of 2010.

17 Q. Okay.

18 A. And so then it was run in two thousand -- July of 2010,
19 and that's when the incident happened, which is when it got stuck
20 in the line --

21 Q. Okay.

22 A. -- while the line was down, so that would have been six
23 months prior.

24 Q. And did you have any idea at the time it was stuck that
25 the tool was functioning, just not damaged, damaged, how long is

1 it going to take you to get that thing out and complete your run?

2 A. Well, we couldn't get it out until we restarted the
3 line, so we restarted the line, I believe, late September. So
4 that's when we got the tool out. But at that time we had taken
5 restrictions, pressure restrictions, relate --

6 Q. I'm sorry. (indiscernible) Okay. So --

7 A. Okay.

8 Q. July 2010, the tool's stuck --

9 A. Yes.

10 Q. -- in the line. And that was 6B?

11 A. Yes.

12 Q. Okay. Then what --

13 MR. JOHNSON: Stuck because of the Marshall incident.

14 MR. BOTT: Yes.

15 BY MR. CHHATRE:

16 Q. Oh, stuck because of the Marshall incident.

17 A. Because the line was down.

18 Q. Okay.

19 A. Yes.

20 Q. Okay.

21 A. So it was stuck there until we started the line back up
22 in late September, I believe.

23 MR. JOHNSON: Correct.

24 BY MR. CHHATRE:

25 Q. Okay. Let me back up. Why the run was not complete at

1 that time. I understand the Marshall incident would have put a
2 stop on it.

3 MR. JOHNSON: Battery life.

4 MR. BOTT: Yeah, battery. Yeah, we couldn't use that
5 data because the tool died in the line and it sat in there for
6 months.

7 MR. CHHATRE: Okay.

8 MR. BOTT: So the data that came out the other end
9 wasn't usable.

10 BY MR. CHHATRE:

11 Q. And then in 2009, late 2009, was there any discussion,
12 "The tool is stuck. We do not know when we'll get it back. Can
13 you get the tool back?," or --

14 A. So all the activities related to when the tool was down
15 in 2009, you'll have to either talk to Sean or Vaughn (ph.),
16 because that was before --

17 Q. Okay. Before your time.

18 A. Yeah.

19 Q. Well, you didn't see any documentation when you joined
20 the group when you were involved?

21 A. Well, I didn't see any -- I didn't actually look at any
22 documentation about discussion that happened at the time the tool
23 was damaged. I just know that when I joined the group it was
24 scheduled again, yeah.

25 Q. Okay. Now, other question since you were in the

1 corrosion group also, so maybe you can answer some
2 (indiscernible).

3 A. I can try.

4 Q. What documentation do you guys have with the corrosion
5 group in terms of the schedule digs, the dig locations, dig
6 packages, all in terms of -- when you were talking about cracks,
7 it could be stress (indiscernible), so what kind of interaction do
8 you guys have for any run, before run?

9 A. We don't have a lot of direct interaction with them for
10 scheduling runs or doing digs, although when we select digs, the
11 -- so, for instance, if we selected digs for a crack run -- from a
12 crack run, before we send those digs out, the corrosion guys will
13 review the location to see if there's anything nearby that they
14 would have interest excavating while we're at that site. So we do
15 do that. And we also do threat integration, so we integrate the
16 tool data together.

17 Q. And do they do the same for you guys when they decide to
18 dig a location?

19 A. Yeah. When they decide they're going to dig a location,
20 we'll look to see if there's any features nearby.

21 Q. That's kind of a gentleman's agreement or is there a
22 protocol that requires you to do that?

23 A. There's a process document for it, yes.

24 Q. So you have to do it. It's not a choice.

25 A. Yeah. It's not a choice, although it's a -- it's not a

1 choice to look, but depending on what's there, it is a choice
2 whether you actually extend a dig site to --

3 Q. Okay.

4 A. Yeah.

5 Q. And do you have any input in tool selection as an
6 engineer?

7 A. I do have some input, although it's difficult with crack
8 tools. Until recently, essentially there was only one tool that
9 you could run. But, yeah, I have some input if we would like to
10 run one tool, because now they have the phase-to-ray tool.

11 Q. So if the tool's not available for whatever reason,
12 scheduling, tool breakdown, cost, how would you go about doing the
13 crack assessment of the pipeline?

14 A. So if the tool is -- in the event I assume that it would
15 be delayed. That's what you're asking; correct?

16 Q. No. I'm saying (indiscernible). As an example, if you
17 had to finish a crack on the run -- a crack assessment in the
18 fourth quarter of 2010 and "G" comes back and says, "Gee whiz, our
19 tool is somewhere in Japan and it's not going to be available for
20 another year," what do you do then?

21 A. So, first of all we'd check with other vendors. There
22 are other vendors that have crack tools that we have run before.

23 Q. And which other? Do you know? Do you have any name?

24 A. Well, NDT, I think, is the only one.

25 Q. The only other choice?

1 A. Yeah. And so we try there. If they also couldn't help
2 us out, probably the next step would be -- I mean it depends on
3 how long until the next -- you could get the tool. All right. If
4 it was a few months, what you could do is redo your fatigue
5 analysis to determine what kind of pressure restriction you might
6 have to take to get you the extra couple months. So that would be
7 one option, would be to take a temporary pressure restriction to
8 assure the safety of the line. If it was a long-term issue, --

9 Q. Um-hmm.

10 A. -- yeah, hydro testing is an option if there was just no
11 way -- for some reason if the tools were all on the same boat and
12 the boat sank in the middle of the ocean, --

13 Q. Yeah.

14 A. -- yeah, something like that, we could definitely --

15 Q. I guess you also have to prepare for the worst
16 condition. You don't have to prepare for the best condition.

17 A. Yes. So we do have a process and we -- a guideline
18 document that talks about hydro testing, and so we could --

19 Q. So in your procedure, hydro is an option?

20 A. It is an option.

21 Q. Okay. Have you ever had to do that?

22 A. No, no.

23 Q. And you also say, though, the life of over the years
24 almost all -- I'm trying to locate the exact words for you, but
25 those have to be inspected with different digs. Too bad we can't

1 go back to the tape (indiscernible). You made a comment about
2 almost all the locations have been inspected over a period of time
3 through various dates on various lines.

4 MR. PIERZINA: I think you were talking about the sleeve
5 inspection program?

6 BY MR. CHHATRE:

7 Q. Sleeve inspections, yes.

8 A. Oh, yeah. So, yeah, for a sleeve inspection,
9 historically since the 1980s we've had a lot of targeted sleeve
10 inspection programs where -- I mean some -- one case -- in the
11 '80s we looked at fillet welds extensively. In the '90s we
12 looked, I think, at seam welds a lot. So, different threats, and
13 --

14 Q. But I guess the comment was to opportunistic digs.

15 A. Yeah. So anytime -- quite often if you're going to do a
16 dig, typically -- especially if it's corrosion, it's likely that
17 you are somewhere close by five or ten years ago. Or maybe longer
18 ago; right? So if it's a reasonable distance to extend that dig
19 to expose that sleeve, then we'll do so.

20 Q. Okay.

21 A. So that's what I mean by "opportunistic." You're not
22 targeting that sleeve, but you're there, so let's look at it.

23 Q. Okay. So (indiscernible).

24 A. Yeah.

25 Q. So you could extend a corrosion date to look at the

1 sleeves --

2 A. Yep.

3 Q. -- if you want to?

4 A. Yep.

5 Q. And what kind of information do you have for those
6 sleeve inspections? Did you have any problem with the sleeves or
7 anything unusual during the inspections that you guys see on the
8 sleeves?

9 A. I mean I can't make a comment about a specific site or
10 anything. Typically when we do sleeve inspections we don't find
11 anything wrong. You can find things, cracking in the welds
12 sometimes, or --

13 Q. You mean the cracking in the (indiscernible) welds that
14 you weld the sleeve to the pipe or --

15 A. Sometimes, or sometimes in the longitude of the weld.

16 Q. Okay.

17 A. Sometimes there's like arc strikes from the welding, --

18 Q. Okay.

19 A. -- which they buff out. Very rarely do we find issues
20 with the sleeves, though. Because we've had a lot of targeted
21 programs in the past that -- and we have developed our welding
22 procedures quite extensively to put sleeves on, we don't find a
23 lot of issues.

24 Q. Have you found any weeping or leaking sleeves?

25 A. Not this year that I know of. Not last year, I don't

1 think, either. Before that I would have to specifically take it
2 off line and look.

3 Q. I understand. No, you can only speak to your tenure.

4 A. Yeah.

5 MR. JOHNSON: There has been, and Brian can attest to
6 that --

7 MR. PIERZINA: Yes.

8 MR. JOHNSON: -- when he was in MNOPS. We've had issues
9 with certain vintage of sleeves with -- like it would be a fill
10 weld cracking. So we did programs, because when you found one or
11 two that were leaking, then we investigated all of that vintage.
12 So over time, like he talks about in the '80s and the '90s and the
13 2000s, we have done that. And then his opportunistic digs now
14 just continue doing that, so --

15 MR. CHHATRE: So those sleeves are either replaced or
16 repaired again or the ones --

17 MR. JOHNSON: In some cases they were repaired. In some
18 cases there was an over-sleeve put on them.

19 BY MR. CHHATRE:

20 Q. Where I was going is, do you see any issues, crack
21 issues with your sleeve, if the problem extended beyond the
22 sleeves?

23 A. No. We've never seen that.

24 MR. PIERZINA: From the repaired defect?

25 MR. BOTT: Yeah. No, no. Once you've put a sleeve on

1 and you've taken the environmental component away and it's just
2 fatigue growth, cracks just tend to grow through all. They won't
3 extend in length.

4 BY MR. CHHATRE:

5 Q. It's in weld.

6 A. Yeah. And then once they've gone through all the
7 sleeves, a pressure contain sleeve, and then there's no longer
8 driving --

9 Q. Okay.

10 A. -- for the growth driver.

11 Q. Now, you said that CorLAS was used with DOS until 2008?

12 A. Actually until late last year.

13 Q. Okay. Almost until this year.

14 A. Yeah. So late 2010 was when we got out Excel version.

15 Q. Now, what kind of -- with crack mitigation, what kind of
16 cracks you are looking at. Are you looking at --

17 A. Any axially oriented features --

18 Q. Okay.

19 A. -- is what the crack tool's able to detect. So any kind
20 of manufacturing flaws in the long seam, if it's got cracking from
21 those it could see. So, fatigue cracking, stress corrosion
22 cracking, any kind of axially-aligned --

23 Q. What about circumferential cracks? Do they do that or
24 (indiscernible)?

25 A. So those are a lot harder to detect, and the MFL -- so

1 we've worked with GE and we have used that to detect girth weld
2 cracking, but we don't see a lot of -- other than maybe girth weld
3 cracking under specific circumstances, we don't see typically a
4 whole lot of circumferential cracking.

5 Q. And what is the repair technique for that -- mitigation
6 technique for that when you see a crack in there? What happens
7 next?

8 A. Yeah. It would be sort of the same as an axial crack.
9 You would remove it by grinding if it was shallow, repair it with
10 a pressure-containing sleeve if you couldn't remove it by
11 grinding.

12 Q. I believe axial cracks is -- it looks like sleeving is
13 mitigation (indiscernible) technique --

14 A. Yeah.

15 Q. How do you really know what's the cause of a crack?
16 Fatigue, corrosion fatigue, (indiscernible) seam? Do you know or
17 doesn't it really matter from a mitigation viewpoint?

18 A. From a mitigation viewpoint at that site, it's not
19 really important to the repair method. Now, if it's SCC -- and
20 there's a big field of SCC cracks. We can tell that from the
21 picture. If it's in the weld, it's -- sometimes it's harder to
22 tell, although usually you can tell if it was like a lack of
23 fusion or something. But, yeah, as far as mitigating on the whole
24 line, we do try to determine what kind of feature it is based on
25 the field NDE. It may not make a difference to our mitigation

1 strategy, but it -- we do like to know which threats we're
2 managing on each line, because then that way we know, when we get
3 a new crack inspection in, well, is it seeing the kinds of
4 features that we thought it should be seeing in this line, right,
5 because it's an indication of quality.

6 Q. But cutting that portion, doing a regular analysis is
7 not going to be done?

8 A. Not typically. Sometimes if we have outliers, we will,
9 like on Line 6-A or Line 1. This year we did a coupon cutout, so
10 we'll do specific -- if we have a reason to do it, we'll
11 definitely -- if it'll help us expand our knowledge, we'll
12 definitely do it.

13 Q. And so what's the -- you said Randy (ph.) is cutting
14 that portion where you have cracking. (indiscernible) anyway;
15 right?

16 A. Yeah.

17 Q. So either -- you said Randy is cutting that portion and
18 sleeving it for analysis. Is that really a logistical item or --

19 A. It's mostly --

20 Q. -- a safety reason? If you do that, are you
21 compromising the safety of the line?

22 A. It's partially safety. I mean anytime you're dealing
23 with opening up the pipeline, exposing the inside of the pipeline,
24 it can become an issue. It's logistical, too. Every time you cut
25 a piece of pipeline out, there's -- you have to shut the pipeline

1 down, you have to drain up in that specific location, service
2 interruptions. It's a lot more expensive. So we do it if we have
3 to, for sure. If we feel that we're going to get something, it's
4 going to be --

5 Q. Using the -- anytime you open a pipe, there's safety
6 issue, but the pipes, how do you open the sleeving?

7 A. I mean like if you actually -- like so the pipe's, yeah,
8 open. But if you -- if you're actually cutting a chunk of pipe
9 out, so you're --

10 Q. But by that time you have improved -- to cut the piece,
11 you have to shut the pipeline. I'm interested as to what the
12 safety issue would be.

13 A. Well, I guess it's not a direct safety issue, but I mean
14 anytime you're doing a cutout, I mean you have to stop the oil and
15 drain up all that stuff, is definitely more risk involved than not
16 doing that.

17 MR. JOHNSON: With oil it's a sizable thing to stopple a
18 pipe and cut a chunk of pipe out of an operating pipeline.

19 BY MR. CHHATRE:

20 Q. Well, here's the only thing I can understand, and I can
21 really see that you have to dig the pipe, stop the flow. That I
22 understand. But you already have a defect in the pipe. That's a
23 safety concern anyway. You already put a sleeve. So cutting a
24 small portion from it and then sleeving it, I (indiscernible) a
25 safety issue out of it.

1 MR. JOHNSON: We're on different pages. You don't just
2 cut a chunk out. You have to cut --

3 MR. BOTT: You have to cut out length of pipe.

4 MR. JOHNSON: A cut out pipe --

5 MR. CHHATRE: Section.

6 MR. JOHNSON: -- section.

7 MR. CHHATRE: Okay.

8 MR. BOTT: So, typically in order to do that, you have
9 to put stopples on either side, --

10 MR. CHHATRE: Okay.

11 MR. BOTT: -- which is more fittings than if you just
12 put a sleeve in the first place.

13 BY MR. CHHATRE:

14 Q. So that's a safety issue (indiscernible)?

15 A. Yeah, and a long-term issue. I mean the more fitting --
16 you obviously want less fittings on your pipeline, so --

17 MR. CHHATRE: I guess that's pretty much what I have. I
18 appreciate all this (indiscernible).

19 MR. PIERZINA: I've got a couple of quick questions,
20 Steve.

21 MR. BOTT: Sure.

22 MR. PIERZINA: This is Brian.

23 BY MR. PIERZINA:

24 Q. Back to the sleeve inspection program. Is that a
25 written portion of your integrated management system?

1 A. Yep, yep. It is.

2 Q. Okay. Do you happen to recall, is it -- where that is
3 located? I don't recall seeing it in the --

4 A. I don't know if we've given that to you guys as part of
5 this, this investigation. We have given it to PHMSA before,
6 earlier this year, but --

7 Q. So, yeah. So I guess along with that I -- if somebody
8 can tell us where in the IMS that program is. I assume it's
9 all --

10 A. I think right now it's -- yeah, it's sitting under the
11 crack management plan right now.

12 MR. JOHNSON: It's on a different index than that,
13 Brian.

14 MR. PIERZINA: Oh.

15 MR. JOHNSON: It's on this particular one, --

16 MR. CHHATRE: Is that a PI?

17 MR. JOHNSON: -- which I gave you also.

18 MR. BOTT: No. It's just called the --

19 MR. FOX: Number 12 crack program.

20 MR. BOTT: -- Sleeve Inspection Program.

21 MR. JOHNSON: Number 12 under Crack Threat Management.

22 MR. PIERZINA: And what were you looking at there?

23 MR. JOHNSON: That would be the Index of Documents and
24 Procedures, Pipeline Integrity, 2011.

25 BY MR. PIERZINA:

1 Q. And so the results of those inspections are -- how are
2 they provided?

3 A. Well, typically for opportunistic digs, --

4 Q. Yes.

5 A. -- they'll just -- the results will come in the NDE
6 report. So within the NDE report they'll say, "We exposed a
7 sleeve. We inspected the welds. Nothing was found," or,
8 "Something was found," if something was. Although if they ever
9 find anything, usually they'll call.

10 Q. I see. Okay. So then as far as tracking -- so that NDE
11 report is tracked by girth weld?

12 A. Yeah.

13 Q. I'm just trying to visualize how it's tied back to a
14 prior repair, how you can know, you know, whether or not you
15 inspected this sleeve -- you know, this prior sleeve repair.

16 A. Yeah. So we're still trying to develop a database on
17 that, so I mean we have collected a lot of historical information
18 that we have together and we're tracking all the new information
19 coming in, but we don't have, say, like a spreadsheet that we've
20 said, yes, we inspected this joint in this year, this sleeve in
21 this year. We just have a list of the sleeves and then typically
22 what I've done is for targeted inspections is I've looked through
23 what I -- I pick what I wanted to look at first and then went back
24 and looked up if we've inspected it or not, so --

25 Q. Okay. And the targeted ones are -- how are you

1 targeting sleeves?

2 A. A couple different ways. So we try to do at least one,
3 like PLIDCO, every year.

4 Q. PLIDCO?

5 A. It's a bolt-on sleeve --

6 Q. Okay.

7 A. -- that we've repaired something with and then welded it
8 on. So we try to do those. And if any other specific threats
9 have been identified, then we'll go after something --

10 Q. So more directly, I guess, being as I've had a little
11 bit of experience in that, I've felt that somehow you should
12 target ones that may be more likely to be containing oil than --

13 A. Yes. That's a consideration as well.

14 Q. Okay. So, and what would -- which ones would be more
15 likely to contain oil, I guess, outside of the PLIDCO repair
16 sleeves?

17 A. So our ultrasonic tools can detect features under the
18 sleeves. So for a crack tool, if we get like a saturated signal
19 back and it's under the sleeve, that one's more likely to be --
20 you don't know for sure, --

21 Q. Sure.

22 A. -- but it's more likely. If you have a corrosion and it
23 says it's through wall or close, --

24 Q. Okay.

25 A. -- obviously that's more than likely.

1 Q. All right. So that's how you target?

2 A. Yeah.

3 MR. PIERZINA: Okay. Thanks.

4 MR. NICHOLSON: Is that all?

5 MR. PIERZINA: That's all for me, yeah.

6 UNIDENTIFIED SPEAKER: I have nothing further.

7 MR. NICHOLSON: Do we want to go through EI 39? Are
8 there any questions on outliers, unity plots? Brian?

9 MR. JOHNSON: Or we have Aaron on deck, too, to --

10 **MR. NICHOLSON: Do we want to go into plot -- let's go**
11 **off the record. Why don't we stop at this point.**

12 **(Off the record.)**

13 **(On the record.)**

14 MR. NICHOLSON: Okay. Steven Bott, part three.

15 Steven, you were going to show us the outlier PI, PI-40.

16 MR. BOTT: Yep.

17 MR. NICHOLSON: You want to walk us through that,
18 please?

19 MR. BOTT: Sure. So PI-40's our crack outlier analysis
20 document. So the scope is all instances where the ILI or the NDE
21 crack measurements or fitness for purpose assessments fall out of
22 normal expected ranges. So essentially we're looking for things
23 that we don't count for in our initial assessment of the data or
24 that we wouldn't have accounted for, so -- and we don't just look
25 in crack digs for outliers. We review all digs to see

1 -- to look for -- it's the same -- I guess the same principle as
2 the opportunistic digs for sleeve inspection. We also look at
3 opportunistic digs for crack -- field crack data as well.

4 MR. CHHATRE: Now, when you say "we," meaning you go
5 from your group, crack group, or the consultants?

6 MR. BOTT: So it depends. Typically we're responsible
7 for doing it, but depending on work load, we may have consultants
8 help us with work, and sometimes some of the work they do is
9 trending, yeah.

10 MR. CHHATRE: So most of the work is done by your group?
11 I mean it's kind of unclear to me as to how much consultants do,
12 how much you guys do.

13 MR. BOTT: It really depends on the work load at the
14 time. If we can handle it in house, we do, and if we need some
15 support at that moment, then we'll get consultants.

16 MR. CHHATRE: So what is your experience, kind of an
17 average basis? Would it be like 50-50? 75-20?

18 MR. BOTT: I think we do more of the work internally,
19 although in some cases, like on Line 6B, for instance, in the new
20 programs, the consultants are doing -- I mean I'm looking at the
21 trending, I'm helping with the trending, but they're doing the
22 majority of the work just because we're doing so many digs on that
23 line. That's more effective for them to have someone doing that.
24 Essentially that's what they do, right, so --

25 MR. CHHATRE: Is there one consultant doing this or do

1 you have a group of consultants that any one of those can be
2 doing?

3 MR. BOTT: I think at the company that we're using right
4 now, there's one or two people specifically that are doing it or
5 at least leading that effort, yeah.

6 MR. FOX: This is Matt Fox.

7 Do you -- this is comparing for this outlier analysis,
8 comparing the ILI to the field NDE; correct?

9 MR. BOTT: Yes.

10 MR. FOX: Do you look at trending from multiple ILI runs
11 to look for outliers as well?

12 MR. BOTT: We do that a bit. It's difficult to do with
13 the crack tool, or at least more difficult to do than the
14 corrosion tool. One of the thing -- one of the challenges is
15 often when you go to the field and you dig, an indication from the
16 crack tool, it ends up not being a crack. So you want to be
17 careful when you're comparing ILI to ILI that you -- one or the
18 other or both, you know, may not be reporting the classification
19 correctly. You might find corrosion a lot of the times. Like,
20 for instance, crack fields. A lot of the things we'll just find
21 corrosion when we get to the field. So you have to be careful
22 about that. So we don't -- we do compare them, but it's difficult
23 to pull out what you might call an outlier by comparing them,
24 because -- and obviously the technology is improving, their
25 algorithms are continuously improving, so it's difficult. You

1 know, if you had a feature reported before that was, you know,
2 maybe almost met what something you might dig and then on a new
3 run that just disappears, definitely you probably want to look
4 into it, for sure. But again, that can happen because before they
5 were conservative in their reporting, so -- So we do do a high
6 level look, and in some cases we can drill into it more, but it
7 can be difficult to pull that kind of information out, so --

8 MR. CHHATRE: One more question. This is Ravi. The
9 consultants, do they send you the raw data and you draw the
10 conclusions, or do you just view the complete package with their
11 findings and conclusions?

12 MR. BOTT: No. We give them all the NDE data and then
13 they give us the trending. So when we do our trending, we have a
14 big spreadsheet they put all kinds of data in, and they give us --
15 that's what the plots are generated from, and so they give us all
16 the data that they've pulled out of the NDE reports back.

17 MR. CHHATRE: But they don't draw conclusions for you?

18 MR. BOTT: No. Or if they do make any conclusions, they
19 say, "Do you guys see this as well?," that kind of stuff. Oh,
20 yeah.

21 So there's different kinds of outliers.

22 The false negative. So that's something that the tool
23 did not report, but it met its detection thresholds that the field
24 NDE reported as a crack feature.

25 False positive is sort of the opposite, so that's when

1 the tool reports something there and then the field doesn't find
2 anything or finds something like corrosion that we wouldn't
3 classify as a crack defect.

4 Under-call. So anytime the inline inspection tool
5 reports a depth less than that of the field. And overcall is the
6 opposite: when the tool has caught something more severe.

7 MR. PIERZINA: What type of extent does it need to be
8 over or under to meet the threshold?

9 MR. BOTT: So, yeah, we discuss that right below, but --

10 MR. PIERZINA: Okay.

11 MR. BOTT: -- for depth it's -- we use 15 percent. And
12 fitness for purpose, this is one thing we've recently updated.
13 Prior it said -- it was kind of based on, you know, our dig
14 criteria. So if it was -- if we would have dug it, anything we
15 would have dug, what we found not because of the tool. So that's
16 still kind of part of this, but we've also added anything that's
17 on the non-conservative side by 5 percent of MOPs. Essentially
18 what that equation looking thing says.

19 MR. PIERZINA: Okay. I'm sorry. I didn't realize it
20 was coming up.

21 MR. BOTT: That's no problem. Yeah. So outlier
22 identification date. So, just kind of what --

23 MR. CHHATRE: I'm sorry. This is Ravi.

24 BY MR. CHHATRE:

25 Q. Why 15 percent? (indiscernible) What kind of data

1 (indiscernible) promises you?

2 A. So the 15 percent does have a little bit of historical
3 significance. So where the 15 percent came from originally was
4 essentially the vendor's tool tolerance worked out to, you know,
5 about 7 to 8 percent on a typical wall thickness. And so while we
6 will look at features between -- you know, that are more than one
7 tool tolerance away, the 15 percent is more if the guys are in the
8 ditch and they say that something's more than 15 percent than what
9 we thought it was, we want to check to make sure we're not
10 impinging on our safety factor that we've given them on their safe
11 excavation pressure. So we use a 1.5 safety factor for our safe
12 excavation pressure, but I mean if they find something that's 15
13 percent or more above what the ILI said, we want to get them to
14 call us so that we can ensure that we have the right pressure
15 restriction.

16 Q. And what if the vendor promises you an accuracy that --
17 for any crack?

18 A. It's plus or minus 0.5 millimeters, or 0.02 inches on
19 the bin depth range, so --

20 Q. And what about length-wise?

21 A. Length, I think, is 10 percent, but we find that length
22 is typically -- it usually matches up quite well for crack-like
23 features, and for crack field features, the tool in the field,
24 it's a lot harder to trend that because sometimes the guys in the
25 field will, you know, draw a big circle around everything they see

1 and call it one thing, and the tool will call it a couple or
2 three. So it's a little harder. They give a specification that's
3 plus or minus 10 percent, I think, of the length, but --

4 Q. So in terms of percentages, the tool, say like 10
5 percent plus/minus, you gave me -- in one case you gave me 15
6 percent in percentage. Other case, (indiscernible). What are the
7 two (indiscernible) in percentages?

8 A. It depends on the wall thickness. They give an absolute
9 depth for their error for depth.

10 Q. Okay. I guess I'm trying to figure out is where your 15
11 percent really overlaps on the other modules, so --

12 A. So the error of margin they report as probably on a
13 standard wall thickness, typical wall thickness, is probably 7 to
14 10 percent is what they would quote.

15 Q. And so you guys give an additional 5 percent?

16 A. Yeah.

17 Q. And if that doesn't work out, then you (indiscernible).

18 A. Yeah. Now, just because -- if it's less than 15
19 percent, we still might look at it, but this is the stuff that --
20 like in our NDE scope of work, they have to call us if they find
21 something. This isn't stuff that definitely we're going to take a
22 look at.

23 So, for responsibilities, project manager. So this
24 hasn't quite been updated to our new structure yet, so it's still
25 in the Materials Technology Group and stuff like that, but -- So

1 essentially the PM is the one that coordinates. They send the dig
2 package and they're the ones that gets the call from the NDE
3 vendor. The guy in the field --

4 Q. Document update. We really are interested in the
5 documents that were effective at the time of the accident.

6 A. Yeah.

7 Q. Not as much as we are --

8 A. I know, yeah. So, yeah. So this -- they're responsible
9 for -- so being the point of contact in the office essentially for
10 the field personnel. So the NDE guy will call them and we'll work
11 with the PM just so there's not a bunch of different points of
12 contact, and they also get the field reports in.

13 So someone in my role would be responsible for
14 generating unity plots; identifying the outliers; completing
15 outlier analysis; reporting progress on the outlier analysis, if
16 there is any; working with the ILI vendor, stuff like that. So
17 our role is to step through the outlier analysis for each feature.

18 Q. So what happens if your contractor or you guys yourself
19 -- I thought all NDE work was contracted.

20 A. It is, yes.

21 Q. Okay. So industry NDE people coming in and telling you
22 guys, whether you are present there or at the office, --

23 A. Yes.

24 Q. -- that we have three outliers.

25 A. Yes.

1 Q. Now, how do you resolve that with the ILI doing that?
2 Looks like from the description I'm seeing, you put
3 (indiscernible) or absolute accurate measurements?

4 A. Well, at first we do. It doesn't mean that they stay
5 that way, but at first when -- we obviously -- it could be field
6 related. It could be tool related. It could be we waited three
7 years to do a dig, so maybe it grew. It could be a lot of things,
8 so all's we know at the start is that there's a difference --

9 Q. Okay.

10 A. -- and that we have to either resolve that --

11 Q. Okay.

12 A. -- or take action because of it.

13 Q. And so what are the next steps for that, then?

14 A. So the next step after we get the data is essentially we
15 -- just scroll down a little bit further. It kind of says stuff.
16 But we gather pictures and field data together. We gather input
17 from the ILI vendor from unit. Sometimes the outlier is as simple
18 as, oh, in the uniplot we mismatched it.

19 Q. I'm sorry?

20 A. We matched it to the wrong ILI feature. We matched --

21 Q. Okay.

22 A. I mean sometimes that's all it is. So you just review
23 the training and you collect all of the data that you can get from
24 NDE guys and from the ILI side. Often with -- another thing that
25 happens quite often with like SCC and crack field features is

1 because we use the total length to do our assessment, at least the
2 initial assessment from the field, the field guys will take a
3 bunch of fairly shallow minor cracking with a little tiny bit of
4 more severe stuff that the tool reported in the middle, and
5 they'll just call it al one big feature. And so our initial
6 fitness for purpose assessment from the field is really
7 conservative, so that'll trigger an outlier. But then once you go
8 and look at the data and you kind of grab a profile of what was
9 actually there and assess that, that field data that way lines up
10 better. So the next step really is to kind of gather all the data
11 together so you can see it all in one spot.

12 So then once you've moved past the point where you've
13 screen out, oh, it still looks like an outlier, we've gathered
14 some data, we haven't ruled out any obvious things, that's where
15 it comes to working a bit more with the ILI vendor to see if we
16 can determine a reason or take any additional action. So you have
17 to update your fatigue analysis because of this outlier. Do you
18 have to update your fitness for purpose assessment? Do you have
19 to take any -- do you have to dig -- is that kind of feature, does
20 it seem like it's related to the feature type? Do we have to dig
21 more of those feature types?

22 So really the way the process is, you make kind of --
23 you learn about the outlier and then you gather all the data and
24 confirm that it's likely an outlier, not just some sort of process
25 difference, and then you work with the vendor to -- and with your

1 own systems to take actions, whether that be correcting ILI calls,
2 whether you take pressure restrictions, do more digs, anything
3 like that, so -- So that's the overall process.

4 Q. So outlier is an indication, but wrong measurements,
5 whether that's false positive or false negative?

6 A. Yeah.

7 Q. They are not considered outliers?

8 A. They are. So a false negative -- but they have
9 different implications. So false positive, the tool is calling
10 things that either aren't there or are just not cracking features.
11 It has different implications because, while we don't like to do
12 lots of extra digs, if we dug a few extra digs to get the cracks,
13 that's not -- it's not -- it's part of the program. So we're
14 getting what we need to get. If it's a false negative -- so it's
15 something that's above the tool threshold, because you find lots
16 -- especially when you're digging SCC, you'll find lots of tiny
17 little scratch stuff on the surface the tool just can't see. But
18 if it's something that meets the protection threshold of the tool
19 and the tool should have saw it, then that's -- yeah, that's an
20 outlier, because then you have to determine what's -- what kind of
21 feature is that. Is it something you would have dug if the tool
22 saw it? Is it -- So it can have different effects.

23 Q. I mean but what is the (indiscernible) action? I
24 understand --

25 A. It depends on what the outlier is. Like if the outlier

1 is a false negative that the tool should have seen, but it's still
2 a relatively benign feature, then maybe, other than doing some
3 additional fatigue or growth analysis on that one -- that size of
4 feature that you found to make sure that that's safe along the
5 whole line with the reassessment entry you have, then maybe that's
6 all you need to do. If it's a under-call by the tool or a large
7 false negative that might actually affect your reassessment tool,
8 then you might have to do more digs, take pressure restrictions,
9 run another tool, any of those.

10 Q. How many outliers of false negatives do you need to
11 question the ILI run?

12 A. Generally one, depending on what it is. If we can
13 confirm it's an outlier and we can't come up with like a
14 reasonable explanation about why maybe that's a unique feature or
15 a feature that we just do one or two digs and then we're
16 comfortable, it just takes -- it takes one, really.

17 Q. And that includes the outliers being under reporting or
18 no reporting at all; right?

19 A. Yes.

20 Q. And you say with one we'll question the (indiscernible)?
21 I just want to understand. Were you able (indiscernible) that
22 analysis that you guys are calling and saying, "Well, there's
23 three errors. There are two false negatives and one outlier. We
24 have no confidence in the run."

25 A. It's not that we won't -- yeah, maybe I said that a bit

1 long. It's not that we don't have any confidence. It's just that
2 it only takes one outlier for us to take action on that run. So
3 like, for instance, for adding bias to your growth, we'll take the
4 worst outlier. Even if there's everything -- even if you had a
5 hundred features that were all really good, but there was one that
6 was kind of out there, we'll use that one to add bias to our
7 growth.

8 Q. Well, I'm more concerned about false negative. I mean
9 at least we have wrong dimension. At least you know something is
10 there.

11 A. Yes.

12 Q. I mean that's really less no-brainer situation, --

13 A. Yes.

14 Q. -- but if the tool doesn't show you anything and you
15 find something that you should have seen in there, you take some
16 (indiscernible), how many of those do you need? Because there may
17 be several that you may never know --

18 A. Exactly.

19 Q. -- if the dig is not there.

20 A. Yeah.

21 Q. So what triggers the questioning of the entire run?

22 A. Yeah. So we'll take one false negative and we'll take
23 action on that as well. So --

24 Q. What action do you take? What action do you take on
25 that false negative?

1 A. Well, based on the -- it depends on the depth and the
2 length. Like I said, there's lots of things that meet the tool
3 specification that should have reported that and not injurious to
4 the pipeline, in the short term. Like you're already managing
5 that by your growth analysis and everything else by the features
6 you know about. Like we find --

7 Q. But that is a anomaly you saw.

8 A. Yes.

9 Q. Then how -- if you don't see, how do you know they are
10 not injurious to the pipeline?

11 A. Well, technically, I guess if you didn't see them, you
12 don't know that.

13 Q. I mean that's why I'm saying how many of those do you
14 need to question the entire run? Whether we are talking to
15 injuries to pipe or not, I'm really wondering how much confidence
16 one should place on the entire runs, then, with a tool that wasn't
17 properly at that time or not or the data is being properly
18 analyzed. You're putting a lot of weight --

19 A. Yes.

20 Q. -- on the ILI for crack mitigation.

21 A. Yes.

22 Q. So, and my question is what time you guys will question,
23 say that, "Well, this is impacting my integrity of the pipeline"?

24 A. Yeah. It's --

25 Q. I mean is that something documented that -- in your

1 procedure that, look, we are relying on ILI for the
2 (indiscernible) and outliers and all that stuff. Is there
3 something in there that says at a certain stage I should get a
4 question that I'm putting all my eggs in a basket, and the basket
5 is not as reliable?

6 A. Well, yeah. Like we don't have a statement in our
7 document that says something distinctly like that, but if the
8 outliers that we're finding require additional action, we'll take
9 it, and if we think that the tool run is not a good tool run, then
10 we'll run another tool or we'll take pressure restrictions.

11 Q. What (indiscernible) that decision? I mean I know you
12 just tell me you'll take action, but I still haven't heard as a
13 tool group person that, you know, if I see three of those, I'll
14 call it a reliable run. Is there some sort of a guideline? And
15 really I'm asking you because so much weight -- we are really
16 depending --

17 A. Yes.

18 Q. -- on those tools.

19 A. No, I understand what you're getting at. And I guess
20 what I'm trying to communicate is that it's dependent on every
21 outlier. So if we find one false negative, we go through our
22 outlier analysis, we work with the vendor, and we determine what
23 we need to do to keep the line safe. So if that means if that
24 specific -- if the properties of that feature that the tool missed
25 give us some indication that the tool run is just not going to do

1 it for us, then we'll -- that's all it takes, is one.

2 Q. The reason I'm asking, Steven, and I'm not -- this is
3 the last time I'm going to mention this, but -- and we'll move on.
4 I can understand your course of action when you say the dimensions
5 are under-reported. So you know something is there. You just
6 don't have the accurate numbers on that. My concern is that if
7 the tool guy is telling you that they are only 80 -- whatever the
8 number -- 80 percent of the time we'll see with 90-percent
9 (indiscernible) or whatever the number is.

10 A. Yeah.

11 Q. How can you react to something that you do not know
12 exist? You say you are going to react. But my question, how can
13 a person react to something they do not know?

14 A. No, and that's a good point.

15 MR. JOHNSON: Well, do they not know? Or the fact that
16 the entire joint is reviewed, it allows you to look for things --

17 MR. CHHATRE: When I ask you for the interview, I'll ask
18 you that question, but right now I'm asking --

19 MR. JOHNSON: All right.

20 MR. CHHATRE: -- Steven.

21 MR. BOTT: Yeah.

22 MR. JOHNSON: Sure.

23 BY MR. CHHATRE:

24 Q. (indiscernible)

25 A. Yeah. So, you're right. You don't -- you can't

1 necessarily manage what you don't know. But the 90 percent of the
2 time or 90 percent confidence is at the lowest detection of the
3 tool. So it only gets better from there. And just because -- if
4 you have one feature that the tool missed, depending on the size
5 and the type of feature it is, doesn't necessarily mean that you
6 -- it would lead you to think that the tool's going to miss a
7 bunch of big features.

8 Q. Okay.

9 A. So, while I agree that you can't manage what's not
10 there, every false negative is -- has to be independently
11 evaluated to -- And if we think that there is a chance that we're
12 -- we don't know enough, then we'll manage that by taking another
13 tool run or some other, you know, assessment method. Right?

14 Q. I understand. I understand. Okay.

15 MR. FOX: Kind of following along this line of
16 thought -- This is Matt Fox here. Well, the tools are going to
17 give you essentially a probability of detection for any given flaw
18 size.

19 MR. BOTT: Yeah.

20 MR. FOX: Do you ever go back and do an analysis of the
21 flaws that were found and flaws that were found and -- you know,
22 that weren't detected, and see if that -- you know, that that --
23 does that analysis correspond to the probability of detection
24 capability of the tool?

25 MR. BOTT: Yeah. We calculated a probability of

1 detection, probability of indication, and a probability of sizing
2 for every run. So we do do that.

3 MR. FOX: And that includes data that comes from false
4 negatives as well as false positives?

5 MR. BOTT: Yes.

6 MR. NICHOLSON: Who performs that analysis?

7 MR. BOTT: We do. So --

8 MR. NICHOLSON: Could you bring it up for us?

9 MR. BOTT: Yep. Let me just see if it's --

10 MR. NICHOLSON: So you would have done so on the 2005?

11 MR. BOTT: We didn't have a formal process of doing it
12 in 2005.

13 MR. NICHOLSON: When did you get a formal process of
14 doing that?

15 MR. BOTT: Late last year of actually calculating --
16 like it's not that we didn't do outlier analysis or look into
17 outliers before, but in late 2010 is when our process document --

18 MR. FOX: Have you done that on the 2010 crack run yet
19 for the Line 6B (indiscernible)?

20 MR. BOTT: We've started to do that. Actually we're in
21 the process of doing that right now, so -- We don't have any
22 false negatives yet in the 2010 run, so --

23 MR. NICHOLSON: Now why don't we just take a peek at
24 that document.

25 MR. BOTT: Yeah.

1 MR. NICHOLSON: I'm just curious what goes into that.

2 MR. BOTT: I'll have to get the right one here.

3 MR. NICHOLSON: Is that the pyramid?

4 MR. BOTT: No. Let me -- I've got too much stuff open.

5 So within the training document, we --

6 MR. FOX: Which document?

7 MR. BOTT: It's PI-39.

8 MR. FOX: PI-39.

9 MR. BOTT: Yes. So this wasn't in existence at the
10 time, but it is -- this is what we do now. So we calculate a POD
11 and that's based on the number of features reported, and then for
12 all of the features that were reported in the field, we compare
13 those two numbers, obviously. So if it was not reported by the
14 tool but was below tool threshold -- so, in other words, the tool
15 spec didn't say that the feature would be reported -- we don't
16 count that against the tool in this calculation. But if it is, if
17 it's above that level, then we count that.

18 Probability of sizing. We use a probative exceedance
19 kind of method. So we don't penalize the tool, at least not in
20 this calculation, if it's being conservative, if it called it
21 deeper than it really was. So we do two counts. We determine the
22 probative sizing at unity, and then the probability of sizing with
23 one tool tolerance added, so --

24 MR. CHHATRE: Now, this is for the entire run; right?

25 MR. BOTT: Yes.

1 MR. CHHATRE: So (indiscernible).

2 MR. BOTT: Well, everything that we examine with field
3 NDE. Because if we didn't examine with field NDE, we didn't
4 confirm the sizing, but, yeah.

5 MR. CHHATRE: Okay.

6 MR. FOX: Steve --

7 MR. CHHATRE: No, go ahead. Go ahead.

8 MR. FOX: I just -- I had asked this question of Sean,
9 and maybe you're the better guy to ask it. With trying to
10 correlate internally connected crack life anomalies versus
11 externally connected crack life anomalies, I have this impression
12 that if you evaluated internal versus external separately, you
13 might -- you know, you might find that internally connected
14 anomalies are reported less accurately as externally? I'm just
15 curious if you've done that.

16 MR. BOTT: I haven't personally done that, so I can't
17 say.

18 MR. FOX: Or I guess maybe I have some observational --

19 MR. BOTT: We may have less confidence on the field
20 data, because most external ones you can actually grind a little
21 bit so you know exactly how deep it was, whereas internally you're
22 sizing with UT, so we might have a bit less confidence in the
23 field data. Now, whether the tool -- I couldn't tell you if the
24 -- I've never looked at that, to be quite honest.

25 MR. FOX: Okay. Yeah, what I was going to say is I

1 think over the years I've come up with the impression that if the
2 tool is -- the tool is more likely to miss an internally connected
3 anomaly than an external, and that's kind of based on, you know,
4 failures. If you look at, you know, Line 2 or even Line 3 plus 9-
5 12, it just seems like the internally connected anomalies are
6 missed more frequently than the external anomalies.

7 MR. BOTT: Possibly.

8 MR. FOX: So I guess -- so the question would be --
9 personally I think it would be a good idea to do that based on
10 external anomalies versus internal anomalies, and I don't think
11 you're doing that presently.

12 MR. BOTT: No, we wouldn't do that presently.

13 MR. CHHATRE: Can you go back up a little bit? And this
14 is Ravi. Yeah, right there.

15 BY MR. CHHATRE:

16 Q. What is the second "N"? Number of --

17 A. So, on the top it's -- "N" is reported, and on the --

18 Q. Right. Total reported?

19 A. Yeah. And the bottom is "N" reported plus "N"
20 unreported, and all those "N's" are based on the number of
21 field --

22 Q. False negative.

23 A. Yeah. So the "N" unreported would be false negatives.

24 Q. What about false positive? That's not in here, is it?

25 A. No.

1 Q. And that's also part of that tool error; right?

2 A. It is part of the tool error.

3 Q. So how do you (indiscernible) for that?

4 A. We would incorporate a probability of indication, so --

5 Q. But I mean it's probability of detection; right? The
6 probability of detection is a function of it. You're only going
7 to get something from probability of detection to decide
8 likelihood of further accidents.

9 A. Yeah, but -- that's true, but if it's reporting things
10 like corrosion that were not actually cracking, I guess, well, if
11 it happened a lot, we would follow up with the vendor and try to
12 improve that. We don't count it against the tool for probability
13 of detection, because it's reporting extra things, so that's why
14 we don't include the false positives.

15 Q. I mean in the positives you are missing some value data,
16 too. I agree with you. I mean the tool is telling you that
17 there's still corrosion. You don't see corrosion. You don't hold
18 it against them.

19 A. Yes.

20 Q. And that's valid, though, because the tool's not
21 supposed to be doing that.

22 A. Yes.

23 Q. But between -- even at all of those, then you might have
24 eliminated some cracks also, false positive. That's not getting
25 really --

1 A. No, no. If we find a crack in the field, it can't be a
2 false positive. It can only be a false negative.

3 Q. Negative. Okay.

4 A. Yeah.

5 Q. Now, the other question on this was, this is all for the
6 digs you actually make.

7 A. Yes.

8 Q. And usually you want to do the digs because of crack
9 sizing and that sort of stuff.

10 A. Yeah, as well as --

11 Q. You wouldn't go to -- there's no indication
12 (indiscernible) ensure integrity, you wouldn't do that dig.

13 A. No, although we do check corrosion digs and dent digs
14 and any kind of dig for --

15 Q. Right, but that's -- because there is some threat to
16 integrity.

17 A. Yes.

18 Q. Now, so it's all weighted against -- I mean it's
19 slightly weighted towards indication now being reported, so if all
20 those digs are made for these, for false negative, are you leaving
21 any dig, saying, "Well, gee, the tool's showing us there's no
22 problem. Better go and dig it and find out if there is anything
23 in there." Right now, the way I see it, is maybe it's weighted
24 slightly to all the indications.

25 A. Yeah. So --

1 Q. So false negative is getting underrated in the
2 calculations.

3 A. Yeah. So, while we may not pick a joint that has
4 nothing on it and just go dig it, we probably don't do that. But
5 we do -- when we exposed a joint, even if the feature is three
6 inches long, we'll inspect the whole joint.

7 Q. Sure, but there it's going to get slightly weighted
8 (indiscernible) indication. So you're going to need to
9 (indiscernible) the contractor for being erroneous in terms of
10 sizing it or under-reporting or over-reporting.

11 A. No, I understand that, but let's say you had a joint of
12 40 feet of pipe. And usually that's what we do, is we dig a whole
13 joint. But the feature only takes up six inches on that joint and
14 that's what's reported. We inspect the other 39 1/2 feet of that
15 joint where there's nothing reported to see if there's anything.

16 Q. I understand, and I'm not saying you should do equal
17 number of digs, but at least do one. Where there is no indication
18 reported, so you go and dig and may confirm that, yes, it is not
19 false negative. Do you follow what I'm saying?

20 A. Yeah, I follow. I guess -- yeah, I guess just our point
21 of view is that if you're digging up 40 feet for one foot of pipe
22 -- one one-foot feature, you're actually (indiscernible) it
23 towards false negatives because you're digging 39 feet where
24 there's nothing reported.

25 Q. Okay.

1 A. But I understand what you're saying. And maybe it's a
2 bit different for, you know, environmental factors.

3 Q. You think with that kind of dig, that all is going to
4 benefit too if it matches with your direct inspection; right?

5 A. (Indiscernible.)

6 Q. And does your contractor report that there are no
7 indications, and you go back and say, "Okay, who else showed us no
8 indications?" Is that matching, then, to the report?

9 A. Well, we match out the outlay features and all the field
10 features.

11 Q. Like (indiscernible) features, those are indeed people
12 reporting that it won't say, "Okay, the rest of the pipe, 36 feet,
13 had no indications, --"

14 A. Yes. They tell us that.

15 Q. "-- and the tools say no indications," so that's
16 (indiscernible).

17 A. Yeah.

18 Q. Okay.

19 A. They tell us that, yeah.

20 Q. So there is some --

21 MR. FOX: And is that process used on all three types of
22 digs?

23 MR. BOTT: Yes.

24 MR. FOX: Corrosion, geometry, and cracking?

25 MR. BOTT: Yes, although sometimes for geometry we won't

1 expose the whole joint. We'll just bell hole (ph.) because ---

2 MR. CHHATRE: Right.

3 MR. BOTT: -- typically there's nothing else. You know,
4 it's a direct measurement tool. So if there's a dent there, we
5 expect to find the dent there. But for corrosion and cracking,
6 we'll dig more, typically more than we need to. So we expect if
7 there's false negatives to be found, we'll find them.

8 MR. PIERZINA: So did you say on a geometry dig you may
9 not expose the whole joint?

10 MR. BOTT: Not always, no.

11 MR. PIERZINA: I'm sorry?

12 MR. BOTT: Not always, no.

13 MR. PIERZINA: Okay.

14 MR. BOTT: If there's other -- it depends on the coating
15 partially, too.

16 MR. PIERZINA: Right. I was going to say maybe it
17 depends on the pipeline too, because it --

18 MR. BOTT: Yeah.

19 MR. PIERZINA: You know, if you're on a geometry dig on
20 a PE tape coated pipeline.

21 MR. BOTT: Yeah. We'll dig -- yeah, we dig longer
22 sections usually on PE tape, because to get rid of the PE tape is
23 actually -- and because you're more -- under PE tape, you're more
24 likely probably to find features than under other --

25 MR. PIERZINA: Right.

1 MR. BOTT: -- kinds of coating.

2 MR. CHHATRE: All right.

3 MR. PIERZINA: What Ravi asked was if that other 36 feet
4 shows no features on the NDE, you actually go back as the analyst
5 and you compare that to your ILI run?

6 MR. BOTT: Yeah.

7 MR. PIERZINA: Okay.

8 MR. BOTT: So when I say we match all the field features
9 and all the ILI, we look both ways, so --

10 MR. PIERZINA: Okay.

11 MR. JOHNSON: Does that answer your question? Which it
12 was a humor -- you know, how do you know? How do you investigate
13 what you don't know is there?

14 MR. BOTT: Um-hmm.

15 MR. JOHNSON: To me, that's a new question for me, so --

16 MR. CHHATRE: No, that one assumes facts because, see,
17 what I'm saying is it's still based on probability and the vendor
18 is telling you, "I'm only going to get -- my run is only 80
19 percent of the time." I'm just giving numbers. "Eighty percent
20 of the time will be negative, and out of that 80 percent time I'm
21 going to give you the right size." So there's always a chance of
22 something slipping, and my really question was how many of those
23 mismatches triggers questioning in your mind? I'm not saying
24 you'll find a vendor that's going to give you a hundred percent of
25 anything a hundred percent of the time. But when, at what stage

1 of your analysis do you question (indiscernible), and I guess
2 there is no guideline per se on that.

3 MR. BOTT: There's no guideline. It depends a lot on
4 what the outlier portrays.

5 MR. CHHATRE: That's what I was really getting into,
6 because maybe there's so much weight that is put not just by you
7 guys, but (indiscernible) on ILI inspections.

8 MR. JOHNSON: And that's one of the issues with the
9 direct assessment. You're going to dig so many joints and then
10 you make an assumption that the joints you dig are representative
11 of the more joints you haven't dug, which is one of Enbridge's
12 preference, that you do the inline inspection, because then you
13 are looking at every joint.

14 MR. CHHATRE: Right. And there's nothing wrong with
15 that thinking. The only question I have is there has to be some
16 kind of (indiscernible) because I'm putting so much weightage on
17 this inspection and that's really -- it looks like you're
18 (indiscernible) for your integrity management --

19 MR. JOHNSON: Well --

20 MR. CHHATRE: -- on both crack, corrosion and --

21 MR. JOHNSON: -- I think there is a trigger, as Sean
22 talked about yesterday with the Line 6-A tool. When the outliers
23 came in and we had 80-percent through-wall, suddenly the outliers
24 were so dramatic, you'd take a pressure reduction and you go back
25 to the vendor and say, you know, "Here's what we're finding

1 immediately." So, you know, the trigger is based on, you know,
2 engineering knowledge and what's going on. I don't think there's
3 a magic number that ten outliers makes you do this. You're
4 looking at it all the time. Every dig -- you know, all of the NDE
5 information goes back to pipeline integrity. They put that in to
6 do their comparison. It's like every dig is a validation dig, and
7 that's where they get, I'll say, a comfort level.

8 MR. NICHOLSON: Well, what I thought I heard Steven say
9 was he -- you look at every false negative and do an analysis on
10 that.

11 MR. BOTT: Yeah.

12 MR. NICHOLSON: Okay. And so it could be that if those
13 were -- you found that they were large defects with very deep
14 features, then --

15 MR. BOTT: Yeah, and then --

16 MR. NICHOLSON: Then you would take steps.

17 MR. BOTT: Yeah. We would take a pressure restriction
18 and maybe run another tool to -- whatever we needed to do, right,
19 based on that --

20 MR. NICHOLSON: But it sounds like from your experience
21 that maybe these typically are not significant features that are
22 found.

23 MR. BOTT: Yeah. No, typically if you have -- typically
24 a false negative that you would find is usually something that
25 just barely is above the threshold, and if you deal with all the

1 (indiscernible) field measurement and valley measurements, it's
2 questionable whether it's a true false negative. That typically
3 is what my experience is, but --

4 MR. PIERZINA: But you now characterize a false negative
5 as something that exceeds -- something that was identified that
6 exceeds the tool threshold?

7 MR. BOTT: Yes. So, yeah, we make that distinction.

8 MR. CHHATRE: Are we (indiscernible)? 39?

9 MR. BOTT: We were actually -- oh, yeah, that was 39.
10 Yeah, that's at the end of the --

11 MR. CHHATRE: Yeah, that's what I thought. Okay.

12 MR. BOTT: Yeah.

13 MR. NICHOLSON: I might have missed this. I came in
14 late. If it mischaracterizes something, that's a false positive?

15 MR. BOTT: No, no.

16 MR. NICHOLSON: Is there a separate --

17 MR. BOTT: We actually call -- it's just
18 mischaracterization if it calls it like a crack field and we find
19 a crack-like or something like that, so -- I don't know if we
20 have actually a definition. No, we don't have a definition in
21 here, but essentially -- yeah, like if we -- if it under-calls it
22 or over-calls it, that would be these.

23 MR. NICHOLSON: That's depth; right?

24 MR. BOTT: Yeah, that's depth.

25 MR. NICHOLSON: But like you say, crack field versus

1 crack-like, --

2 MR. BOTT: Yeah.

3 MR. NICHOLSON: -- is that quantified or is it --

4 MR. BOTT: We do look at it. We haven't specifically
5 defined it, but we do say that -- I mean if you found -- I think
6 the biggest one is if you find a SCC in the field or the tool
7 reported like a linear defect like crack-like, that's the biggest
8 one. Typically if it's a notch like our crack-like, we wouldn't
9 generally worry too much about that, because we treat those two
10 feature types exactly the same.

11 MR. CHHATRE: And so you treat all three similar.

12 Crack-like --

13 MR. BOTT: We treat all three similar, yes.

14 MR. CHHATRE: Yeah.

15 MR. BOTT: But we do --

16 MR. NICHOLSON: Except you might have missed that
17 longest indication --

18 MR. BOTT: Exactly.

19 MR. NICHOLSON: -- if it's a crack field.

20 MR. BOTT: Yeah, exactly.

21 MR. NICHOLSON: But there's no bucket for that
22 mischaracterization in your probability of detection, probability
23 of indication?

24 MR. BOTT: Well, probability of indication, that's what
25 that measures, is the probability that it's classifying a feature

1 correctly.

2 MR. NICHOLSON: Oh, indication is your characterization?

3 MR. BOTT: Yeah.

4 MR. NICHOLSON: Okay.

5 MR. CHHATRE: Okay. I have no questions.

6 MR. NICHOLSON: Okay. Matt Fox?

7 BY MR. FOX:

8 Q. Yeah, I guess I did have, you know, a few questions
9 about the 2010 crack run and -- because I understand that you're
10 involved with the --

11 A. Yes.

12 Q. -- with that run. And have you done any, I guess,
13 comparisons with the data from that crack run versus what was
14 found from the 2005 crack?

15 A. So like we've kind of discussed before, we haven't done
16 a lot of detail comparison yet. The feature population is a lot
17 higher.

18 Q. Okay.

19 A. But the detection threshold is a lot lower --

20 Q. Okay.

21 A. -- than it was in 2005.

22 Q. Okay.

23 A. They've also changed sizing of all their leads.

24 Q. Leads.

25 A. One of the reasons we haven't done a lot of detail

1 comparison is because we're finding that it's reporting crack
2 fields that we find in the field of corrosion --

3 Q. Okay.

4 A. -- and not an insignificant rate. Like it's quite
5 often.

6 Q. Okay.

7 A. So we're just -- we don't want to make too much
8 comparison between the tools until -- we're working through that
9 with Gene (ph.) right now --

10 Q. Okay.

11 A. -- about the difference between crack fields and
12 corrosion in the field, and I think once we get to the level where
13 we kind of understand what's actually cracking, then definitely it
14 makes it a lot easier to go compare the two tools with some
15 confidence.

16 Q. I see. So I guess, you know, in the 2005 run we had
17 some features at the rupture site that were characterized as a
18 crack-like feature versus what we found was a -- after the rupture
19 was crack field features, and we'll ask GE more about the
20 analysis, but as I understand it, they changed their procedures to
21 be able to better identify crack field features and distinguish
22 them from crack-like features. Do you see features that were
23 characterized as crack-like features in the 2005 report that are
24 showing up as crack field features in the current analysis?

25 A. So I couldn't answer the number of them off the top of

1 my head, but I'm sure there are some. We have found some crack-
2 like features reported by 2010 that turn out to be SCC, but so far
3 all our analysis is showing that mostly it's due to -- there'll be
4 SCC along the weld and there will be, like, corrosion at the weld,
5 and so the tool actually caught both. It will call a crack field
6 and then it will call the corrosion at the weld a crack-like, or,
7 you know -- or the field will just draw a big circle around a
8 bunch of stuff, and when we look closer at it, there's, you know,
9 maybe something at the weld that the tool is calling crack-like in
10 a shallow SCC, stuff like that. So I haven't -- yeah, I haven't
11 seen anything in the 2010 data that would concern me that we're
12 getting misclassification that way.

13 Q. Okay. So I guess the correlations haven't really -- or
14 have any correlations been made to try to characterize the crack
15 growth rates based on the two runs, or is that something that's
16 planned for the future or what?

17 A. Yeah. So that would be something we kind of -- again,
18 once we reach confidence with the tool. And one way to do it
19 might be once we've completed our full dig program, we'll know
20 which features were cracks in the field, and we can take those and
21 compare them back to back. So there is some -- we would look to
22 do that for sure. And we also use, you know, historical linear
23 kind of growth rates to kind of compare to what we expect.

24 Q. And then I guess the other question I'd ask a little bit
25 of a different topic is looking at -- in cases where corrosion

1 pits, you know, from -- have been detected and dug and then the
2 pipe's recoated with the pits in place, is there a risk of
3 subsequent cracking from those corrosion pits that are left in
4 place?

5 A. I wouldn't say that I'm an expert on that sort of
6 feature, but I think the risk is very low because -- they're a
7 blunt defect. I mean usually when we recoat, we'll put a good
8 coating on so that we don't have to worry about the environment
9 getting back in there. So it would only be from cycling.

10 Q. But you still have the stress concentration from --

11 A. Yeah.

12 Q. -- just the geometry of the feature.

13 A. Yeah. So it's unlikely that anything would initiate,
14 but if it did, then a crack tool would see that. And so if we --
15 when we do our dig history review, typically I would not remove a
16 dig from my selection if it was recoated and then the tool was
17 reporting significant cracking, unless we did it the year before.
18 But if it was -- say we did it in 2004 and we have our 2010
19 run, --

20 Q. Right.

21 A. -- I would still go and check again.

22 MR. PIERZINA: Okay. So where -- how do you draw the
23 line between -- you know, on something that's been looked at
24 before when -- you know, when it -- when can you consider it good
25 and when can you -- you know, because I mean there's a chance that

1 somebody did a poor job recoating, you know, something that was
2 investigated previously.

3 MR. BOTT: Yes.

4 MR. PIERZINA: So how do you decide --

5 MR. BOTT: We don't have a written guideline on
6 processes for that. Part of it has to do with the quality of the
7 end-of-year report. Like you said, if it's a really good end-of-
8 year report, there's lots of pictures, you can tell what they're
9 doing, you have more confidence that, yeah, there's no cracking
10 there and it's probably a good job. If it's -- yeah, if it's a
11 poor quality, then you have less confidence, so you're more likely
12 to go back. As far as time, I don't know if there's -- we don't
13 have a guideline for time. I think it would depend on what the
14 feature was, and it also, I think, depends a bit on what the new
15 -- because we also run new metal loss tools, and so is the new
16 metal loss tool showing growth on that joint? So does it look
17 like there's, you know, corrosion happening again, stuff like
18 that.

19 MR. PIERZINA: Uh-huh.

20 MR. BOTT: I can't -- you know, we don't have a written
21 guideline for that other than I have to be confident that we
22 don't need to go back, so I'll make sure that I am.

23 MR. PIERZINA: Okay.

24 MR. CHHATRE: This is Ravi. Have you made a note of
25 that, the fact that we had to go back and -- in case you get

1 transferred somewhere else or you get promoted or somebody else
2 takes over, you've got a workload situation.

3 MR. BOTT: Yeah. So in our pie listing, which is the
4 file where we document what we're digging, (indiscernible) --
5 excuse me -- NY, if I remove something, then I will put a note in
6 there that I removed it. And if I didn't remove it but I looked
7 at it, I will put a note.

8 MR. CHHATRE: So there is some --

9 MR. BOTT: Yes.

10 MR. CHHATRE: -- documentation trail --

11 MR. BOTT: Yes.

12 MR. CHHATRE: -- that people can look at. Okay.

13 MR. BOTT: Yeah.

14 MR. NICHOLSON: I want to go back to what you were
15 saying about the 2005 run and GE's reassessment. Were you
16 involved in that directly?

17 MR. BOTT: When they coated a crack field feature and
18 said crack-like?

19 MR. NICHOLSON: Right.

20 MR. BOTT: I don't know if I directly asked them if
21 their --

22 MR. NICHOLSON: Well, I guess I'm trying to find it.
23 Did they say it was a change in an algorithm or a procedure or
24 what exactly changed for them to tell you it's now a crack field?

25 MR. BOTT: It's probably a procedure. So, the way they

1 do their analysis is they have the raw signals from the tool, and
2 then they have to base -- based on their experience and their
3 knowledge of how the tool works, they have to classify that
4 feature, and then they do all the sizing and everything after. So
5 if they changed a classification, then it would be more of a
6 procedural change than algorithm change as far as I understand
7 their processes.

8 MR. NICHOLSON: But then you mentioned in 2010 it's a
9 new algorithm and the tool -- something in the tool's changed or
10 how --

11 MR. BOTT: So that's -- they've since -- well, fairly
12 recently. I can't tell you the date, but they have actually
13 updated their sizing algorithm for crack field features. I'm not
14 sure when, but they -- you know, in the last year, so --

15 MR. NICHOLSON: So I guess to me that would be a
16 headache for an integrity analyst now, because everything's
17 changed. You've got a new tool with a new algorithm. As you
18 said, you're getting more crack field features and it's hard to --
19 so they don't -- there's no way to apply the old algorithm to the
20 new tool to kind of calibrate it or --

21 MR. BOTT: We could, although what we would probably do
22 to do a tool-to-tool comparison is actually get them to re-analyze
23 the old data using the new algorithm. That's probably what we'd
24 do.

25 MR. NICHOLSON: And has that been done?

1 MR. BOTT: It hasn't yet, no.

2 MR. NICHOLSON: Is that something you're going to
3 request?

4 MR. BOTT: Yeah. When -- at the time where we would ask
5 any comparison between the runs, they would have to do that first
6 so that we're comparing apples to apples, for sure.

7 MR. NICHOLSON: But that -- to date you haven't asked
8 for the 2005 to be re-analyzed?

9 MR. BOTT: No.

10 MR. NICHOLSON: Okay. You think that will happen? Is
11 that what you're saying?

12 MR. BOTT: Yeah, I think so. I would think that in
13 order to do a good comparison, you have to. We may not get the
14 whole data set analyzed, but definitely whatever we're comparing
15 to the new data set.

16 MR. NICHOLSON: So when they go and change algorithms
17 and methods of classifying and sizing, you're kind of in the dark.
18 You don't know what they've changed; right? The only way you know
19 is through your unity plots as to how accurate this new algorithm
20 is and --

21 MR. BOTT: Yeah, yeah.

22 MR. NICHOLSON: Seems like you're always chasing the
23 vendor's latest --

24 MR. BOTT: Well, I think at least recently they've been
25 okay telling us when they change things. I can't speak between

1 2005 till now.

2 MR. NICHOLSON: Okay.

3 MR. BOTT: But I know that recently, definitely.

4 MR. NICHOLSON: And it's your option, then? You could
5 say, "Hey, this -- I don't -- we liked what we got in 2005. We
6 really liked that tool and that algorithm. Use that, not your
7 latest beta"?

8 MR. BOTT: Yeah. I would -- yeah. I mean we're paying
9 for the analysis.

10 MR. NICHOLSON: Okay.

11 MR. BOTT: So I would guess that if we said, "No, we'd
12 rather use some other algorithm that you used before," then I'm
13 sure that we could ask that.

14 MR. NICHOLSON: Okay. I'm done. Anything for you,
15 Ravi?

16 (No audible response.)

17 MR. NICHOLSON: Matt? Brian?

18 MR. FOX: Have you asked them to -- I mean maybe not
19 necessarily redo the whole data set, but look at the features from
20 the ruptured joint using the new algorithm?

21 MR. BOTT: I can't honestly recall if we've done that or
22 not. We may have, but I'm not sure.

23 MR. NICHOLSON: You say "we may have." Who else? Sean?

24 MR. BOTT: As in Enbridge.

25 MR. NICHOLSON: Oh, okay.

1 MR. BOTT: Yeah. Yeah, either Sean or myself.

2 MR. FOX: Sean might know --

3 MR. BOTT: He might.

4 MR. FOX: -- if that's been done?

5 MR. BOTT: But, yeah.

6 MR. PIERZINA: Or it might have even been somebody else;
7 right?

8 MR. BOTT: Yeah, yeah. There was -- yeah. Especially -
9 - you know, especially right after a failure, there's always lots
10 of people we get in to help, so --

11 MR. NICHOLSON: Okay.

12 MR. CHHATRE: Thank you so much.

13 MR. NICHOLSON: Yeah.

14 MR. CHHATRE: (indiscernible)

15 MR. BOTT: Okay. Thank you.

16 UNIDENTIFIED SPEAKER: That was great.

17 MR. NICHOLSON: At this point we'll conclude the
18 interview.

19 (Whereupon, the interview was concluded.)
20
21
22
23
24
25

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF: ENBRIDGE - LINE 6B RUPTURE IN
 MARSHALL, MICHIGAN
 Interview of Steven Bott

DOCKET NUMBER: DCA-10MP-007

PLACE: Edmonton, Alberta, Canada

DATE: December 8, 2011

was held according to the record, and that this is the original,
complete, true and accurate transcript which has been compared to
the recording accomplished at the hearing.

Karen L. Banks
Transcriber