

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

* * * * *

Investigation of:

*
*
*
*
*
*
*

THE EXPLOSION OF APARTMENT
BUILDING 8701 OF FLOWER BRANCH
APARTMENTS IN SILVER SPRING,
MARYLAND ON AUGUST 10, 2016

Accident No.: DCA16FP003

* * * * *

Interview of: CURTIS GRAY, JR.

NTSB Headquarters
Washington, D.C.

Tuesday,
January 21, 2017

APPEARANCES:

RAVI CHHATRE, Investigator in Charge
National Transportation Safety Board

ROGER EVANS, Senior Pipeline Investigator
National Transportation Safety Board

KALU KELLY EMEABA, Pipeline Investigator
National Transportation Safety Board

DOUG STAEBLER, Senior Vice President Operations
Washington Gas

STEVEN PRICE, Assistant Vice President for
System Operations
Washington Gas

SPENCER NICHOLS, Associate General Counsel
Washington Gas

LT. WILLIAM OLIN, Fire and Explosives Investigator
Montgomery County, Maryland

JOHN CLEMENTSON, Assistant Chief Engineer
Public Service Commission of Maryland

<u>ITEM</u>	<u>I N D E X</u>	<u>PAGE</u>
Interview of Curtis Gray, Jr.:		
By Mr. Chhatre		6
By Mr. Emeaba		32
By Mr. Clementson		40
By Lt. Olin		41
By Mr. Price		45
By Mr. Staebler		59
By Mr. Evans		66
By Mr. Staebler		83
By Mr. Chhatre		85
By Mr. Evans		99
By Mr. Chhatre		104
By Mr. Evans		105
By Mr. Price		110

I N T E R V I E W

1
2 MR. CHHATRE: On the record. Good morning.

3 MR. GRAY: Good morning.

4 MR. CHHATRE: Today is Tuesday, January 21, 2017. We are
5 currently at the NTSB headquarters located at 490 L'Enfant Plaza
6 East, S.W., Washington, D.C. We are meeting regarding the
7 investigation of explosion of building 8701 Flower Branch
8 Apartments, Silver Spring, Maryland, that occurred on August 10,
9 2016.

10 My name is Ravi Chhatre. I am with the National
11 Transportation Safety Board located in Washington, D.C., and I am
12 investigator in charge of this accident. The NTSB investigation
13 number for this accident is DCA16FP003.

14 I would like to start by notifying everyone present in this
15 room that we are recording this interview and we may transcribe it
16 at a later date. Transcripts will be provided directly to the
17 interviewee for review and identifying any typographical errors.
18 The transcripts may be posted in NTSB's public docket.

19 Also, I would like to inform Mr. Curtis Gray that you are
20 permitted to have one other person present with you during the
21 interview. This is a person of your choice, your supervisor,
22 friend, family member or, if you choose, no one at all.

23 Please state for the record your full name, spelling of your
24 name, organization you work for, and your title, business contact
25 information such as mailing address or email address, and whom you

1 have chosen to represent with you during your interview.

2 MR. GRAY: Okay. My name is Curtis Gray, Jr., C-u-r-t-i-s,
3 G-r-a-y, Jr. I live at [REDACTED]
4 [REDACTED]. At the current time I am unemployed.

5 MR. CHHATRE: And whom have you chosen to be with you?

6 MR. GRAY: I -- Mr. DiCarlo from former CNN could not be here
7 today. He had to go out of country, so --

8 MR. CHHATRE: So --

9 MR. GRAY: He had to cancel. So I'll be here by myself.

10 MR. CHHATRE: And you are okay with that?

11 MR. GRAY: I'm fine.

12 MR. CHHATRE: Okay. Now I would like to go around the room
13 and have each person introduce themselves. Please state your
14 name, spelling of your name, your title and the organization that
15 you represent, your business -- and your business contact
16 information. We will start from my left and go around the room

17 MR. EMEABA: My name is Kalu Kelly Emeaba, K-a-l-u, K-e-l-l-
18 y, E-m-e-a-b-a. I am an NTSB investigator.

19 MR. PRICE: My name's Steven Price, Assistant Vice President
20 System Operations, Washington Gas Light Company, Springfield,
21 Virginia. Telephone number is [REDACTED].

22 MR. STAEBLER: Douglas Staebler, Senior Vice President of
23 Operations, Washington Gas in Springfield, Virginia. Phone number
24 is [REDACTED].

25 LT. OLIN: William Olin, fire and explosive investigator for

1 Montgomery County, Maryland. Phone number [REDACTED]. My email
2 William -- [REDACTED] --
3 [REDACTED].

4 MR. CLEMENTSON: John Clementson, Public Service Commission
5 of Maryland, Assistant Chief Engineer, [REDACTED].

6 MR. CHHATRE: Thank you for that. Let me call Roger because
7 he's not --

8 (Phone dialing.)

9 MR. CHHATRE: Do you have the teleconference number handy?
10 Off the record.

11 (Off the record.)

12 (On the record.)

13 MR. CHHATRE: Back on the record. Please introduce yourself.

14 MR. EVANS: This is Roger Evans, senior investigator, the
15 NTSB, R-o-g-e-r, E-v-a-n-s.

16 MR. CHHATRE: Thank you.

17 INTERVIEW OF CURTIS GRAY

18 BY MR. CHHATRE:

19 Q. So, Mr. Gray, please tell us for the record any formal
20 education, training, experience that you have in the past?

21 A. I was a police officer initially in 1984 for the Maryland
22 State Police. I left that organization and I worked for several
23 other agencies. And I contracted for former French Colonies in
24 Africa during the Rwanda and Burundi Moquatics (ph.) Mission, also
25 in Somalia.

1 Q. Okay. And what's your experience with the natural gas
2 pipelines, regulators?

3 A. I learned to work on this equipment after I left my former
4 career, I started working for Washington Gas. And when I first
5 worked there, we received a lot of training. I'm going to say
6 that I absorbed this training and -- like I would anything else,
7 and so when I was told something or I read something in our manual
8 I went according to the manual company procedures. And actually
9 what I was told -- the additional things I was told as far as the
10 behavior of natural gas, but you're only going to learn from
11 experience and dealing with people who've had those experience and
12 have showed you these things.

13 Q. And how long did you work for Washington Gas?

14 A. I worked as a contractor initially from 1998 until I became
15 an employee of Washington Gas in 2000. And I was fired I believe
16 it was 2009.

17 Q. Okay. And what were your duties at Washington Gas?

18 A. I worked almost all the field aspects and jobs with
19 Washington Gas from being a Grade 4. I started as a helper on
20 trucks, digging, repairing pipe, just tools. Then I got a
21 promotion to Grade 5 where I was checking for gas leaks, which I
22 had done before as a contractor. Then after that I was promoted
23 to Grade 6A where I was making repairs and also flame packing. I
24 was in charge of many secured areas. I was given the job
25 inspecting the gas at the White House, Langley, and a couple other

1 secure facilities.

2 Q. Okay. And did any of these responsibilities involve
3 regulators on single family or multifamily dwellings?

4 A. All of these, up including commercial buildings. And if it
5 was something that I found there was a problem that was above my
6 grade, I would call Washington Gas and they would send another
7 higher grade employee to come and take over.

8 Q. So specifically tell us your involvement or responsibilities
9 involving natural gas regulators in single family dwellings, you
10 know, shutting down the meter, starting the meter or doing any
11 repairs?

12 A. It's been a few years, but I have done all of the above. My
13 experience in the field, we had regulators. We found some
14 regulators that were -- we used spring regulators. Some different
15 springs, depending on what they were regulating, how many meters
16 or multi-meters or a single family home or what. And then we had
17 others that were very old in the system where they were mercury
18 regulators.

19 Q. Okay.

20 A. Now, we -- there's a procedure that -- turning off these old
21 mercury regulators was a little bit more difficult, a little bit
22 more tricky than using -- turning on and off these spring
23 regulators. If you turned on -- off a mercury regulator and you
24 turned it on too fast, it would push the regulator or the mercury
25 out of a vent and then it would just leave gas flowing wide open,

1 preferably going out of the building, right? But sometimes that
2 didn't happen, especially with contractors who weren't used to
3 dealing with that kind of a regulator.

4 The spring regulators were a lot easier to use and from my
5 experience we had less failures with them, but then they were new.
6 Some of these regulators we took out were probably from the '40s.

7 Q. Okay. And were you given any training by Washington Gas --

8 A. Yes.

9 Q. -- in turning on and off --

10 A. We got a lot of trainings.

11 Q. Can you elaborate what the trainings were?

12 A. I had a manual. I couldn't find it to bring it in, but as
13 far as setting the regulators, turning them on and off, testing
14 for leaks. We put a -- there was a gauge whether we had four --
15 most things that I've dealt with was we measured in water column
16 or we also had 2-pound systems, which is mostly what I dealt with.
17 Anything that was any larger we usually had another crew we called
18 the rough-in crew, which took care of the larger facilities.

19 Q. Okay. So let's walk step-by-step here and let's just focus
20 on multifamily dwellings for now.

21 A. Yes.

22 Q. So have you ever done any initial installation of the
23 regulators at those facilities?

24 A. Initial as if it's in a new building?

25 Q. Right.

1 A. No.

2 Q. Okay.

3 A. That was done by our rough-in department.

4 Q. Okay. So what your responsibilities will involve with the
5 multifamily dwelling units?

6 A. In these apartments -- I did -- I worked this area a lot.

7 Okay? We did inside surveys. I did most of the walking the
8 services outside of them because it was close to my residence.

9 Okay? So we were given these and if there's a day where it was
10 raining and we couldn't do what we call flame packing, it's
11 flaming hydrogen ionizing testing, then we would work on inside
12 surveys. So I did a lot of inside surveys in this area and I got
13 into most of these buildings.

14 Q. When you say "this area," what area are you talking about?

15 A. The area is Piney Branch, New Hampshire Avenue. It was an
16 area that I was familiar with. There was a large minority
17 population and a lot of the other technicians didn't want to do
18 there for whatever reason. I can only speculate. So I would go
19 there. And when I went there, I didn't go there just to fill out
20 paperwork and said I've been there. I actually did these surveys.
21 And having done these surveys, I came up with a lot of
22 deficiencies and leaks in this area.

23 Q. So let's take one at a time. You said lots -- a lot of
24 leaks. What leaks we are talking about, regulator leaks? Or are
25 we talking about --

1 A. I found --

2 Q. -- pipeline leaks?

3 A. We would call the regulators would be weeping, is a term that
4 we used, weeping. I found a lot of underground leaks. I found
5 leaks in the buildings, which many of them just as a technician I
6 could repair, you know, on the scene. Just, okay, this is what we
7 have to do and we'd just repair it and then you'd note it. But a
8 lot of the underground leaks or leaks that required more work or
9 were beyond my means or my equipment and training, I would call
10 in.

11 Q. So underground leaks, those leaks were involving what?

12 A. Oh, my, there are a lot of underground --

13 Q. I'm talking about material pipe-wise? Is it pipe leaks or --

14 A. Most -- any of the ones going to the buildings in this area
15 they were after -- these were wrapped steel, three-quarter inch or
16 larger.

17 Q. Okay.

18 A. Many of them, the best I can remember, were the -- we had
19 Buffalo valves in some of these areas which were defective and
20 leaking, the company knew about it, and fire valves. But there
21 was -- this area is so congested with pipes they -- for whatever
22 reason, they used -- Washington Gas used a coupling called a NoMac
23 coupling. And there was huge failures with the NoMac couplings.
24 Now, keep this in mind. I'm speaking about what I saw from, you
25 know, 2000 until the time that I left the company. But a lot of

1 these leaks with what I learned about from digging these holes and
2 the leaks were old. There's a certain -- a little residue that
3 will build up around the pipe where it's leaking. And especially
4 we had this problem became exacerbated not just in this area but
5 system-wide in pipe that was -- I'm going to -- I'm guessing
6 because I don't remember the exact date, '69 -- from '69 up.

7 Q. So you are saying the leaks were --

8 A. They were rampant.

9 Q. -- in the valves or they're in the pipe?

10 A. They were in the pipe. They were -- now some of these
11 services came into the building under the slab and would come up.
12 Okay? So you have all this slab here and you have a piece of pipe
13 here and all this pipe under there, which will leak. And gas
14 follows the path of least resistance, so the gas is going to go
15 wherever the easiest place, and it would build up. And I found
16 several locations system-wide where this was a problem. And
17 anytime that you have -- according to my training at Washington
18 Gas, and I'm sure these gentlemen will testify to that, anytime
19 you have gas getting in a building it's a Grade 1 leak, which was
20 our most severe leak.

21 Many times it wasn't handled like that. You would call it in
22 and I was a little -- I was stubborn and I followed our guidelines
23 strictly. And for the simple reason I knew what could happen, I
24 didn't want to be responsible for any damage or death. So I
25 stayed there until I put that responsibility on someone of a

1 higher grade.

2 And many times Washington Gas would downgrade that leak.
3 They'd say, well, that's not really what this is, but according to
4 our guidelines any gas getting inside is a Grade 1 leak and needs
5 to be dealt with immediately. But the company, for whatever
6 reason, the culture changed and we didn't have crews to do this,
7 and so they would downgrade it.

8 Q. Okay. So when you say several, can you maybe narrow that
9 down a little bit? I mean, several can mean many different things
10 to different people. If you recall, can you --

11 A. In one day I called in 300 leaks. Not all Grade 1's, but in
12 one day, and not in this area but in Washington, and I was -- I
13 was cornered by my supervisor and sent with three more experienced
14 technicians and they found more than that with me. We all three
15 walked together and they found it. I don't remember the road, but
16 it was around Florida Avenue, N.W., and Washington Gas had a major
17 project there after about 6 or 8 months to repair these. But I
18 was told I wasn't telling the truth, and we found out that I was.

19 Q. Now, the several leaks you talked about, are they all Grade 1
20 or they are --

21 A. No.

22 Q. So tell us, tell us what different grades mean?

23 A. Grade 1 is the most serious leak, requires immediate
24 attention by the gas company.

25 Q. Um-hum.

1 A. Then the gas company made up another leak called a Grade 2A,
2 which you had to have someone do in 2 weeks. Grade -- no, it was
3 3 days for Grade 2A. Grade 2 was, I believe, 2 weeks. Grade 3
4 did not have to be repaired for a year or so. And then Washington
5 Gas instituted a program where we monitored Grade 3's. We did
6 what's called Grade 3 rechecks.

7 Q. Okay. So your several leaks, I guess 300 leaks that day,
8 were they -- how many of those are Grade 1 and how many of those
9 different grades?

10 A. I'm working on memory, maybe this one day four. That's the
11 most that I had in this area. Now, this is in Washington, D.C.,
12 but the -- most of the pipe in all the same era is what was in --
13 on Piney Branch Road area. The most Grade 1 leaks I called in a
14 day was six, and I was told to go to a lower leak area.

15 Q. All right. What does that mean?

16 A. That means go somewhere and mess around and don't do any more
17 work because we don't have crews to make repairs. This is what my
18 perception because --

19 Q. Okay. That's not what Washington Gas told you?

20 A. Well, yes, it was. I was told that. And another time I was
21 pulled aside by a supervisor and I was said, "You're here to walk
22 services, not to find leaks."

23 Q. Okay. Now going back to Piney Branch, have you worked in the
24 Piney Branch area?

25 A. Yes.

1 Q. And what kind of work you did there?

2 A. I did -- we repaired gas mains. I installed meters. I
3 started to turn people's gas on, did inside leak survey. I did
4 flame packing, which is walking with a flame hydrogen ionizer. I
5 did the high pressure cast iron project, mains on structures. I
6 did everything safety related just about that involved Washington
7 Gas.

8 Q. So on the Flower Branch Apartments, what kind of work you did
9 in those apartments, if any?

10 A. Installed meters --

11 Q. Okay.

12 A. -- turned gas services on, checked for leaks, fire valve
13 surveys, the transmission surveys.

14 Q. So any of that work involve adjusting, connecting,
15 disconnecting, whatever, the regulators?

16 A. Yes.

17 Q. Tell me what will involve you to get involved with the
18 regulators?

19 A. To replace regulators, we didn't have that much problems with
20 them as I remember, but when I did that I did that as a helper
21 helping a higher grade person, a guy we called rough-in, because
22 apartment buildings you have your rough-in people because there's
23 so much that can go wrong. These meter sets in these buildings
24 were old. They're very old. We had problems where I found a
25 meter once -- some of the meter sets are set up against concrete

1 and they're aluminum. Okay? You know what happens? You get a
2 reaction between the chemicals in the concrete or the cinder block
3 with the aluminum. Now it's sitting against a wall, so where this
4 little contact is sometimes it'll just eat away at the meter and
5 you'll get a leak and you'll not know where it is until sometimes
6 -- this is just something that I've seen two or three times,
7 there's a catastrophic failure then you just have gas blowing in
8 there.

9 Also I've seen we had an issue that I'm -- since I was not
10 there and I hadn't been privy to all the information that you
11 have, so it's hard -- I'm only saying what I've seen happen, and
12 from what -- the tape that I've seen of what happened there, what
13 I believe could have happened. There is a regulator station for
14 transmission lines. Before I left there --

15 Q. I'll tell you, before we go --

16 A. Yes.

17 Q. -- before we take that route, I just want to know right
18 now --

19 A. I'm sorry.

20 Q. -- what your involvement in those Piney Branch apartments
21 involved?

22 A. I surveyed most of them.

23 Q. Okay.

24 A. Almost that whole area.

25 Q. Using what?

1 A. On inside surveys we used a type of device that does not have
2 a flame in it to test around the meters and the pipe inside the
3 building and to make sure that there are no problems in the
4 building.

5 Q. Okay.

6 A. I've also responded to leaks --

7 Q. What kind of meters do you use for that?

8 A. Oh, it wasn't -- it's a testing device, a SENSIT, is what
9 it's called.

10 Q. Sense?

11 A. It's a SENSIT. Yeah.

12 Q. And do you know how it worked?

13 A. Yes, I do.

14 Q. Can you tell us?

15 A. You -- there was a wand on it. There was no burning in it.
16 It's been a long time since I've used it. But what we would do we
17 -- the SENSIT, there's a tip on the end of it and you would take
18 and you'd go around the pipe and whatever material or even
19 anywhere in the building or whatever to see if there were any
20 indications of gas. It did not measure a specific amount of gas.
21 It just says there's gas here or there isn't. But usually the
22 louder the tick or the alarm in it was the higher the
23 concentration of gas. When we got that, then we went to a CGI or
24 another meter which gave us a percentage of gas and free air, we
25 could get with that. And it would say, you know --

1 Q. And have you found any inside leaks --

2 A. Yes.

3 Q. -- in Piney Branch area?

4 A. Yes.

5 Q. What kind?

6 A. Inside leaks?

7 Q. Um-hum.

8 A. They were mostly on meters. Every once in a while you would
9 find a regulator weeping. And when I say weeping that means that
10 sometimes when there's a call for gas, the meter would just let
11 gas outside of a vent.

12 Q. Okay.

13 A. But I've also had a problem where they failed.

14 Q. On a meter leaking, what grade that would be?

15 A. If it's in -- most of these were inside so it's a Grade 1
16 leak. But most of them were something that I could repair or I
17 was qualified to repair.

18 Q. And how would you repair that?

19 A. Depending on what was leaking, lots of times -- the meters
20 are the weak link, the weakest link in this gas system. Okay?
21 You have little washers that go up to connect the meter to the
22 meter bar and lots of times they would go bad. And that was
23 mainly where we had problems where just the washers would just get
24 old.

25 Q. And on these internal surveys, was it according to procedure

1 that you're required to do that?

2 A. Yes. You're required to do a survey, but you're only -- the
3 company required us to make three attempts to get in. After three
4 attempts, they would -- said it was done. But my experience with
5 some of the technicians is that they were committing frauds by
6 just going off somewhere and saying that they went in and they did
7 not. This information I presented to Washington Gas on more than
8 one occasion.

9 Q. Okay. And that's your opinion or --

10 A. No, that's a fact.

11 Q. Oh. And by what procedure are you required to go and conduct
12 inside surveys? How often by procedure, if you recall?

13 A. A lot of this, like I said, I don't remember exactly.

14 Q. That's fine.

15 A. But there is, there is a certain -- for inside surveys I
16 believe -- I've forgotten. I don't want to say what I don't
17 remember.

18 Q. No, that's okay.

19 A. But there is a set time.

20 Q. If you don't know, you don't know.

21 A. The company -- and I actually believe that the NTSB requires
22 us to get into these buildings, at least this is what I was told.
23 And I don't remember the exact dates, but I've been to those
24 apartments on more than one occasion to do -- or that whole area
25 to do this occasionally between Prince George and Montgomery

1 County.

2 Q. Have you ever been to the building that exploded?

3 A. I've been in that area.

4 Q. Not area, the building?

5 A. I'm sure I have. I'm sure. I'm positive.

6 Q. Okay. Now why would you go to the meter? Will you go to the
7 basement, will you smell the gas when you go to the meter or --

8 A. You can --

9 Q. -- you won't smell it and you had to use a wand?

10 A. No, I can smell it. And when I say that I have to -- when I
11 say I've been there, I wasn't always the primary, okay? I worked
12 night shift so I was there with other technicians and we would
13 also go in, so I've been there many times. I know the area
14 because, like I say, I live there. So I've been there many times.
15 Usually I would smell the gas long before we would get there. You
16 know, you can smell -- tertiary butyl mercaptan is very irritating
17 to me, and so lots of times we would drive, we would drive looking
18 for these leaks. But you'd get a call from dispatch, you know,
19 there's odor of gas, unknown source, and we would drive around
20 until we would find it and then we'd trace it down.

21 It took time, okay? It's something that you just, you learn
22 to do and you kind of get a feeling of finesse for it. Not
23 everybody would want to do that and it was quite easier to say,
24 you know, fine, there's gas in this area -- and I've heard it go
25 over the radio many times, there's gas in this area, you know, we

1 haven't found it, and they would leave. And we've had -- there
2 are multiple -- in my experience, multiple calls would go out for
3 these same leaks, and if you had a lazy technician or there
4 weren't people to repair it, they wouldn't find the leak.

5 MR. CHHATRE: Off the record.

6 (Off the record.)

7 (On the record.)

8 MR. CHHATRE: Back on the record.

9 BY MR. CHHATRE:

10 Q. So on the Piney Branch, do you work there as helper at that
11 time? The information you are giving us --

12 A. No.

13 Q. -- as helper or you worked there as technician?

14 A. Technician.

15 Q. Or both?

16 A. Both, actually both.

17 Q. Okay. Now if you go to, I guess, reconnect the meter or cut
18 the meter off for whatever reason, customer not paying bill or
19 whatever the reason may be, will you ever have to touch the
20 regulator?

21 A. Did I ever touch a regulator? On a system like that no,
22 because you have one regulator for multiple meters. Okay? So no.
23 No.

24 Q. Now, what -- I guess what complaint or what repair work will
25 involve touching the regulator?

1 A. Touching the regulator?

2 Q. Meaning doing something to the regulator, turning it on,
3 turning it off, disconnecting it?

4 A. It gets -- to turn off below the regulator if it's -- let's
5 say this is outside, below the regulator is a shutoff. To shut it
6 back on you're supposed to hook up a gauge and check it to make
7 sure that you're -- that the flow, that the amount of gas is right
8 and all that, and lots of times that didn't get done.

9 Q. And that was a single family dwelling or multifamily
10 dwelling?

11 A. No, multiple family dwellings that didn't get done. There
12 are actually systems that we have that are new that there's
13 nothing in the engineering manual to be able to do that. There's
14 not -- I mean, I couldn't -- we're supposed to have vents for
15 these, and I remember looking for these vents and I couldn't find
16 them. And I called the supervisor there. This is a different
17 situation, but they're -- but there was nothing in the engineer's
18 manual said that this should be built like this.

19 Q. So elaborate more on when you said it will require you to
20 turn the valve off in the basement or that's all -- everything is
21 outside --

22 A. If we found --

23 Q. -- outside the meter?

24 A. If the only time that I would ever turn off the whole
25 building is if there was a leak inside that I couldn't find. And

1 it was -- that was the only way you could stop the gas. It's the
2 only -- or we were doing some other work, which I didn't do as a
3 6A technician. But we would turn that off. But to turn it on
4 you'd have to have a big group of technicians because you'd have
5 to go in and put test on the line to make sure there's nothing
6 leaking and everything's holding and then you have to relight. So
7 that was never done just by one technician.

8 Q. So for disconnecting the meters or re-hooking the meter back
9 or doing anything to the meter, you wouldn't have touched the
10 regulator in a multifamily dwellings?

11 A. No, not usually. It had to be some really odd circumstances.
12 It had to have been something wrong with the regulator for them to
13 do that.

14 Q. So how will you know if the regulator is failing?

15 A. If it was weeping. From my experience, not the right amount
16 of gas, and then at that point I would call someone with more
17 experience and have them help me with it. One of the --

18 Q. But how would you know that there's a problem with the
19 regulator?

20 A. Not getting enough gas. Sometimes regulators would make
21 noise. They would pulsate or they would just continually pass
22 gas. That's what I've had to deal with.

23 Q. And again, we are focusing on multifamily dwellings.

24 A. Yes.

25 Q. Okay. So if you go into the basement will you hear the noise

1 if the regulator is failing?

2 A. You can. I've heard regulators pulsate. They just vibrate.
3 There's a little piece of rubber on a disk and it would do that.
4 Or I've seen them fail or had to test on other projects where
5 there was a failure in the pressure system and too much pressure
6 was put -- transmission pressure was put on distribution pipe and
7 the regulators, you had to check them to make sure they weren't
8 failed because they're not made to take that. They not security
9 regulators. I've seen that happen.

10 Matter of fact, we had a few instances of that and -- now I'm
11 speaking from experience and what I saw. I spoke to a foreman who
12 was in charge of the transmission and he said something and he --
13 I told him what had happened and he said he would bring that to
14 the attention of whoever. And he says, "Thank you, Curtis," and
15 then he got fired.

16 Q. Now, is it again multifamily dwellings?

17 A. Yes.

18 Q. Okay. So how often you have replaced the regulators because
19 there's a problem with the regulator?

20 A. Not very often. The time we were replacing regulators they
21 -- there was a program to get rid of these mercury regulators,
22 which in these older buildings were in series and they were just
23 causing a lot of problems, more with contractors that didn't know
24 how to turn them on and off and then you'd have a mercury spill.
25 And so we started replacing them. We were told whenever you do

1 your surveys note where the mercury regulators are, and we did.
2 And then after a couple weeks we were told don't worry about it,
3 so we stopped doing it.

4 Q. So what happens if there is no mercury or not enough mercury
5 in the regulator? What could happen?

6 A. The regulators don't work and they just blow gas.

7 Q. Okay.

8 A. Now, if they -- if it's inside through a vent -- most of the
9 ones that I've seen have been inside and that's just system-wide,
10 they've been inside. Now, if that -- the pipe that's used to vent
11 these gases is clogged or whatever, where is the gas going to go?
12 It stays inside. And if it overpressure -- I've seen a couple
13 instances where we've had gas in a building because the regulator
14 wasn't working correctly. Actually I believe twice.

15 Q. Okay. And both were multifamily dwellings again?

16 A. Yes.

17 Q. Okay. And what happens when the no mercury regulators now,
18 what did you say, weeping? What is that term you used?

19 A. Actually if there's not enough mercury in there to do its
20 job, the gas blows.

21 Q. Blows?

22 A. Blows.

23 Q. Through the vent line?

24 A. It's supposed to go through the vent line, but if the vent
25 line is clogged, and a lot of this stuff is 60, 70 years old, then

1 it's going to go somewhere else.

2 Q. Okay. Now if that happens, will the customer get enough gas
3 or they will not?

4 A. They'll get too much gas. Well, if it's -- like I say, it
5 depends. The gas is going to go somewhere. If it overpressurizes
6 the system they're going to get a lot of gas. They're going to
7 get too much gas. It's not going to be at what the industry says
8 and Washington Gas has told us is at safe pressures. It
9 overpressurizes the system. It puts more pressure -- this is what
10 I've observed -- more pressure -- and told by people who have a
11 lot more experience. It puts pressure on that shouldn't be there.
12 And so it goes -- gas goes where it's going to go and if there's
13 something really weak, guess what? It's going to find somewhere
14 to go, whether it's out of the pipe or --

15 Q. Tell me.

16 A. It's going to go and find a way to escape and it's going to
17 escape. And then whether it escapes, it's going to build up. If
18 the -- if there's somewhere else for it to go and it doesn't build
19 up to a level between 4 and 14 percent, it's not dangerous but
20 there's still gas there. As soon as it gets 4 and 14 percent --
21 if it's below the 4 percent, it's there but it's not -- it's not
22 at the explosive level. Between 4 and 14 percent you get a point
23 of ignition and then it explodes.

24 Q. Tell me again, if the vent line is blocked you are saying
25 that -- you are asking me where will the gas go. Tell me where

1 the gas goes.

2 A. Gas is going to go and find and take the path of least
3 resistance.

4 Q. Well, tell me, from your experience.

5 A. It's going to get -- it goes -- it'll go into a building.

6 Q. I have a regulator in the multifamily dwelling and my vent
7 line is blocked and --

8 A. It's going to go into the building.

9 Q. -- there is no mercury so how -- where -- how will the gas go
10 from my regulator now? Where will it go?

11 A. It's not going to be able to go where it's supposed to go and
12 it's going to go inside a building.

13 Q. How will it go inside the building?

14 A. It can go in a building through the pipe that's piped
15 throughout the building. It'll go in through a stove --

16 Q. So --

17 A. There's regulator on a stove, a gas valve on a stove. If
18 it's not capable of holding that pressure back, it's going to go
19 through and it's going to fill the --

20 Q. And so what happens to the customers, I mean, the --

21 A. Well, they're going to -- anybody that can smell anything is
22 going to smell that mercaptan, that tertiary butyl mercaptan.

23 They're going to smell it, and it's put there -- it's not

24 something that's naturally occurring in natural gas. It's put

25 there as a safety measure for people who don't know gas to say,

1 hey, I smell something and I need to call the gas company or the
2 fire department and tell them this is here.

3 Q. So people are going to smell the gas --

4 A. Yes.

5 Q. -- inside the building?

6 A. They're going to smell the mercaptan that's in the gas, yes.

7 Q. Even if the range is not on or the stove is not on?

8 A. If there's a leak they're going to smell it.

9 Q. Okay. Now going back to again the Piney Branch and the
10 building that blew up, the apartment complex, have you ever
11 smelled gas in the basement? You said you went there quite often.

12 A. Almost always. Anytime you did an inside leak survey of the
13 area or you were outside in this area on Piney Branch Road, on New
14 Hampshire Avenue, that whole area, you always smelled gas from
15 somewhere.

16 Q. And what will you do then? Or what did you do?

17 A. Oh, you're talking about gas -- if I smelled -- if I was in a
18 building doing an inside leak survey and if it was in my, you
19 know, skill set, I repaired it myself. If I had a problem, I
20 would call dispatch or I'd call another technician and he would
21 meet me there, or they'd call rough-in. If it was a leak that I
22 found that was underground, then I would call dispatch and -- if
23 it was a Grade 1, and they would come out. Otherwise I would take
24 and write -- back then we had a paper system. I'd write up what's
25 called a UWO, a unified work order. Only for -- you don't write

1 those up for Grade 1's, but 2's, 2A's and 3's, you'd write that up
2 and you'd turn that in at the end of the day. But if it was --
3 but you could not drive in this area without smelling mercaptan.
4 There --

5 Q. When you say the area, meaning the Piney Branch?

6 A. The Piney Branch area. I'm sorry. I should have -- the
7 Piney Branch, you could not. It was an old system. They weren't
8 all leaks that we would call Grade 1's, but still you don't know
9 that until you look. But many times we would start finding these
10 leaks it would overwhelm the system and I was told to go to a low
11 leak area.

12 Q. And do what?

13 A. Not find leaks.

14 Q. Can you have --

15 A. Don't you have any plastic to do? This is what I was told.
16 Do you have any plastic, which means plastic pipe which is a lot
17 newer. And so I'm like -- and they would say new plastic because
18 we have black plastic and, I mean, that's failing everywhere or at
19 least it was then. I can't say what it's been the last few years,
20 but you'd go somewhere else.

21 Q. So tell me, going back to work assignment, how is your
22 assignment given to you?

23 A. You would go and see your supervisor back then. My last
24 supervisor was Joel and I forget his last name, but he would give
25 you your projects to do. Then he would tell me to organize them

1 and to go and just do it. And it was set up because, you know, a
2 lot of it depended on weather. You weren't supposed to flame
3 pack, which is the outside work, when it's windy or if it's
4 raining and snowing, which we did often anyhow. And you'd get it
5 and then you had a certain amount of time to get, like, your
6 inside projects done and things like that or your transmission
7 lines done, and then you'd just turn in the paperwork to the
8 supervisor. If you found something, depending on the severity,
9 you would call it in immediately.

10 Q. So if they are giving you assignment, why would they ask you
11 to go and look somewhere else?

12 A. Because they don't --

13 Q. I'm just confused.

14 A. -- have crews to repair these leaks.

15 Q. Well, other than leaks, if they are giving you an assignment,
16 then why would they ask you to --

17 A. They don't have crews to repair the leaks. So if they -- if
18 you -- if I call in two Grade 1 leaks, which I have often, they
19 have to send two crews to repair these leaks. And because I did
20 these surveys I found leaks, and I didn't go out there just to
21 walk or to sit in the truck and -- we had a map and you'd color in
22 where you went and if you have a leak here and it's a Grade 2,
23 you'd circle it and write down where it is and the readings that
24 you got and the like. Now I did this, and when I found these
25 leaks people weren't very happy because they did not -- I'm

1 telling you what they told me -- because they don't have crews to
2 repair it so go somewhere else.

3 Q. Okay.

4 A. This happened all the time. I was also, when I found Grade 1
5 leaks on more than one occasion, was told to downgrade it and I
6 wouldn't do that. And they would send -- they finally just
7 started sending a higher grade person out there to downgrade it
8 and just say this is what it is, even when you'd have gas blowing
9 in a structure. And one instance particularly in Southeast
10 Washington, the technicians didn't want to go down to this area
11 and we had gas, low pressure gas blowing in a sewer. And I
12 wouldn't leave it. They sent out another -- a Grade 7A employee
13 down there, and I heard on the radio where he downgraded it to a
14 Grade 2, and we have gas blowing and it's a Grade 2.

15 Q. So at Piney Branch, did you ever replace any regulators in
16 any of the buildings?

17 A. I have assisted as a helper, yes, I have.

18 Q. So what the procedure requires you do or requires you to do
19 once you replace the regulator? Are you required to tell why you
20 are replacing it?

21 A. Are we required to tell?

22 Q. No, I'm asking you the procedure, why you do --

23 A. Oh, what -- as a helper I watched -- because like I said, in
24 big stuff like this, you know, multifamily dwellings, you have a
25 rough-in fellow because he has more tools, more equipment because

1 he might have to cut pipe and anything else.

2 There is a procedure we go through. We test the gas
3 pressures because every -- they're all off. You turn off all the
4 meters. You'd hook up your gauge to one side of it and then you'd
5 run your test. Okay, it's working correctly, okay, well -- and
6 then we'd have to go in each apartment, we'd turn on -- after we
7 test the line to make sure they're not leaking, we put a leak test
8 on it, and then we go and we relight the appliances, make sure
9 everything is functioning and check everything for leaks and then
10 that was it.

11 MR. CHHATRE: At this point I'm going to stop and let other
12 people ask questions. I think I have -- Kelly, do you have any
13 questions?

14 BY MR. EMEABA:

15 Q. This is Kalu Kelly Emeaba. I just want to go back to the
16 last question he ask you and I'm not sure the question was kind of
17 -- very clear to me. He did ask you a question that have you been
18 involved in mercury regulator replacements?

19 A. Mercury regulator replacement, yes.

20 Q. Yes. Okay. And a follow-up question, you said that when you
21 do the replacement do you not -- reason why you replace the
22 regulator?

23 A. Do we not reason why we --

24 Q. Or do you note it? Do you put it down? Do you --

25 A. Yes.

1 Q. How is that documented?

2 A. It's actually -- the work was, when we had to replace those,
3 was usually given to us via the computer or a work order that we
4 had a program to replace mercury regulators. We replaced them
5 because they were old and things wear out, so that's why you
6 replace the mercury regulators. And they're also a hazard. It's
7 not just because of the way they're functioning. When they were
8 old, it's the spilling mercury became a problem.

9 We've had a few mercury spills, one in particular in Silver
10 Spring, and gas started leaking and the Montgomery County Fire
11 Department responded. And there's mercury all over the floor and
12 we failed to follow procedure with the cleanup or the notification
13 of the fire department personnel that they were walking in
14 mercury.

15 Q. Okay. If I may ask you further question on that?

16 A. Yes.

17 Q. Beside the one you worked with somebody as a helper, if you
18 can recall it, on your own, are there regulators you replaced at
19 the Piney Branch apartments?

20 A. Have I replaced regulators there myself?

21 Q. Yes.

22 A. No, I did -- I have, I'm pretty sure, as a helper.

23 Q. Okay.

24 A. And I say this to the best of my recollection. This is many
25 years ago, and we did a lot of work.

1 Q. Okay. And I also want to tag back on a previous response you
2 gave. I'm interested just to learn further. You mention that
3 what you do -- let me put it this way. What do you mean by when
4 you said, when we press the mercury regulator it may continue to
5 release gas outside the unit?

6 A. Can you repeat that, please?

7 Q. What do you mean by this? You said when you press on --
8 mentioned during your normal activity, gas activities, and you
9 mentioned that when you press the mercury regulator it continued
10 to release gas outside the unit.

11 A. We're talking about pressure. Okay. It's supposed to -- the
12 regulator, the job of the regulator is to keep the pressure to
13 within what we call houseline pressure. It goes from transmission
14 pressure from a regulator to distribution pressure, and it goes to
15 the regulator that changes it to house pressure. Now what would
16 happen is that on many, many occasions they would fail, and there
17 is -- the regulator is made so that we don't overpressurize.

18 So if there's overpressurization, oh, this isn't supposed to
19 be there, it shifts it outside to where it's safe until it can be
20 repaired, if the vent line is open. If it's not open, pressure's
21 going to build up and it's going to -- again, it's going to go
22 where it wants to go or it's going follow that path of least
23 resistance, which in this case if it's not going out, it's going
24 to be going in.

25 Q. Okay. Does that -- is that what you mean by when you press

1 the regulator, mercury regulator, and it begin to release outside?

2 A. I don't remember saying anything about press. If I did, I'm

3 -- I was --

4 Q. All right. I know you were responding to Ravi's question --

5 A. Yes. Yeah.

6 Q. -- when you mentioned that. I was wanting to tear it down --

7 A. Yes.

8 Q. -- just to learn more --

9 A. Yes, sir.

10 Q. -- about it. And you talked about work that you did, which
11 did, of course, did not involve replacement of regulator mostly.
12 But the other question I want to ask you, in part of your previous
13 experience in the work you did, do you have work that involve
14 connection or reconnection or disconnection of the vent pipe?

15 A. Yes.

16 Q. Can you explain for that work detail?

17 A. We -- when we would do surveys on inside services or houses
18 or anywhere, we had old vents that we would -- that was part of
19 the -- well, since we're there you need to see if the vent line is
20 clear and you'd put up this new type of cap on the vent pipe
21 because, you know, a wasp would get in there and spiders and clog
22 it up so you started putting in new. So as part of the survey we
23 would change those vent caps and we would check to make sure with
24 pressure that the vent lines were flowing, and also they didn't
25 have a certain number of elbows in it which reduced the pressure.

1 I don't remember all these things, you know, I'd have to look it
2 up and I don't have this information anymore, to make sure they're
3 working properly.

4 Q. Okay. Such action are they applicable to the multi-dwelling
5 units?

6 A. Yes.

7 Q. Okay.

8 A. Now when I'm talking about these regulators, this regulator
9 specifically, the one that I'm speaking about, is when the
10 regulator is inside.

11 Q. Yes, for inside --

12 A. Yes.

13 Q. -- work.

14 A. Yes, sir.

15 Q. Yeah. Okay. If -- you know, take me as a layman. If you
16 can guide me step-by-step what actions do you have to take? Where
17 do you have to disconnect and where do you have to reconnect the
18 vent pipes in the process of this work?

19 A. You would -- the vent pipes from an inside regulator go
20 outside. There is a pipe that screws, depending on the side of
21 the regulator, of course, that pipe screws into the regulator and
22 then it goes up and it goes through a wall to the outside
23 atmosphere with a cap on it. To clean it you, what you do is you
24 take it apart and there was a brush we'd run through it and then
25 we'd put pressure on it to make sure it was clear.

1 Q. Is that -- do you use gas pressure or?

2 A. No. No. We just use air pressure. Some of the guys had
3 their own little things that blow air through it. I just would --
4 at that time we were just using a brush to clean it out, you know,
5 like you use for any vent, smaller size, you know, for your dryer
6 or something like that, we used.

7 Q. Okay. Do you do that as part of meter replacement or turn on
8 activity or turn off activity or if you are called, what
9 conditions actually is this?

10 A. We were supposed to do it anytime we're in there doing any
11 work. That was part of maintenance was to make sure that the vent
12 lines were clear. Many times this is not the case. I've had to
13 go back on jobs, especially ones the contractors were on, and
14 procedure was not followed. It was not the same thing. Now maybe
15 they had a different procedure given to them, but it was not the
16 procedures that Washington Gas had laid down for its technicians.
17 So many times we would go and make it right, or lots of times I'd
18 just make a note and then, you know, where it went after that I
19 don't know.

20 Q. Okay. And just to dig in further because -- we can say
21 something that will be general.

22 A. Yes.

23 Q. When you say as part of maintenance, what kind of
24 maintenance?

25 A. Just the general maintenance that it took to get the -- to

1 keep the gas flowing. Like, we would come across problems and
2 things and one of the problems was that we were getting these mud
3 wasps in the vent lines. So what do they do? You have to check
4 and make sure they're clean and put this new type of vent on
5 there, which was a smaller diameter screen than these, we call
6 them mud wasps or mud daubers, couldn't get in.

7 Q. Okay. So if I may ask, because I don't know the procedure
8 that Washington Gas follow on that. These nature of maintenance
9 that would require a disconnection of the vent line and
10 reconnecting them, is that a routine maintenance like yearly,
11 annually, or biannually or something like that?

12 A. No. Then it just happened, if you were there, do this. If
13 you're called there for a problem, do this. If you're going to
14 replace this, do this. Or even as part of just survey for even
15 when I was a Grade 5 -- that's before I was doing the meter work
16 and like that as a 6A, we would go and the gas company would have
17 us to change these caps on the vent lines.

18 Q. Okay. The caps on the vent lines?

19 A. Yes, sir. We would not go and clean out the pipe. Grade 5's
20 weren't allowed to do that. We would just take and we would --
21 actually we'd paint meters and pipe and then we'd just replace
22 that little cap. And that was all we were required to do as Grade
23 5's. That was just really, you know, something, all right, do
24 this; this is new. Okay, we'll do it.

25 Q. Okay. From your best recollection, what does your procedure

1 require you to do both in the area of step-by-step of
2 disconnecting the vent line and also making sure they are properly
3 installed back after you've done any cleaning?

4 A. You would make sure -- step-by-step, you mean unscrewing the
5 pipe and --

6 Q. Yeah. Does the procedure specify how this work should be
7 carried out?

8 A. No. If it is, it was never shown to me. It was just, okay,
9 Curtis, go and take this pipe apart and you know -- they would
10 teach you how to buck the pipe and take it apart. So you'd take
11 it apart, you'd clean the line and you'd put it back together.
12 I'm sure that they're going to find something -- granted things
13 change and I haven't been there for a few years, so I can only say
14 what I was told and what I was shown, so -- but no, take this
15 apart and clean this. Okay. And that was pretty much it.

16 Q. Okay. And how to assure that the vent pipe is reconnected in
17 place?

18 A. You --

19 Q. I'm not a technician, ensure, make sure that the vent pipe is
20 reconnected in place?

21 A. What you're supposed to do -- now, that's a pretty common-
22 sense thing. You screw the pipe in. It wasn't -- a vent pipe was
23 not required to be, this is what I was told, gas tight. You know,
24 we put a lubricant on it. We would say sealant. Goes no, it's
25 not sealant; it's a lubricant. We would just connect it and make

1 sure it was clear and that was it; just reassemble it, you know,
2 in the opposite order that we took it apart.

3 Q. This is -- anyway, that's fine. Thank you.

4 A. Oh, no, if I can --

5 MR. EMEABA: Please.

6 BY MR. CLEMENTSON:

7 Q. John Clementson, Public Service Commission. I've got one
8 quick question. A while back and you refereed to some of the
9 valves as a fire valve?

10 A. Yeah.

11 Q. What is that?

12 A. A fire valve is a valve that's outside of a building in a --
13 usually in a galvanized pipe. I believe it's 2 inch, 2½ inch, and
14 it has a cap on it and it's made to shut off the gas in the
15 building if you don't have ready access to get in the building.

16 Q. Okay.

17 UNIDENTIFIED SPEAKER: It's what we call a curb stop, too, I
18 think, right?

19 MR. GRAY: No. These were different than a stopcock.
20 Stopcocks weren't usually on top of the building and they were
21 usually just in the ground with a top on it. These were --
22 there's a pipe that comes up and then there's a cap on it and then
23 usually the valve is close to the top of the pipe. Stopcocks are
24 way in the ground and usually a little bit harder to do that.

25 Mr. Clementson, I've got to ask you. I took you to a

1 transmission leak in Branch Avenue, didn't I?

2 BY MR. CLEMENTSON:

3 Q. Yeah, on Branch. Well --

4 A. Yes, it was.

5 Q. -- we traveled a couple places.

6 A. By Suitland Parkway.

7 Q. We traveled a couple of places.

8 A. Where we found that leak by that building that exploded.

9 Yes.

10 MR. CLEMENTSON: I'm done.

11 MR. CHHATRE: You're done? Okay. Okay.

12 BY LT. OLIN:

13 Q. Bill Olin, Montgomery County. So you -- I think I heard you
14 say that you worked on 2-pound systems? Is that what you said
15 early on in your interview?

16 A. We had 2-pound systems and we also had some in buildings that
17 were inches water column.

18 Q. Okay. Do you recall what the -- how much pressure was down
19 there in the area of Piney Branch and Arliss? Is that a --

20 A. As far as what?

21 Q. At like out in the street coming into the building?

22 A. Out in the street I believe -- like I said, it's been a long
23 time, but this was an odd part of the system so we used mechanical
24 couplings on this system and I believe that the distribution
25 system, I believe that's 55 pounds -- I'm not positive -- outside.

1 I don't -- inside the building, it was an older building, unless
2 they changed it since I left, it was inches water column. It was
3 not a 2-pound system.

4 Q. Okay. When a regulator was weeping is it possible that
5 someone would call in a gas -- an odor of gas?

6 A. Yes.

7 Q. You come out and that gas -- that odor has dissipated? Is
8 that, is that a possibility?

9 A. The wind blows the gas around, but it still -- any technician
10 -- gas just doesn't go away. If it's leaking it's not going to
11 stop by itself, and any good technician would look until he found
12 it.

13 Q. Okay. This is just -- 300 leaks in one day. Can you sort
14 of --

15 A. Sure.

16 Q. I mean --

17 A. Different areas, you know, you have places where they're old.
18 We have gas pipe in the ground, I mean, how old is it, 1800s, we
19 have gas piping? Yeah, we do. Some of it even on 17th and --
20 17th Street -- 17th and K area was -- I believe that was 1874. So
21 there are going to be leaks. We had a huge rash of leaks from
22 what Washington Gas told us was from putting liquefied natural gas
23 into the system and NoMac couplings were common. Are you familiar
24 with the NoMac couplings? It's a pressure coupling that goes on
25 mostly three-quarter-inch pipe and it's got two rubber seals in it

1 with springs on it and you -- my best description -- you tighten
2 it up and it seals. We had a rash of them leaking. We also have
3 -- recently Washington Gas has a problem in Woodbridge with these
4 same kind of leaks. So they were everywhere.

5 In this area, Piney Branch, New Hampshire Avenue, Georgia
6 Avenue, we still have in the ground -- excuse me -- we -- I don't
7 work there anymore -- Washington Gas has plain unwrapped steel in
8 the ground and there's a lot of copper services. There's a huge
9 problem when I was there, at least from my observations, with
10 these things leaking. And they're not all these Grade 1 leaks,
11 but they can well become one because, as we know, gas follows the
12 path of least resistance. And where these pipes are in the ground
13 there's phone in the ground, there's power in the ground, and that
14 -- wherever the ground has been disturbed or the ground is loose,
15 that gas is going to follow it.

16 Case in point is in District Heights. We had that -- excuse
17 me -- Washington Gas had that house explode where there was no gas
18 to it. I was on that when we had gas blowing inside water boxes
19 there. So, I mean, there's -- I've seen gas travel 3 or 4 blocks
20 from where it originated because that was the only place it could
21 come out was way, way down the street. And we'd spend a lot of
22 time trying to find out where they were, because just because
23 you're getting your indications here does not mean that's where
24 the pipe is broken. But anywhere in that area you can smell, you
25 know, tertiary butyl mercaptan just anywhere.

1 Q. Um-hum.

2 A. You know, it travels. It doesn't just -- and it's actually,
3 it's strong, it's pungent. It travels.

4 Q. You, at your time at Washington Gas, where were you working
5 out of, what office?

6 A. I worked system-wide.

7 Q. Okay.

8 A. I worked from West Virginia to Southern Maryland, just
9 everywhere. When they had a problem -- when the company liked me
10 before I started bringing up things to that, in my opinion, they
11 didn't want to hear, I had wide range. They would send me where
12 there was a problem or to get into secure locations or things. So
13 I was everywhere.

14 Q. Okay. I think when I spoke to you on the phone you told me
15 that you had found another leak that resulted in the explosion
16 in --

17 A. I found several.

18 Q. -- in --

19 A. One was -- two were Forestville, one was District Heights. I
20 was there.

21 Q. In Montgomery County. Rockville? Did --

22 A. Oh, that house off of -- up -- Rockville Pike?

23 Q. Yes.

24 A. I called in a leak there many years before.

25 Q. Okay. At that house?

1 A. Yeah.

2 Q. Okay.

3 A. What is that area there? I think that's it. It's been a
4 long time.

5 Q. Okay.

6 A. But when I called it in, it was a 2A.

7 Q. So I just want to -- so that incident that you told me about
8 on the phone, you didn't actually find the leak prior to the house
9 -- I mean --

10 A. Oh, yeah.

11 Q. -- right subsequent to the house exploding?

12 A. No. It was just not repaired and the leaks don't fix
13 themselves.

14 Q. All right.

15 A. And like the same thing with the one in Forestville.

16 Q. If you recall where that leak was?

17 A. It's been a long time.

18 LT. OLIN: Okay. Okay. I've got nothing else.

19 BY MR. PRICE:

20 Q. Mr. Gray, I understand --

21 MR. CHHATRE: Identify yourself.

22 MR. PRICE: Oh, sorry. Steven Price, Systems Operations,
23 Washington Gas.

24 BY MR. PRICE:

25 Q. I understand from Mr. Olin's questions that you apparently

1 contacted Montgomery County after the incident on Arliss Street;
2 is that correct?

3 A. Which one? Say it again, please?

4 Q. After the incident in Silver Spring, it is you who contacted
5 Montgomery County?

6 A. Which one in Silver Spring?

7 Q. The one on Arliss Street. The incident that's being
8 investigated here today.

9 A. Yeah.

10 Q. You contacted them?

11 A. I contacted them way before then, years before I called that
12 office.

13 Q. Did you contact them after the incident on Arliss Street?

14 A. Yes. Before and after, yes.

15 Q. And you were interviewed by Montgomery County --

16 A. No.

17 Q. -- fire investigators?

18 A. No.

19 Q. Just the telephone --

20 A. You're going to have to say what you're quantifying as an
21 interview. Did I speak to them on the phone and give them some
22 information? Yes.

23 Q. Okay. And who did you speak with? Mr. Olin?

24 A. I don't remember.

25 Q. You indicated you're currently unemployed.

- 1 A. Yes.
- 2 Q. How long have you been unemployed?
- 3 A. Oh, about 7, 8 months.
- 4 Q. And where were you employed prior to that?
- 5 A. I worked for Le Vian Jewelers.
- 6 Q. For how long?
- 7 A. For a year.
- 8 Q. And prior to Le Vian Jewelers?
- 9 A. I worked for the West Virginia Department of Corrections.
- 10 Q. For how long?
- 11 A. For a year.
- 12 Q. Prior to that?
- 13 A. I worked for Washington Gas.
- 14 Q. You indicated that you were terminated from Washington Gas,
15 correct?
- 16 A. Yeah, you know that.
- 17 Q. I'm asking you.
- 18 A. Yes.
- 19 Q. You were terminated in 2007, correct?
- 20 A. It was 2007 or 2008.
- 21 Q. If the termination letter said 2007, would you disagree with
22 that?
- 23 A. No.
- 24 Q. So that's almost 10 years ago.
- 25 A. Yes.

1 Q. You've told me that you worked for the Department of
2 Corrections for a year and the jeweler's for a year.

3 A. Yes.

4 Q. That still leaves about 7 years since the time you were
5 terminated. Did you -- were you employed in those 7 years.

6 A. I was in a car accident and crippled.

7 Q. So you were unemployed that entire time until you --

8 A. Yes.

9 Q. -- began working for the corrections?

10 A. Yes. I was involved in a car accident and I broke both my
11 hips.

12 Q. After you were terminated you filed a grievance against
13 Washington Gas, correct?

14 A. Yes.

15 Q. And you were terminated for cause, correct?

16 A. They said it was for cause, but when -- if I can, when I -- I
17 had nothing in my personnel file until I brought to the attention
18 of Washington Gas, not outside the agency, but I let them know --
19 I let you all know about the problems we were having with fraud,
20 with people not filling out their paperwork, with leaks that we
21 weren't repairing, and I didn't want to be responsible for it. So
22 I came to Washington Gas first.

23 After I came to Washington Gas and they refused to do this
24 and I had other employees telling me that this wasn't happening, I
25 became a shop steward for the Teamsters. Okay? After I became a

1 shop steward for the Teamsters, I started getting threats from
2 some of the white guys in the company and the like. And when I
3 wouldn't respond with -- I'm not stupid, all right? I was a
4 policeman for many years. And no one's going to goad me into
5 yelling or pushing or anything, but I was assaulted several times.

6 The Fairfax County Police Department investigated one assault
7 from this union employee that was threatening to shoot all the
8 immigrants because he didn't want to go down to this area on Piney
9 Branch. Okay. His name is Greg Johnson. I have my notes in my
10 bag from the union meetings. And then Greg started to threaten
11 me. Mike Hampton assaulted me and I made a report with the
12 State's Attorney's Office. And after that, Washington Gas decided
13 that -- well, actually they compared me to the Virginia Tech
14 shooter, okay? And then every time I turned around I was getting
15 written up for something.

16 And but this only happened when I reported these incidents of
17 the gas company failing to follow our own procedures. So they
18 wanted me out. Now granted, for someone who's fired, they're
19 trusting me to do the surveys at the White House and other secured
20 buildings, so they decided, well, I'm violent and you're fired.

21 Q. When you spoke to Montgomery County did you tell them --

22 A. Which time?

23 Q. -- that you -- the last time after the incident?

24 A. Yes.

25 Q. Did you tell them you had been fired by --

1 A. Yes.

2 Q. -- Washington Gas?

3 A. Yes.

4 Q. Did you tell them the reason?

5 A. Yeah.

6 Q. And what was the reason you told them?

7 A. The reason I told them was because it was reporting incidents
8 and you all didn't like it.

9 Q. What was the reason in your termination letter for your
10 firing?

11 A. They said the last time that I spoke with them, they --
12 actually they changed the reason that I got fired several times --
13 was because I threatened Greg Johnson.

14 Q. So you were fired for threatening another employee?

15 A. Allegedly threatening Greg Johnson, but it was his word
16 against mine and that was it. And Greg Johnson is someone that I
17 had reported to Washington Gas and actually got a warrant for him
18 the month before for threatening me at Northwest Station.

19 Q. So the reason that you were terminated in the letter was
20 violation of the company's workplace violence policy, correct?

21 A. This is the reason that Washington Gas made, but they could
22 not back that up because they had one person's word. And like I
23 said when I started this meeting, I'm not here to bash Washington
24 Gas but to only present facts. And I think we're getting off of
25 the facts. And what we have to back up what I said and what I

1 showed a few police departments, the NTSB, is the incidents that
2 we've had, and I think that that should be what we get back to.

3 I don't want to go back to work for Washington Gas. I don't
4 even hold any -- I knew that they would fire me when -- or had a
5 good feeling when I blew the whistle on them. So that's not even
6 important to me. But what -- and I'm not angry with you. I had
7 the greatest respect for all of you there, but I did not actually
8 believe that you all knew what was going on in the field. So I
9 took a chance to tell you and all I got was retaliation.

10 Q. So you believe your firing from Washington Gas was in
11 retaliation for your raising legitimate issues about pipeline
12 safety?

13 A. It was, and it's unfortunately, and I'm not happy about it,
14 but it's proven itself to be true with the injury of a few people
15 and the deaths of others, which I'll leave with you.

16 Q. So your objection to the termination, you actually filed a
17 grievance in accordance with your labor agreement, correct?

18 A. Yes.

19 Q. Objecting to the termination and raising these very issues,
20 correct?

21 A. Yes, but the issue that I raised initially is what caused the
22 other problems.

23 Q. And in accordance with that grievance that case went to an
24 arbitration proceeding, correct?

25 A. It went to an arbitration meeting that was -- this is a

1 separate issue than these explosions.

2 Q. Did it go to an arbitration?

3 A. Excuse me. This is --

4 MR. CHHATRE: Can we go off the record for a second?

5 (Off the record.)

6 (On the record.)

7 MR. CHHATRE: Anyways, back on the record.

8 MR. PRICE: There is one other point that I think is relevant
9 to the motivation here and that is after the arbitrator denied
10 Mr. Gray's grievance, he also filed an action in Fairfax County
11 alleging the company was guilty of discriminating against him
12 based on race, which was also dismissed. So I'll just leave it
13 there, having established that.

14 MR. CHHATRE: Okay.

15 MR. PRICE: Okay?

16 BY MR. PRICE:

17 Q. Mr. Gray, going to Building 8701, what is your -- were you
18 ever in Building 8701?

19 A. I have been in or attempted to get in every building there.
20 As you have said, that it's been years. If I were -- I requested
21 some survey paperwork, the flame pack, the quad maps and also the
22 inside leak surveys, if you would provide them, I could say that.
23 No one -- I'm not going to say no one but most people aren't going
24 to remember. I've done thousands upon thousands of surveys there,
25 and I know I have been in most of those buildings, if not as --

1 with myself but with others. Now, we --

2 Q. Is the, is the --

3 A. Excuse me. Now you've asked me questions about why I was
4 fired and the like. Before any -- I ever had anything to -- or
5 any problems with Washington Gas where they wanted to fire me for
6 workplace violence, there was nothing until I reported these
7 things to you. So what I'm going to say is that they did not want
8 to deal with this, and everything that I reported, everyone that I
9 called -- I called the Montgomery County Fire Department multiple
10 times before, probably back up into 2005 and 2006. Okay? So that
11 was before anybody had a problem with me.

12 So this is not about me not -- or trying to get back at
13 Washington Gas and wanting -- my opening statement was I'm not
14 here to bash them. I'm here to present information.

15 MR. CHHATRE: Going back to the question.

16 MR. GRAY: Yes.

17 MR. CHHATRE: Because the question is --

18 MR. GRAY: I have been in that building, yes.

19 BY MR. PRICE:

20 Q. You have a positive recollection of being in Building 8701?

21 A. I drove past it and saw it, yes, what's left of it. Yes, I
22 have.

23 Q. You've been inside the meter room?

24 A. Yes.

25 Q. What does it look like?

1 A. How long ago was this? I just said it's been a long time.
2 But I know I've been inside that building doing work. As a matter
3 of fact, it's one of the buildings I was in to get my
4 certification as 6A.

5 Q. So describe it.

6 A. It's been a long time.

7 Q. So you can't?

8 A. It's been a long time. I think that's reasonable. It's been
9 a long time. There's nothing left now.

10 MR. CHHATRE: Clearly the answer is you -- do you recall or
11 you don't recall?

12 MR. GRAY: I don't remember what it looked like.

13 MR. CHHATRE: Okay.

14 MR. GRAY: No.

15 BY MR. PRICE:

16 Q. Do you remember any of the meter rooms in the Flower Branch
17 Apartments?

18 A. Specifically, no. I've done thousands of these surveys,
19 thousands, so do I remember each individual one? No, I don't.

20 Q. When did you report 300 leaks in one day, and to whom did you
21 report it?

22 A. It's on a -- there were two maps done in Washington, D.C. and
23 a high concentration, it was right around that number. I'm trying
24 to remember the street. But these were outside leaks. And there
25 were also two other technicians with me that also reported the

1 same number of leaks. Actually there were a few more.

2 Q. So it was in Washington, D.C.?

3 A. Yes.

4 Q. Yes.

5 A. And before all of this happened, they wanted to fire me and
6 the like, I dealt with the Cooperation Commission in Washington.
7 I thought that this gentleman was Dr. Newday (ph.). And since
8 this time, though -- it's taken me years to get people to listen
9 to me to actually see what's happening. There were -- do you know
10 about the independent survey that was done in Washington, D.C. and
11 how many thousands of Grade 1 leaks did they find, sir? You don't
12 know that? I asked you a question.

13 Q. Did you file, did you file a complaint with -- did you file a
14 complaint with the District?

15 A. Yes.

16 Q. Okay. So that should speak for itself.

17 A. No, it shouldn't. You should -- I asked you a question. Do
18 you know how many there were? So it doesn't look like -- and this
19 was before I had a problem with Washington Gas wanting to get rid
20 of me. I let the company know, and when you wouldn't do -- you,
21 when I say you, I mean the company. Then I had to go somewhere
22 else. And I did that in good conscience, knowing perfectly well
23 that I was going to have to deal with you all trying to fire me
24 for some reason or something. But Washington Gas as a company
25 initially was very good to me. The culture changed. They started

1 ignoring things, especially in poor neighborhoods, and things
2 started happening. And I hate to say when I'm right.

3 MR. CHHATRE: Just like what I told Washington Gas --

4 MR. GRAY: I'm sorry. I'm sorry.

5 MR. CHHATRE: -- I'm telling you.

6 MR. GRAY: I'm on a tangent. Excuse me.

7 MR. CHHATRE: Just please leave these matters out and just
8 answer the questions being asked. If you do not recall, simply
9 say you do not recall and that's perfectly fine.

10 MR. GRAY: Okay.

11 MR. CHHATRE: So --

12 BY MR. PRICE:

13 Q. When you were asked about replacement of regulators, did I
14 understand you correctly to say that you never did that alone?

15 A. Not commercial. No 6A technicians did that on their own.
16 That was a rough-in job.

17 Q. So whenever you were present in the replacement of a merc
18 reg, you were in the presence of somebody more qualified than you?
19 Is that correct?

20 A. Yes.

21 Q. Whenever you detected a leak did you properly report it as
22 you were qualified to do?

23 A. I reported leaks according to the rules and regulations of
24 Washington Gas and what the criteria said that the leak were,
25 every time.

1 Q. So you never left a leak unreported either outside or inside?

2 A. I have never detected a leak with my equipment to the extent
3 that the equipment worked and not reported it. I have never
4 failed an audit ever.

5 MR. CHHATRE: Let's go off the record for a minute.

6 (Off the record.)

7 (On the record.)

8 BY MR. PRICE:

9 Q. Mr. Gray, the department that you worked in when you were
10 identifying leaks, which department was that?

11 A. Well, it's been a long time.

12 Q. Do you not know the name of it?

13 A. We -- the last department I worked in was leak survey.

14 Q. Right. And how long were you in the leak survey?

15 A. For Washington Gas as an employee I believe it was almost 3
16 years.

17 Q. Okay.

18 A. I'm not trying to be -- I believe it was almost 3 years. And
19 there were 2 years or a year and a half I did that as a contractor
20 for Heath Consultants.

21 Q. Okay. And besides the, what you refer to as minor repairs
22 that you might do as a leak survey technician, if there were any
23 major maintenance or repairs that had to be done, would you call
24 in rough-in?

25 A. What are you calling major repairs or maintenance?

1 Q. Well, you tell me what, when you --

2 A. No, you asked the question. I'm asking you what do you call
3 that?

4 Q. When would you call in rough-in?

5 A. We'd call in rough-in on jobs that were involving large
6 buildings where you had to turn off multiple buildings or just if
7 they were very large regulators. It wasn't what one man was
8 supposed to do, even a regular 6A. My job was mainly to do leak
9 survey.

10 Q. Identify leaks?

11 A. Identify and repair within my scope.

12 Q. And what was your scope? What repairs were within your
13 scope?

14 A. What repairs? I could make any repair that any 6A technician
15 could make, but the Washington Gas was mainly concerned with leak
16 survey. So if you found something, it was really bad and it was
17 going to take a lot of time to repair, lots of times if there was
18 someone -- another technician to repair it, we referred it. If
19 not, we stayed there if it was that serious and we fixed it
20 ourselves.

21 Q. So if you referred a leak, in other words, you referred it
22 within the processes and the reporting processes that you were
23 trained to refer it?

24 A. I followed Washington Gas rules and regulations.

25 Q. Yeah. And if you repaired a leak would you document that as

1 well?

2 A. Yes, we did.

3 MR. PRICE: Okay.

4 BY MR. STAEBLER:

5 Q. Douglas Staebler, Washington Gas.

6 MR. CHHATRE: Speak loud so --

7 MR. STAEBLER: Okay.

8 MR. CHHATRE: -- everybody --

9 MR. STAEBLER: Let me switch with you.

10 MR. CHHATRE: -- can hear from you. Oh, you

11 (indiscernible) --

12 BY MR. STAEBLER:

13 Q. Douglas Staebler, Washington Gas. So Curtis, just following
14 up on -- or Mr. Gray. I called you Curtis.

15 A. You call me what you want.

16 Q. Okay.

17 A. Just don't call me late for dinner.

18 Q. That's right.

19 A. All right.

20 Q. Following up too, so on leak survey you mentioned, and I
21 didn't catch all of it, being able to do repairs on some leaks.
22 What type of leaks would you be able to repair?

23 A. I could repair any leak that we were trained to do in our 6A
24 class.

25 Q. Did you have tools, out of leak survey --

1 A. Yeah. You know, we had --

2 Q. -- you're saying? What tools you had with you, because
3 you're walking, right? You're -- you've got a flame pack. You've
4 got a --

5 A. You're not always walking. If I had a van, fully equipped
6 service van with every tool that every 6A technician had, and if
7 we found a leak and it needed to be repaired -- I was not carrying
8 the truck on my back or with me or pushing it along, as you know.
9 I'm not trying to be smart. But if we had a leak, we would go
10 back and I had every tool that I needed to repair it. If I didn't
11 and we needed something else, I called dispatch or I called my
12 supervisor and they would dispatch someone else to make those
13 repairs.

14 But as a rule, we did not as -- in leak survey, we did -- I
15 was not always working leak survey as a 6A. We would -- if the
16 regulators weren't working, we would replace the mercury
17 regulators. I had training to do that, to replace them, or any
18 other regulator as far as what would usually be used in the home,
19 on an average home. I was trained to do that and to remove and
20 replace mercury regulators.

21 Q. Okay. And you also mentioned, I guess, during leak survey
22 you would detect regulators that are weeping.

23 A. We would -- it's just part of the regular survey. When you,
24 when you would flame pack -- when we're flame packing we'd walk
25 the service up to where the service went into the regulator and

1 you would test on the regulator to see if it was weeping with your
2 flame pack. You never took your flame pack inside. And if you
3 got indications of gas then you checked it further.

4 Q. Okay. And how would you determine if it was coming from the
5 vent or (indiscernible) --

6 A. Well, one way to do it was you would take and you'd put --
7 the gas company calls it leak detection fluid. It's dish soap.
8 And you'd put it, the dish soap with some water in your hand, and
9 you put it below and you'd seal the -- I'm speaking of an outside
10 regulator -- and you'd put it on and it would bubble. Now, if it
11 was an inside regulator, then you would just put it on the vent
12 pipe that was coming outside and that would help you determine.
13 But it took more than just putting it up there because lots of
14 times they would not weep unless there was a change in pressure or
15 gas was called for in the building.

16 Q. Okay. So you can't -- you couldn't feel it blowing then,
17 correct?

18 A. Sometimes you can, but we're talking about weeping and
19 blowing are two completely different things.

20 Q. Right.

21 A. If gas is blowing, as you well know, you'll know that it's
22 blowing because it literally -- you can hear it.

23 Q. Right. And so did you come across regulators that were
24 blowing then, too? Or is that typically when a plumber was there?

25 A. It has happened, but usually with the mercury regulators

1 would blow when a non-gas company trained technician or plumber
2 would turn -- the problem wasn't turning the regulator off. It
3 was when you turned it back on and you turned it on quickly what
4 would happen is it would blow the mercury out of the pipe and then
5 out onto the ground and then you've got a hazmat situation with --
6 when we can, if it's pertinent I have some notes from one with the
7 company. But yes.

8 Q. Right. It was typically from someone turning it on too fast.

9 A. Yes.

10 Q. Yeah.

11 A. Yes.

12 Q. And so on the regulator vents, and I'm not sure if this would
13 be from your leak survey experience or you -- I guess you just
14 worked for rough-in as a helper then also? Is that --

15 A. Yes.

16 Q. Okay. With a mercury regulator or any regulator maybe where
17 it's weeping -- so on leak survey you detected a regulator that
18 was weeping. Did you expect that it just started the weep just
19 before you got there?

20 A. There's no telling.

21 Q. Right. So it could have been weeping for a while undetected?

22 A. Well, lots of time we -- if we're -- are we referring to
23 system-wide or this particular area?

24 Q. System-wide, yeah, just thinking mercury regulator
25 operations, yes.

1 A. We found a lot of them --

2 Q. Yeah.

3 A. -- that were weeping. They weren't blowing and they were
4 weeping. And some of -- this is before I was 6A. A 6A would come
5 up and he would show me why it was doing it and we'd put more
6 mercury back in the mercury cap and screw it back on and that took
7 care of the problem.

8 Q. Right.

9 A. So that happened many times.

10 Q. Yeah. And but then, I guess, then the mercury -- the
11 regulator was still functioning correctly for the customer even
12 though it was weeping, it still operated -- was operating? Or you
13 had to change out the regulator?

14 A. The technician -- my experience with the 6As before I was,
15 they would test it and they'd test lockup on it and it would still
16 function. But then the problem is how long was that mercury that
17 was in there going to last and what blew out the mercury in the
18 first place? This is what I was told and this is what I've seen.
19 What is going to keep the mercury from getting blown out again and
20 the regulator not working?

21 Q. Okay. But then you were trained to detect the weeping using
22 a soap solution to see the bubbles in that (indiscernible)?

23 A. That was Washington Gas procedure that was -- I was trained
24 to use, yes. That was one of them. The first one, if we were
25 flame -- different situations. If we're flame packing it's

1 different. You follow where you believe that the gas line was and
2 then part of the procedure was checking the vent. Okay, vent's,
3 everything's okay or whatever, and then that was it.

4 Inside leak surveys, if I smelled gas, that would be one of
5 the things that I would check to see if a vent was weeping. But
6 you had -- I never left a site without finding where the gas was.
7 It took me some time, but it's -- I'm going to brag. It was my
8 work ethic. I wasn't there to walk services. I was there to find
9 leaks. And if my numbers weren't high and astronomical, it didn't
10 matter because I found the leak.

11 Q. And with inside meters, if they were weeping, the vent is
12 typically outside, isn't it?

13 A. Meters don't weep.

14 Q. I mean the regulators, yeah, the regulator was weeping --

15 A. Yes, sir.

16 Q. -- it's vented outside?

17 A. It's supposed to be outside. But then we get to the point if
18 the vent is clogged the gas is going to go somewhere, and we
19 didn't usually use the -- we called it dope -- to seal pipes for
20 vents. We were told we didn't need to do that. So I don't think
21 I ever did.

22 Q. Okay.

23 A. So if there's pressure built up on it, guess what? It's
24 going to go out the --

25 Q. Yeah. So, and to clear up what you saying before --

1 A. Yes, sir.

2 Q. -- that if the vent was clogged basically the gas wouldn't
3 get out and then it would -- the pressure would then build up in
4 the house piping, not necessarily leaking in the basement,
5 correct?

6 A. This is --

7 Q. That's what you meant by pressure is --

8 A. This is what I've been told could happen.

9 Q. Okay. So you didn't --

10 A. Did that happen in this situation? I don't know. I don't
11 have enough information. But I have seen the vents not working
12 and we had to take them apart on more than one occasions. The one
13 that I remember most was in Crystal City across from Crystal
14 Towers. There were multiple mercury regulators stacked in that
15 little yellow apartment building across the street. But that was
16 the problem there.

17 Q. Okay. And you would shut the gas off to the regulators to --

18 A. Not going to change a regulator unless you shut the gas off.

19 Q. Okay. Good to know.

20 A. Yes, sir. Well, you knew that. You probably taught me.

21 Q. No.

22 A. Yeah, you did as a matter of fact.

23 MR. STAEBLER: So good. I think --

24 MR. CHHATRE: No more questions?

25 MR. STAEBLER: Yep.

1 MR. CHHATRE: Roger? You're on. Roger, are you there?

2 MR. EVANS: Yeah, this is Roger Evans.

3 MR. CHHATRE: Yeah, go ahead.

4 BY MR. EVANS:

5 Q. Roger Evans. Just a few questions. Curt, can you go ahead
6 and describe your classroom time and how long it lasted and what
7 you learned in the classroom as far as regulators go?

8 A. Oh, my gosh. I'm working from memory. Like the gentleman
9 from Washington Gas says, I'll say that, but you haven't been
10 there for a long time so there are things that I'm not going to
11 remember. But the training at Washington Gas was very thorough,
12 okay? I believe there were 2 weeks of the 6A training along with
13 field training that was just given by the 6A mechanics and 7
14 mechanics that would mentor you. So it was thorough. And
15 formally, I believe it was 2 weeks for 6A class and then you had
16 to be taken out in the field and cleared.

17 Q. Okay.

18 A. So they -- we had a -- we have a whole section -- excuse me.
19 Washington Gas has a whole section in the 6A training manual that
20 goes over every meter that Washington Gas puts out, including
21 turbines, which grade 6As never use. So if we had a problem with
22 a regulator or something, we had a reference that we'd go to and
23 look up and it would tell us how to deal with it or we could
24 always get on the phone or call dispatch and another technician
25 with more experience would be there, pardon me, to show you how to

1 deal with the problem. So -- but there was a lot of training.

2 There was a lot of training.

3 Q. And as part of the training did you have to complete a test?

4 A. Yes.

5 Q. And can you describe the test?

6 A. Of which -- for the regulators?

7 Q. Yes.

8 A. The test that I remember went over almost every aspect of
9 what we would deal with it as a 6A: pressures, type of regulator,
10 being able to identify it just by looking at it so that we didn't
11 put a 2-pound regulator on an inches water column system; the
12 springs, cleaning, maintenance of the regulators, installation;
13 testing to see that we had the right pressures on the regulator.
14 Just the install, just the -- well, just the whole nine yards.
15 They were very thorough on how to do that. If I -- not everybody
16 followed procedure. People took shortcuts.

17 Q. Describe for us what type of problems can occur with the
18 regulator and what can make a regulator fail?

19 A. Overpressurization, which happened on more than one occasion;
20 the spring becoming weak in the regulator, which determines when
21 it opens to relieve pressure. In the older mercury regulators --
22 this is from my experience -- if there's no mercury in it. Now
23 would -- mercury had to go somewhere. But if there's no mercury
24 in it the mechanism didn't work correctly.

25 Q. Can you describe any anomaly that could occur with the

1 linkage and the leather internals?

2 A. The pad? On -- for a mercury -- we're speaking about a
3 mercury regulator?

4 UNIDENTIFIED SPEAKER: Yes.

5 BY MR. EVANS:

6 Q. Yes.

7 A. Just like anything else, age. Washington Gas, if they will,
8 they can tell you when they stopped putting in mercury regulators.
9 Just like anything mechanical, after a while they wear out and
10 should be replaced. If they're not you get problems like with the
11 things not working. The -- I'm --

12 Q. Can you describe some failures that you experienced with
13 mercury regulators?

14 A. Yes. Most of them were from contractors turning the mercury
15 -- excuse me -- mercury regulators off and then turning them on
16 too quickly, which did not give the regulator time to equalize
17 pressure and it blew the mercury out of the vent pipes. And then
18 gas would just blow -- if the regulator, the failsafe, we'll call
19 it, worked like it should, blew the gas outside the vent. And if
20 it didn't, then the gas went somewhere else. I've seen that
21 happen several times, but like I say, it was usually because of
22 operator error with them.

23 I found other vents -- I've found, actually I found one where
24 the cup broke and mercury was all over the floor in this one
25 townhouse in Southeast D.C. and gas just blew for an indeterminate

1 amount of time because -- I don't know why. Because nobody came
2 just to turn it off I guess, but --

3 Q. So when you have a mercury regulator issue such as blown
4 mercury, was that always replaced under Washington Gas guidelines?

5 A. Well, Washington -- yeah. Well, it's kind of hard to say
6 what their guidelines were because if you went by them and you
7 reported, then they would change and it wasn't in writing. But
8 because they weren't putting new mercury regulators in there, they
9 would usually replace it. If they didn't replace it, they -- lots
10 of times the 6A technicians kept mercury in bottles in their truck
11 and they would just pour mercury into the cap and screw the cap
12 back on that was at the bottom of the saucer shape on the
13 regulator, and test pressures and put it back into service.

14 Q. Did you have training on the hazards of mercury?

15 A. Yes. I had training on servicing mercury regulators and
16 replacing them, not on cleaning up the mercury if we had a spill.
17 And we -- that was another issue that we had about that. That was
18 a whole different skill set as far as dealing with hazmat as far
19 as a spill would go and the like.

20 Q. Were you aware of any plan that Washington Gas had to replace
21 mercury regulators on a call basis in, you know, certain
22 (indiscernible)?

23 A. Yes, I do. I was told by my -- this was before Joel -- I
24 don't remember Joel's last name -- my last supervisor before him
25 Mike Hardiman (ph.) had us, us being the leak survey people --

1 this was when I was a Grade 5. Anytime you saw a mercury
2 regulator, they were trying to take them out of service. So they
3 said to mark where you have them, which we did, and we'd turn it
4 in. Some months later Mr. Hardiman was reassigned and we were
5 told not to do that anymore because just don't. So we stopped.
6 They stopped that program. But before they had stopped it they
7 started to give the program to contractors that came in to replace
8 the regulators. And then all of a sudden one day, okay, we're not
9 going to do it. So then it stopped and then from there I don't
10 know what happened. You know, you just -- it's company policy so
11 they just didn't replace them.

12 Q. Just curious, as far as your career goes with the Washington
13 Gas, how many years ago did you first notice in this complex that
14 had the explosion that there were mercury regulators?

15 A. As soon as -- let me see. Let me think now. Give me a
16 minute. It's been a while. I've seen mercury regulators system-
17 wide since I believe it was 1998 when I started working there.
18 Okay? In this area -- this is an old area. I'm going to say --
19 I'm not sure, but as soon as I would have started going into these
20 buildings I would have seen them and known they were there.

21 Q. And at that time were you -- you know, had you made or
22 created paperwork or work orders or whatever you would do in order
23 to get the regulators replaced, had you made those requests for
24 this (indiscernible)?

25 A. Yes. I made, I made these requests many times. It was all

1 in my paperwork. But this is not conjecture and not be guessing,
2 many times when we did not have crews or people to do work, work
3 orders disappeared. Work orders -- I've seen one foreman tear up
4 a work order for a Grade 2A leak and I informed people in the gas
5 company and actually outside the gas company when this happened.
6 I believe that was around 2005. So if they didn't want to do the
7 paperwork or they didn't want to do the repairs, then paperwork
8 disappeared.

9 Q. So at the time you put in a request to have the paper --
10 excuse me -- the work -- the regulators replaced, were these in
11 electronic work order requests or were they handwritten?

12 A. The first ones that I did they were handwritten orders. They
13 were called UWOs. Then after that we put them -- we had a system
14 called, I believe it was called CAD. Is that what it was? We put
15 them in the CAD system. But then we were told we're not going to
16 -- we're going to suspend -- this is what I was told -- we're
17 going to suspend the program so don't worry about it. So that was
18 the end of that.

19 Q. And did you continue having mercury regulator issues at this
20 complex after that?

21 A. I was only there every so often. There are a lot of other
22 technicians. But I spoke to a senior technician who helped me
23 along who's retired now, who's going to go nameless, but he said
24 they had -- I can't -- this is what I'm told, whether this is the
25 truth or not, that they had problems in there since he was there

1 since the '70s.

2 Q. Okay. What are you -- on your training, let's go back to
3 your training on regulators. What are the failure modes that you
4 know of that are with any regulator? You know, like, if there's
5 -- let's just say that you get called out on a call and you know
6 there's a noise, there's maybe blowing gas, there's weeping, what
7 have you, getting back to your training, did you have like a
8 decision tree document or did you have a manual that would say on
9 this type of regulator if you have this kind of problem you should
10 do this, do that?

11 A. No.

12 Q. So the issues that you had with each regulator was -- I mean,
13 you would have to consult somebody or --

14 A. What you were told --

15 Q. Or would you --

16 A. You made your own decision. If a regulator was blowing you
17 automatically knew there was a problem with the regulator or
18 pressure, then you just turned it off. A weeping regulator is not
19 one that -- it needed to be replaced but not necessarily right
20 then and there because it came from any number of things. It
21 could be a dirty pad that shuts the gas on and off, or a weak
22 spring. But a regulator blowing needs -- the gas needs to be shut
23 off and it needs -- the regulator needs to be replaced, if the
24 problem was caused by the regulator and not by an
25 overpressurization.

1 Q. Okay. So let's talk about the blowing of the gas on a
2 regulator. Have you ever in your career observed a blowing
3 regulator that was intermittent?

4 A. No.

5 Q. So if a regulator were to start blowing would that become a
6 level 1 type leak?

7 A. Absolutely.

8 Q. And were those ever downgraded?

9 A. Yes.

10 Q. And what was the downgrade?

11 A. Pardon me?

12 Q. You say they were downgraded?

13 A. Before I was a 6A, yes, they did downgrade them.

14 Q. Well, what was the action they would take on these regulators
15 once they were blowing by like that, if they were downgraded from
16 a level 1 to let's say a level 2 leak?

17 A. I -- what -- if I was not there I did not know. They would
18 -- I was a little, I was -- I'm not your average fellow that's
19 going to work for Washington Gas. I did things a little bit
20 differently. I've got a little bit more experience, and when
21 something says that it has to be done a way, that's the way I did
22 it. So what Washington Gas would do to any of us that were -- we
23 felt like it's a 1 and it has to be repaired and we wouldn't leave
24 it or downgrade it, they would send someone of a higher grade and
25 they would come in and then they would do what they would do. But

1 then it was not my problem and they couldn't hold me liable and
2 say we're going to fire you or whatever because you misreported
3 this leak. So when we would leave, which didn't happen very often
4 with a blowing regulator, but did happen I believe once or twice,
5 then, you know, I don't know what they did with it. I'm assuming
6 they sent someone there later on to repair it, but there was no
7 reason to send a technician away.

8 Now what we did when they were blowing regulators, even as a
9 Grade 4, you just turned it off. We were allowed to turn it off,
10 but you couldn't turn it back on.

11 Q. Okay. So the problem was somewhat neutralized then?

12 A. Yes.

13 Q. Okay. Have you had occasions where you went out to the same
14 complaint several times in that particular complex?

15 A. In that complex itself, yes --

16 Q. Yes.

17 A. -- especially in the wintertime.

18 Q. Can you describe some of those situations?

19 A. Odor of gas, unknown origin, we were dispatched, even when I
20 was a helper. When I was -- this was when I was a helper with a
21 6A. At night they had two people on a truck and we'd drive
22 through, and in the wintertime Washington Gas, we had -- they --
23 excuse me -- they had a higher demand for gas so pressures went
24 up. And when pressure goes up, it puts more of a stress on
25 systems and facilities so you've got leaks. And so we were in

1 this area and just this general area of Prince George and
2 Montgomery County many, many times for odor of gas calls.

3 Q. And did some of these turn into a level 1?

4 A. Sometimes.

5 Q. Sometimes? Okay. Whenever you address a gas smell, would
6 you work with the fire department at times?

7 A. No, we were told not to call the fire department.

8 Q. Well, let's talk about evacuation. If you have a gas smell,
9 tell me about your decision tree for when do you tell someone to
10 get out of the building? What's your training for that?

11 A. They, being Washington Gas, did not want to -- they wanted
12 things handled quietly. One instance in particular was on Fox
13 Road in Hyattsville. We had a house full of gas. It was -- it
14 reached the explosive level and we were told not to call the fire
15 department.

16 Q. So what was the occasion that you called the fire department?

17 A. Well, I called them once on a leak in Herndon and I got in
18 trouble for it, and one in Arlington. Arlington, Virginia had --
19 the system is old and they were having explosions. This was many
20 years ago. They had multiple explosions, so Arlington said
21 anytime that you have a gas leak in our system it's a Grade 1
22 leak. Washington Gas said you will not call in a Grade 1 leak.
23 You will call into your supervisor and then they'll handle it. So
24 the same thing in Bowie. There was a special survey for Bowie
25 where there was the same thing, the soil there took out the -- it

1 leached out the mercaptan and you were supposed to call the fire
2 department, and they just said no, downgrade the leak.

3 Q. So if the resident of a community has called 911 and then you
4 show up, is there interface to -- do you work together with the
5 fire department to solve the issue?

6 A. Usually the fire department would defer to the gas company
7 employees because it's something that they absolutely specialize
8 in and the fire department trusted what they were saying, which
9 many times or at least a few times it's my experience they should
10 not have. So we didn't really -- we tried to work around them to
11 keep there -- become an incident where people got nervous.

12 Case in point, in Chillum we had a leak in the -- we call it
13 the blockhouse, and it's the transmission lines cross all over
14 that you see. We had a situation there where it was really bad.
15 We had a hole in a transmission line as big as a man's thumb, and
16 I'm going to guess 2 or 3 inches in circumference, and we didn't
17 follow any guidelines. And that was simply, in my opinion and
18 from what I've studied on other leaks, was a recipe for disaster.
19 And we never notified the fire department.

20 Q. So as far as your training, though, you have authority to
21 tell people to leave and all that, right?

22 A. Yes. Well, we can recommend it. We can't make them. We
23 can't arrest them or push them out of a building, but --

24 Q. Right.

25 A. -- what we would say is if you --

1 Q. You can have them (indiscernible) --

2 A. Right.

3 Q. -- if you would?

4 A. Yeah. We would --

5 Q. Okay.

6 A. Yes. I'm sorry.

7 Q. Okay. I'm going to go back to regulators, just some of the
8 line issues I'd like to ask you about. Are you aware of any
9 situation where a regulator actually caused line pressure to enter
10 a dwelling?

11 A. I've never witnessed one. It was part of training to tell us
12 that this could happen.

13 Q. Can you describe the circumstances with which that would
14 happen?

15 A. I can, I can describe what I would think would happen. I've
16 never, like I said, I've never been on one where it pushed
17 pressure into the building. But the regulator is made so that you
18 do not get distribution pressures or even transmission pressures
19 on a house line, which is not made to handle it. Neither are the
20 regulators on stoves or on hot water tanks or dryers or any other
21 gas appliance. And if that gas has nowhere to go it's going to go
22 inside to these appliances and it's going to get through their
23 regulators and then you're just going to have gas blowing in a
24 building. There's a technician that told me about a situation
25 like that. I've never witnessed one firsthand so I'm simply

1 repeating what this situation as it was described to me.

2 Q. Okay. Do you have an understanding of the type of regulators
3 that would allow this to occur?

4 A. Any regulator I believe will do that, but with transmission
5 pressures if you have a service off -- there was a regulator
6 called a safety regulator which was supposed to prevent something
7 like that, but that's a different animal. A regulator is supposed
8 to do exactly that, regulate. It senses, whoops, this pressure is
9 too high, guess what? I'm going to dump this pressure where it's
10 safe. But if it's not working properly, what is it going to do or
11 what can it possibly do? Let that pressure into where it's not
12 supposed to be and then you have a problem. Does it happen very
13 often? No, but -- at least in my experience, but as equipment
14 gets older I believe it's going to be -- it's going to happen more
15 often.

16 Q. Okay. Can you describe for us if you have a blocked vent on
17 a regulator, you know, an outdoor vent, if it's blocked, can you
18 describe what you think would happen?

19 A. Depending on the pressure, if it's completely blocked,
20 there's no way to get -- that pressure is going to -- it's got to
21 go somewhere, and like I've said before, it's going to follow the
22 path of least resistance and then it's going to find a way out.

23 Q. And how often have you in your career found vent lines that
24 were clogged up where they're, you know, nearly completely
25 blocked?

1 A. There's a lot of them. I mean, doing -- all I -- when I went
2 to leak survey that's just what you did. And there were a lot --
3 they had obstructions. Were they completely clogged? I don't
4 know. But they had -- they were filled with obstructions. Some
5 had never been cleaned, because it was not part of policy unless,
6 you know, you're replacing things. And even when they were
7 replaced, lots of times what I've seen is a technician uses the
8 same pipe and they haven't cleaned them.

9 Q. So can you -- can you describe some of the issues you've seen
10 with vent piping being clogged and what was causing the clog?

11 A. Yes. Most common was mud daubers. The next one was the vent
12 pipes broke off underground and filled with concrete. I've seen
13 that. I've also seen where plumbers have put caps on the -- where
14 the vent would go, where the screen would go. I've seen them put
15 caps on those. But the most common is the pipe breaking and being
16 filled with concrete or just covered up with mud and debris, and
17 the other one is the, like I say, the most common is mud daubers.

18 Q. And that's an insect of some sort, right?

19 A. Yes. Yes, it's a wasp, a type of wasp.

20 Q. And as part of your training do you always, you know, with --
21 well, first off, do you have checklist when -- you know, did you
22 have a checklist in your hand when you would go out to inspect --

23 A. No.

24 Q. -- these that said, okay, check this, check that?

25 A. When we first started doing it --

1 Q. Was that part of (indiscernible)?

2 A. -- yes, I made my own checklist. I had -- we'd keep a
3 notepad in your pocket, and I wanted to do the job right so I did
4 keep a checklist. But after you do a few thousand it becomes
5 routine and you just do it the exact same way.

6 Q. Okay. And then if you have a blocked vent does that become
7 sort of a -- let's say as an example, that concrete. Does that
8 become a work order with you folks or you tell --

9 A. No.

10 Q. -- the tenant or what?

11 A. Not a work order. It becomes -- actually if there is an
12 obstructive vent or a vent you can't find, it's a grade --
13 considered it takes Grade 1 status and you -- when I first started
14 doing this as a Grade 4, you'd have someone come out with you and
15 try and find the vent, or if it was broke off, you stayed there
16 until a truck came to repair it; it was Grade 1 status.

17 Q. Okay. The weeping versus blowing that you were talking about
18 earlier, what grade is weeping?

19 A. Actually there were no -- Washington Gas policy at the time
20 said there are no aboveground leaks less than a Grade 1. So it
21 was when I first started working and just -- I was working as a
22 contractor and we'd just flame pack, a weeping vent was a Grade 1
23 leak and you stayed there until a technician who was qualified
24 came to get it. If it was blowing, it was really serious and, I
25 mean, they just got -- the same status but it just, you know, you

1 smell it more. And then I'm trying to remember. We were allowed
2 to turn them off. It was blowing, we would turn off the gas.

3 Q. Okay. The other thing I'm curious about is whenever you
4 have, you know, an assignment to go to a building like this and
5 you're going to just do routine checks, would they record the time
6 you arrive, the time you leave?

7 A. No.

8 Q. I mean, was there a doc request that we could say, okay, this
9 person was here for this many hours for this inspection on this
10 date? Is that something that's out there?

11 A. We'd -- sometimes. Now, we were given these inside leaks
12 surveys were just kind of haphazard on days where it rained, all
13 right, so we'd just get them done. My experience was that they
14 weren't really trying to get into these buildings, depending on
15 the technician, okay? But there are -- there is paperwork. I
16 don't know how long Washington Gas has to keep it that says they
17 got in these buildings and they have so many attempts. So what
18 would happen, if somebody didn't feel like doing it, they'd write
19 down three attempts, okay, put it aside and they'd go goof off
20 somewhere and that would be, that would be it. But they do --
21 Washington Gas is supposed to keep records of the inside surveys.

22 Q. Okay. The other thing that I found -- a different subject
23 then. There is a saying we've heard from several sources, I
24 guess, about the chirping whale sound of the -- that regulators
25 can make. Have you ever heard that in your career?

1 A. I've heard once that I remember. And what that comes from is
2 pressure blowing past the little -- well, actually I believe some
3 of them were leather in the really old ones, but it's a rubber
4 seal or pad. It's like blowing a turkey call, okay? And that's
5 usually when the regulators kind of vibrate. It just pushes in
6 and out and that's what we would call weeping.

7 Q. Oh, okay. So it's --

8 A. It's just one called -- not completely but that happens, yes.

9 Q. Right. And do you recall any sort of noise like that at this
10 address?

11 A. I never heard anything like that there.

12 Q. Okay. If you have a regulator issue was there times when you
13 folks didn't touch it and it was all subcontracted out?

14 A. Lots of times Washington Gas wanted to defer it to
15 contractors. They paid them less.

16 Q. And what was the deciding factor to have a contractor versus
17 you folks?

18 A. Supervisor's decision.

19 MR. EVANS: Okay. Okay, that's all I have for right now.
20 And I'm sure I might have a little bit more after the next rounds.

21 MR. CHHATRE: Okay.

22 MR. EVANS: Thank you.

23 MR. CHHATRE: Okay. Thank you, Roger. Anybody have any
24 follow-up questions? You have any follow-up questions?

25 MR. STAEBLER: Yeah, I would --

1 BY MR. STAEBLER:

2 Q. Curtis, on -- you had mentioned --

3 MR. CHHATRE: Identify.

4 BY MR. STAEBLER:

5 Q. Doug Staebler, Washington Gas. Curtis, you mentioned in one
6 of those questions that we had a -- you know, there was a
7 proactive replacement program for the mercury regulators because
8 of --

9 A. Yes, sir.

10 Q. -- mercury contamination site or -- right?

11 A. No, sir. I don't know why. I guess they were just old and
12 it was part of upgrading the system is what I was told.

13 Q. Okay.

14 A. And yeah, there was a program and then it was cancelled.

15 Q. Okay. And you know the -- I guess as a leak survey then,
16 they told you to stop recording where the mercury regulators
17 were --

18 A. Yes.

19 Q. -- as you would encounter them.

20 A. Yes.

21 Q. Are you also then -- do you know if they actually stopped
22 replacing them, too, or just recording them?

23 A. Well, I was told by one of the contractors who worked for
24 Washington Gas as a rough-in man that they weren't -- they didn't
25 have a contract anymore. So I mean, that's all that I know. I

1 don't -- my job was to go out there and do this, not to go and see
2 what policy was when everybody was -- do what I was told and to
3 follow company guidelines, which I did, which got me in trouble.

4 Q. Right. Okay. And then you also, I guess, on one of the
5 questions you were talking about mercury regulators, typical
6 failures and about getting old. You mentioned about them getting
7 old and kind of like the parts wearing out. I was wondering have
8 you ever maintained a mercury regulator? Have you ever replaced
9 the boots on a mercury regulator, replaced the linkage?

10 A. Weren't supposed to. We weren't supposed to do that.

11 Q. Right. So --

12 A. We weren't supposed to -- I found out later on we weren't
13 supposed to have mercury in our trucks and put it in there, but we
14 were told to because there was no one to replace them. So I did
15 what I was told.

16 Q. Right. But I'm saying that, so the mercury cup is one thing,
17 but I'm thinking that --

18 A. The insides? Most of those were riveted. You couldn't take
19 them apart and service them --

20 Q. Okay.

21 A. -- at least as far as I know. I was never taught that.

22 Q. Yeah.

23 A. If you could, it was something I was never taught.

24 Q. Yes. I'm just trying to get to see, like, if you've ever
25 experienced any type of mechanical failures yourself with one of

1 those regulators?

2 A. We weren't out there to repair regulators.

3 Q. Right.

4 A. We were out there -- if we had a regulator that failed, you
5 would replace the regulator.

6 Q. Right.

7 A. But there were times when some of these old technicians put
8 mercury in them and they told me how to do and so that's what I
9 did.

10 MR. STAEBLER: Okay. No more questions.

11 MR. CHHATRE: Okay. Kelly?

12 MR. EMEABA: I'm done.

13 BY MR. CHHATRE:

14 Q. Okay. This is Ravi, NTSB, a few follow-up questions going
15 back to mercury regulators. If you go -- and again, all my
16 questions are multifamily dwelling, so please do not bring
17 anything --

18 A. Yes, sir.

19 Q. -- in a single family home. Okay? Because otherwise it's
20 going to confuse me when I read the transcripts.

21 So when you go, for whatever reason you go in the basement,
22 either your survey or a leak -- odor complaint, leak complaint,
23 whatever, looking at the regulator, if you feel the regulator has
24 failed, what will be the telltale signs for you to tell the
25 regulator has failed?

1 A. They're different. You want -- complete failure is blowing.
2 Okay? The things that we would see is they're not getting enough
3 gas to appliances if the gas pressures aren't right and people
4 are, well, this isn't -- you know, my stove is not working
5 correctly, or a lot of these places I believe they had gas dryers
6 in this building also. If they weren't working and they weren't
7 getting enough gas, that was a telltale sign or if it made noise.
8 If it was making noise -- it's not supposed to make noises like --
9 but in this, like I said before, I haven't heard them in this
10 particular building making those noises.

11 Q. But again, I'm not --

12 A. Right.

13 Q. -- my questions are not about the building.

14 A. I'm sorry.

15 Q. Mercury regulators in general. So forget about the building.
16 So if you are going to anyplace --

17 A. Yes.

18 Q. -- multifamily dwelling --

19 A. Yes.

20 Q. -- what will you -- what telltale sign, you told me is
21 blowing.

22 A. Blowing or weeping.

23 Q. Okay. Now, different blowing will it --

24 A. Blowing is when the gas is like it's coming out there wide
25 open. Weeping is just pft-pft-pft, like that, just like a leak.

1 Q. So gas coming wide open --

2 A. Yes.

3 Q. -- where? In the room or in the basement or?

4 A. No, through the vent of --

5 Q. Okay. I was just --

6 A. -- the regulator.

7 Q. -- clarification because again I want to make sure.

8 A. Yes, sir.

9 Q. So it will go through the vent?

10 A. Yes. It's supposed to.

11 Q. Okay.

12 A. Now there were times -- these regulators are so old that
13 metal corrodes, it breaks, then we had gas leaking from the
14 housing of the regulator.

15 Q. Okay.

16 A. That happened quite often.

17 Q. Okay. And now what will be the pressure then that it's
18 coming out at?

19 A. Don't know. The pressure's going to be different.

20 Q. Okay. Will it be a line pressure or will it be the inches of
21 water column?

22 A. It's going to be distribution pressure.

23 Q. Okay. Now when you say regulator blowing, will it be making
24 any noise?

25 A. Yes.

1 Q. What kind of noise?

2 A. Lots of time that that whale noise or that pft-pft-pft --

3 Q. Okay.

4 A. -- or other times which is -- you know, if it's really
5 pushing or it's just you can almost hear the --

6 Q. You can hear it.

7 A. -- gas whistling through the regulator and you know it's
8 happening because you can hear it blocks away.

9 Q. Okay. You can hear it?

10 A. Yes, sir.

11 Q. Now when you say weeping, what will happen then?

12 A. Weeping you're getting smaller amounts of gas and sometimes
13 not even a constant flow. Sometimes it cuts off when -- it
14 depends on the gas that's being called for in the building.

15 Q. Okay.

16 A. So it will stop or when it's turned on and they want gas it
17 pft-pft-pft or it just very, very slight leak. It's not what we
18 would call catastrophic, but it's still a leak.

19 Q. I see.

20 A. Yes, sir.

21 Q. And any other indications that a regulator is not working
22 properly or failing?

23 A. No gas going through it at all.

24 Q. Okay. Meaning it's getting blocked?

25 A. Yes.

1 Q. Okay.

2 A. And the regulator is just not functioning like it should.

3 Q. Okay. Now what happens if (indiscernible) on the regulator
4 you will have an orifice.

5 A. Yes.

6 Q. You would have an orifice for when the --

7 A. Yes.

8 Q. -- gas is coming in when (indiscernible).

9 A. Yes.

10 Q. So these are kind of a not even proper term for the lifter
11 arm, the arm that opens and closes --

12 A. Yes.

13 Q. -- the orifice.

14 A. Yes.

15 Q. Now what happens if the orifice gets blocked for whatever
16 reason?

17 A. Then it's not going to function. Then you're going to have a
18 buildup of gas if there's a failure in the system. I mean, that's
19 a failsafe and you're going to have a buildup of gas and that gas
20 has to go somewhere.

21 Q. Buildup of gas in the regulator or?

22 A. It can build up in the regulator, but if that -- where it's
23 supposed to flow out -- if it's blocked this way --

24 Q. It's blocked coming in.

25 A. It's what is --

1 Q. It's blocked coming in, right?

2 A. Yes.

3 Q. I mean, the gas has to come into the regulator chamber first.

4 A. It's got to go somewhere. There -- if there's a failure it's
5 got to go somewhere.

6 Q. Well, I said the orifice is blocked.

7 A. Yes. Or --

8 Q. What happens?

9 A. Wait a minute. Just give me a minute.

10 Q. You think about it. I'm just --

11 A. Yeah. I'm trying to. I'm looking at a diagram in my head.
12 Then there's nowhere, if there's an overpressurization, for the
13 gas to go except for in the building. That's what's going to
14 happen.

15 Q. The gas is going to go -- well, the line pressure --

16 A. Yes.

17 Q. -- is going to go into the building?

18 A. Yes. It has nowhere else to go.

19 Q. When you say building meaning the --

20 A. It's going --

21 Q. -- orifice side of the regulator?

22 A. Yes, sir. It's going to supply --

23 Q. I just want to make sure when you say building you are
24 talking about building piping?

25 A. Yes. Yes, that's what I should have said.

1 Q. Not, not the building. It's just --

2 A. Right, it's going to go through the pipe in the building.

3 Q. Right, but I was confused, pressure is going to go into the
4 building and the building --

5 A. Yes, yes.

6 Q. I wanted to clarify.

7 A. I'm sorry.

8 Q. It's going into the pipeline.

9 A. It's going to go into the pipe in the building --

10 Q. Okay.

11 A. -- and it's going to find a way out.

12 Q. Now are the meters, can meters handle that pressure?

13 A. No.

14 Q. What will happen then?

15 A. We were talking about some of these meters we've taken out of
16 some of these apartments have been 40 years old and we all know
17 what happens, with especially the tin meters, which there were
18 some tin meters in that building I remember.

19 Q. Forget about that building.

20 A. Sorry.

21 Q. We're not -- we are talking general.

22 A. I'm sorry. In general they're going to fail, and where they
23 fail is around the seals where you attach the meter to, what are
24 these things called, to where the supply line. I don't remember,
25 but that's where they would fail and they'd fail there lots of

1 times.

2 Q. Okay.

3 A. That's the weak spot in all of this is not even the
4 regulator, it is the meters.

5 Q. So only when the high pressure comes in, not into inches of
6 water column?

7 A. Yes. In this situation yes.

8 Q. Okay. Now what happens if the diaphragm fails? What will
9 happen?

10 A. The same thing. It's all part of one working system.

11 Q. So what happens if those --

12 A. You can get that overpressurization or you can also get -- I
13 haven't taken one of those apart in a long time.

14 Q. Well, if -- only if you know. If you don't know.

15 A. I know but I'm not sure.

16 Q. Okay.

17 A. Because this was part of our training, what happened with it
18 and all that, and I'm just trying to remember from these
19 (indiscernible).

20 Q. In all these failure modes of mercury regulators, were they
21 taught to you, discussed in your training? You said 2 weeks --

22 A. Briefly.

23 Q. -- 2 weeks?

24 A. Briefly. There are things that they said you need -- this
25 was the whole training as far as 6A goes, period.

1 Q. Sure.

2 A. They said this is what you need to know. If this breaks
3 replace it. It was that kind of thing, so they weren't over
4 intellectualizing it. If this breaks replace it. You don't need
5 to know how this works. You don't need to know how this comes
6 apart. You take it and just replace it.

7 Q. So what sort of breaking modes were taught to you, that this
8 is when -- okay, if it breaks replace it, but this is how you know
9 the regulator is broken.

10 A. It's weeping. It's not giving pressure at all. The pressure
11 is low. It's blowing. Okay, then you know that it's really -- or
12 the housings on these. We've got a group of replacement -- the
13 spring regulators that were irregular and they were leaking like
14 crazy. The seals just on the outside weren't -- it wasn't sealed
15 so they were leaking. Come across many of those.

16 Q. So now going back to mercury regulators, if for some reason
17 the mercury is gone from the cup, will the regulator be leaking
18 all the time?

19 A. It will be blowing.

20 Q. Blowing?

21 A. Yes, as long -- if there's gas supplied to it it's going to
22 blow because the mercury is what was used to actuate the mechanism
23 to, you know, to control the pressures.

24 Q. So then it will be blowing through the vent line or --

25 A. Supposed to blow through the vent line if it can, but I've

1 seen --

2 Q. So let's go back.

3 A. Yes.

4 Q. If it cannot go back to the vent line, what happens? It's in
5 a chamber.

6 A. It goes --

7 Q. It's in a small chamber, right?

8 A. It -- yes. It goes into the house line is what we call it.

9 It goes in the house line and it's trying to find somewhere to get
10 out.

11 Q. Okay. So it's going to go -- so high pressure gas now or
12 line pressure gas is going into the house line?

13 A. Distribution gas, yes.

14 Q. Okay. Okay.

15 A. And that's bad.

16 Q. Okay. Now in your tenure with Washington Gas, how often you
17 have seen the meters failing with a bushing or coupling, or
18 whatever you're talking about?

19 A. Every day you're surveying.

20 Q. Okay. And what kind of gas is coming out of those meters?

21 A. House pressure, because it's after -- it's supposed to be
22 house pressure because it's after the regulator.

23 Q. Right. Okay.

24 A. But some of the systems were low pressure gas and they don't
25 have a regulator, so just low pressure gas.

1 Q. Low pressure gas.

2 A. Yes.

3 Q. Okay. Now, have you seen any of those?

4 A. Yes.

5 Q. In multi -- again, in multifamily dwellings, right?

6 A. Yes.

7 Q. And how do you know that, that that is where it is leaking?

8 A. You test with a SENSIT or you soap it up.

9 Q. Okay. But you will smell it?

10 A. Yes, you smell it. Absolutely you'd smell it.

11 Q. You smell it.

12 A. Yes.

13 Q. Okay. You smell it. But you won't hear any noise, will you?

14 A. Sometimes. Sometimes.

15 Q. So elaborate. What is sometimes?

16 A. I've gone -- if you're -- you're going to come across so many
17 different situations because you're in this environment all the
18 time.

19 Q. Sure.

20 A. So there's always something new to learn in here. I have
21 gone into buildings and heard gas blowing, and it's just psst, be
22 like that. Also just depends on how quiet it is, you can hear it.
23 And you can --

24 Q. But you have heard it?

25 A. Yes.

1 Q. So tell me the difference between that noise, a leak and a --

2 A. And blowing?

3 Q. -- versus gas blowing through to the vent line?

4 A. Okay. Gas blowing through a vent line is less restricted
5 than gas coming through somewhere where it's usually going to leak
6 on a meter. I've seen it around the couplings on a meter. It's
7 just pssst, going to be like that. Or if there's a hole in the
8 meter it can be just like holding your mouth open and gas is just
9 haaah, like that. That's harder to hear. But I've seen a few of
10 those actually in this area where there -- that we're discussing
11 where the meters have rotted from being pressed up against the
12 concrete and improperly installed.

13 Q. So which one of those two noises is louder?

14 A. The blowing through the vent.

15 Q. Is louder?

16 A. Yes.

17 Q. Now how far away from the leak in the meter you can hear?

18 Let's just say meter is where the TV is. Typically, again, if you
19 don't know the answer that is fine. I just want to know kind of
20 get a sense from someone who has worked in this area for so long.

21 A. Let me -- I mean, this you can just -- you can hear it before
22 you walk in the door sometimes.

23 Q. Which one?

24 A. The -- either. The one where it's blowing outside you can
25 hear that down the street and you're going to smell it. The one

1 inside the building, for the life of me I'm trying to remember
2 what this room looked like, but next to it I believe that there
3 were --

4 Q. Which room? I'm talking in general. I'm not talking
5 about --

6 A. Oh, in general?

7 Q. Yeah.

8 A. Right --

9 Q. I have (indiscernible) --

10 A. -- the circumstances --

11 Q. I have 8 meters on that wall.

12 A. Fifteen, 20 meters away you can hear it in a quiet room.

13 Q. Okay. Now can you hear a leak at a meter from closed door --

14 A. Yes.

15 Q. -- outside the door?

16 A. Harder. No, it's harder.

17 Q. Can you hear the gas blowing through the vent outside the
18 door in a basement?

19 A. Yes.

20 Q. You can?

21 A. Yes. Well, I'm saying yes because I have heard it.

22 Q. Yes.

23 A. I've heard it 4 blocks away.

24 Q. Okay.

25 A. And it wasn't even a called-in leak. We routined it. I'm

1 like what -- you could smell the gas. I'm like what in the world
2 is that? And we looked till we found it. This was an old, old
3 technician that we found it. It took us about an hour but we
4 found it.

5 Q. Now in your training were you told how long a gas meter needs
6 to be, needs to be in service before it can be replaced or it has
7 to be replaced?

8 A. No.

9 Q. No.

10 A. We just --

11 Q. So you're --

12 A. Go replace it, then we replace it. It's that kind of thing.
13 That was above my pay grade.

14 Q. So an M&O procedure. There is no life given to a regulator
15 or to a meter?

16 A. There is, but with --

17 Q. That's what I'm -- I mean, that's what I asking you.

18 A. Yes. Yes, there is.

19 Q. Do you know what it is?

20 A. No. I don't remember what it is.

21 Q. Okay. But it's given in the M&O procedure?

22 A. Yes.

23 Q. To your recollection it's mentioned in the M&O?

24 A. Yes, it is.

25 Q. All right. For both regulators and the meters?

1 A. For the meters definitely. I don't remember the regulators.

2 MR. CHHATRE: Okay. And that's been very helpful. Thank you
3 very much. I have no more questions.

4 Roger? Roger, do you have any follow-up questions?

5 MR. EVANS: Yes, I do.

6 MR. CHHATRE: Okay. Go ahead.

7 BY MR. EVANS:

8 Q. And I recall years ago I had an old Volkswagen, and I had
9 this squeak. I bought the thing new and I could never figure it.
10 I'd have it -- I would taken in and the technician would say, I
11 can't find it. I finally found somebody that worked there that
12 could find it and he fixed it. So what I'm wondering is, in your
13 training when you go out to a place where someone says, hey, I
14 smell gas, and the person goes there and he says, okay, I couldn't
15 find it. And then another call comes in maybe from another person
16 in the complex and says, hey, I smell gas. First off, is it going
17 to be the same person that would go back or it's going to be luck
18 of the draw, what time of the day it is? Do they look at previous
19 records before they would go and look at that particular call?
20 Like if there's been -- if somebody's made five calls for, let's
21 say, a gas smell, is the technician in Washington Gas aware of the
22 fact that there are five previous calls on this place?

23 A. Washington Gas does not look for work.

24 Q. So there's no recognition of any previous calls when someone
25 makes a call to a location?

1 A. If there is they don't -- they stopped telling. I did a --
2 in 2010 I went out with WJLA News and found a leak in 10 minutes
3 that Washington Gas couldn't find in 2 weeks in Silver Spring
4 about a mile from this complex. So they don't look for work if
5 they don't have people. My experience and what I was told when I
6 worked there, what -- the easiest way to do is to say odor of gas,
7 nothing --

8 MR. CHHATRE: This is Ravi. I'm sorry to interrupt you.

9 MR. GRAY: I'm sorry.

10 MR. CHHATRE: Just answer the question.

11 MR. GRAY: I'm sorry.

12 MR. CHHATRE: We don't want your interpretation as to --

13 MR. GRAY: I'm sorry.

14 MR. CHHATRE: -- what Washington Gas is doing.

15 MR. GRAY: I'm just saying this is --

16 MR. CHHATRE: Just please stay with the question --

17 MR. GRAY: Yeah, forgive me.

18 MR. CHHATRE: -- because otherwise we've got -- okay.

19 MR. GRAY: Forgive me.

20 MR. CHHATRE: All right. Go ahead, Roger.

21 BY MR. EVANS:

22 Q. Yeah. So just curious about when you're training if you are
23 -- if you're trained to go out and check a gas odor of some sort
24 and is that particular activity supported with a checklist that
25 says, okay, if you've tried everything else you can go down this

1 list and go to this one, go to this item? Is that a part of the
2 training?

3 A. No. Actually, I take that -- yes, it is, but it's not -- we
4 did not adhere to it. Certain people did not adhere to it.

5 Q. I mean, let's just go back a little bit. Let's just say that
6 you're hauled off to go for the fifth time at this particular
7 residence, this complex, and you're going to try and chase down
8 gas. And four of your other employees, your peers, have gone
9 there and couldn't find anything. I mean, just go through what
10 you would look for.

11 A. What I would look for?

12 Q. Yeah, let me just hear what you would look for.

13 A. What I would look for, I would, I would drive around the area
14 at first and see if I could find out where I'm getting the
15 strongest odor of gas. And then I would try -- I would just find
16 it. I would take out -- if I thought it was underground -- it
17 depends on what it's, you know, while I was there what I'm going
18 to use. I would use a flame pack and try that. And then I'd go
19 around to different buildings and I'd ask people do you smell this
20 gas, which I've done many times and found the leaks. But it's all
21 kind of the motivation of the individual.

22 Q. And what about would you have free access normally for a
23 complex like this, you could go anywhere that you wanted to go,
24 the equipment rooms, you know, rooms that are locked, perhaps,
25 with --

1 A. They're locked --

2 Q. -- combination locks?

3 A. They were locked many times. Well, because of the area, the
4 area there is -- it's a higher crime area so they kept a lot of
5 these -- my experience when I was there, you know, I was reminded
6 how many years ago it was, it was hard to get into. But what I
7 did -- where there's a will there's a way. I got most of these
8 surveys done by going and getting the keys from the maintenance
9 people and to go in. But if there's gas there, on more than one
10 occasion we've called the fire department. The fire department
11 gets you in. That was procedure, but it wasn't always followed.

12 Q. Okay. And anything in your -- this is a different question.
13 In your career have you ever known of an accident that was
14 directly related to a mercury regulator?

15 A. Let me think. An incident as in an explosion or?

16 Q. Yeah. Yeah, an explosion.

17 A. No.

18 Q. Okay. Is there -- let's just talk about -- I'm trying to
19 figure out how to ask this. Describe the situation when you would
20 want to actually take a union off of a supply to an outside
21 regulator, why would someone take that apart?

22 A. I wouldn't. The union below --

23 Q. Pardon me?

24 A. A union, you were talking about below the stopcock or above
25 the stopcock?

1 Q. I'm talking about the union that would be inside the building
2 that's going out to the regulator.

3 A. For the vent?

4 Q. Yes.

5 A. To service it? Or if they --

6 Q. So --

7 A. I'm sorry.

8 Q. So go through the steps that you would, you would go through
9 on a -- where you would have to take the coupling off, like, the
10 union off, the screwed union, and tell me what you would do and
11 why you would do that?

12 A. What you would -- now we're taking off the union that goes to
13 the vent line, is that correct, from the regulator?

14 Q. From the inside -- well, I guess it's from the meters, and --
15 Ravi, is that the one from the meter?

16 MR. CHHATRE: No, no, the -- I think your question you're
17 asking, that the union that connects the vent line. Is that what
18 you're talking about?

19 MR. EVANS: Yeah, yeah, that's it.

20 MR. CHHATRE: Yes. Okay.

21 MR. GRAY: The union on the vent line. You would turn off
22 the gas. This is procedure. Not everybody did it like that.
23 You'd buck, which means you'd support the side of where you were
24 going to take it off so you didn't do any damage to the regulator,
25 which would be a whole other stinking kettle of fish. And you

1 loosen it up and then you'd just remove it. You'd just unscrew it
2 and just take it off. Is that what you --

3 BY MR. EVANS:

4 Q. Well, yeah, that's kind of what I'm getting at. I'm just
5 wondering did you have any occasion to do that at that complex?

6 A. I don't remember.

7 Q. Okay.

8 BY MR. CHHATRE:

9 Q. This is Ravi. Why would you turn the gas off to remove the
10 coupling?

11 A. To remove the coupling. So that if you -- because if you
12 break that that -- well, this is what I did. If you break
13 something on there, then you've got gas blowing in the building.
14 And then lots of times these shutoffs are stuck, you know, because
15 they're old. They're old and then, you know, metal gets old and
16 whatever.

17 Q. But is that in the procedure or is that's your practice?

18 A. That's in the procedure, but not everybody did it.

19 Q. Yeah. I mean, you are going -- is this the procedure, yes,
20 by --

21 A. It's in the procedure to do that, yes.

22 Q. Well, who's not -- no.

23 A. Yes.

24 Q. No, no -- I cannot believe your knowledge of what somebody
25 else did because you are not there.

1 A. Yes, I have been there, and they haven't done it.

2 Q. Then have you? Okay. But let's just stick with the
3 questions.

4 A. Okay.

5 MR. CHHATRE: Okay. I'm sorry, Roger.

6 MR. EVANS: Yeah, that's all right.

7 BY MR. EVANS:

8 Q. Okay. Going back to when you go to a place multiple times,
9 is there -- you know, in the training that -- you know, there's a
10 lot of things in sports where they say don't give up, don't give
11 up; you're going to be successful, don't give up. In the world of
12 looking at gas lines and leaks and all that, do they preach to
13 the, you know, to the employees that, you know, they're not
14 supposed to give up on if they smell a gas leak and to continue
15 and continue until they find it?

16 A. No. It's the exact opposite, or was when I was there. The
17 exact opposite from what you're told, but a lot of technicians
18 still went and -- the older technicians. There was a -- I don't
19 want to say things I'm not supposed to say. No, they did not
20 encourage you to find leaks. This is a quote from a supervisor,
21 "You're there to walk services, not find leaks."

22 Q. And kind of in context, walk leak versus -- or walk services
23 versus find the leaks, when you walk services aren't you looking
24 for leaks?

25 A. When you -- well, you're supposed to, but when you walk

1 service you're keeping things in compliance with the powers that
2 be. When you find leaks you're making work and they didn't -- my
3 experience, we didn't have people to make the repairs. So a
4 supervisor told me, "You're here to walk services, not find
5 leaks."

6 Q. Okay. The other question I have is when you -- in your
7 training, if you had an occasion where you had multiple calls from
8 a resident in a complex like that and you knew that it was a
9 mercury regulator, would there be a, you know, a different sense
10 that's taught to say, hey, I've got multiple calls from this
11 complex, I know it's a mercury regulator, I should just call that
12 in and tell them to replace the dang thing. Was that kind of the
13 -- was that even taught or was that not even part of the
14 vocabulary there?

15 A. It depended on what neighborhood it was in.

16 Q. Can you expand on that one?

17 MR. CHHATRE: Elaborate more on that.

18 BY MR. EVANS:

19 Q. We're all humans.

20 A. If we're in an affluent area it was replaced. If it was in
21 another area it was not given the same urgency.

22 Q. So is it a fact that we could prove to the world that all the
23 low income housing areas still have mercury regulators and the
24 affluent neighborhoods do not have them? Is that what you're
25 saying?

1 A. This is, this is my observance. For whatever reason, this is
2 what I've seen, and the same way that we respond to the leaks.
3 Can I elaborate or am I getting off-key?

4 MR. CHHATRE: Go ahead. Go ahead.

5 MR. GRAY: We had an instance where we had outages in an area
6 -- well, not -- these weren't outages. We had leaks. We took all
7 of our assets to one house in Potomac because someone built an
8 addition on top of a gas line which wasn't in compliance, and all
9 of our assets were there and we did that and that wasn't an
10 emergency. And we also gave them more gas.

11 BY MR. EVANS:

12 Q. Yeah.

13 A. Compared to a home in, let's say -- if I get off-key just top
14 me, okay? In Palmer Park in the winter a woman needed a vent line
15 extended, and in the middle of the winter I was told to turn her
16 gas off. So it depends on where you were. The people that can
17 make -- this is my observation -- the people that can make the
18 most noise are the ones that are served.

19 Can I give another, you know, transmission leak that we
20 responded to twice and we didn't repair it? And then there was an
21 explosion.

22 Q. And there was an explosion afterwards?

23 A. Yes. This was in a poorer section of town and we were there
24 two or three times, actually twice while I was an employee, and
25 then I took a gentleman -- Henry Cole contacted me and wanted me

1 to show him where it is, and we went with the, oh, shoot, the
2 Public Service Commission and measured gas there. And I don't
3 know when it happened later, but there was an explosion there and
4 there were fatalities. If that had been --

5 MR. EVANS: That would be one of our doc requests, Ravi, to
6 find out about that one.

7 MR. CHHATRE: Okay.

8 MR. GRAY: I sent you the information.

9 MR. EMEABA: Was that in Maryland or D.C.?

10 MR. CHHATRE: Did you give us anything on that?

11 MR. GRAY: In Maryland.

12 MR. PRICE: I would not know what to request. Tell me the
13 specifics?

14 MR. GRAY: I sent it to you in an email, the video and the
15 audio from us testing that.

16 MR. CHHATRE: You have sent me already?

17 MR. GRAY: I did. I can send it to you again.

18 MR. CHHATRE: Send it to me again.

19 MR. GRAY: Henry Cole was there and recorded this, and we
20 ended up having an explosion, and they did not --

21 MR. CHHATRE: I will check my email, but when I put your name
22 on it I only get three emails, so --

23 MR. GRAY: I'll send it to you again.

24 UNIDENTIFIED SPEAKER: Who is Henry Cole?

25 MR. GRAY: Henry Cole is a scientist.

1 MR. CHHATRE: Once I get information from him, I'll send it
2 to you.

3 UNIDENTIFIED SPEAKER: Okay.

4 MR. CHHATRE: Do you recall -- does the commission recall any
5 explosion, what he's talking about?

6 MR. CLEMENTSON: I'd have to know the area.

7 MR. CHHATRE: Okay.

8 MR. CLEMENTSON: The specific the area.

9 MR. GRAY: Marlow Heights, Branch Avenue. Do you remember?

10 MR. CLEMENTSON: There was one out there.

11 MR. GRAY: That's the one.

12 MR. CLEMENTSON: But I don't know if it's --

13 MR. GRAY: That's the one. I have, I have film of us on it.

14 MR. CLEMENTSON: The only I was out there -- well, never
15 mind. I'll look into it.

16 MR. GRAY: No, you know, that's why I'm saying I'll send it
17 to you. You know, that was a few years ago, so I can understand
18 people forget things. I do.

19 MR. CHHATRE: Okay. Yeah, just send it to me.

20 MR. GRAY: Yes.

21 BY MR. EVANS:

22 Q. You know, the other thing for this complex -- this is Roger
23 Evans again -- the infrastructure itself in that area, did you
24 have issues with, you know, were there cast iron mains that were
25 not replaced and were there, you know, ground leaks that you had

1 investigated in that particular neighborhood or has all that been
2 taken care of through the years?

3 A. This is not getting attention until, what, 10, 12 years after
4 I initially reported these things, so I don't know what they've
5 done there since then. But there's a lot of plain steel. The
6 cast iron is in another -- the high pressure cast iron is in
7 another part of town. I was responsible for patrolling the high
8 pressure cast iron, but it is still there. And it does leak --

9 Q. In that -- in that neighborhood by this complex or not by --

10 A. No, not that I know of.

11 Q. -- (indiscernible).

12 A. I'm working on memory. If you'd have asked me 8 years ago I
13 could tell you. I don't believe or I'm not sure. Now the only
14 way that you're going to really know what some of this stuff is is
15 if you dig it up. But I don't -- I don't remember.

16 MR. EVANS: Okay. That's all I have. Thank you. Thank you
17 very much, Curt.

18 MR. GRAY: Yes, sir.

19 MR. CHHATRE: Anybody has any follow-up questions? No?

20 MR. PRICE: Just a couple, if you don't mind, Ravi?

21 MR. CHHATRE: No, I -- go ahead.

22 BY MR. PRICE:

23 Q. This is Steven Price, Washington Gas. Mr. Gray, you have
24 indicated you were a Grade 6A. Did you serve as a 6A only in the
25 leak survey department?

1 A. No.

2 Q. Where else did you serve as a 6A?

3 A. Working out of Northwest Station.

4 Q. Who was your supervisor?

5 A. I don't remember his name.

6 Q. But as a 6A you're trained in leak investigation, correct?

7 A. Mainly doing the 6A work as a service technician is -- it's
8 actually just for that. I actually trained 6As in leak detection
9 for Washington Gas.

10 Q. Right. So our 6A service technicians are trained in leak
11 investigation, correct?

12 A. Not as extensively as my department.

13 Q. But you were trained as a 6A and in leak investigation,
14 correct?

15 A. Yes, that's correct.

16 Q. And every leak that you were sent on you followed our
17 procedures for leak investigation, correct?

18 A. Yes.

19 Q. And those procedures include identifying the leak and making
20 it safe if you do identify a leak, correct?

21 A. No. You can't always make the leak safe. You have to call
22 in other people to do it. It depends on where the leak is. So I
23 followed procedures. I called, and more than one time I was
24 chastised for following this procedure.

25 Q. So when you cannot actually repair the leak you have to call

1 somebody and stay there till they arrive, correct?

2 A. You're supposed to, yes.

3 Q. And you did every single time, correct?

4 A. Until I was ordered to leave, yes.

5 Q. Are you suggesting that you've left a Grade 1 leak? You
6 yourself have left it?

7 A. I left a Grade 1 leak with someone of a higher grade. And
8 then --

9 Q. You mean somebody else was there?

10 A. That's right. And they called -- this was on the radio --
11 then they called out, downgraded the leak, and left.

12 MR. PRICE: I don't have anything more questions for
13 Mr. Gray.

14 MR. CHHATRE: Okay. If not, thank you very much for spending
15 almost 3 hours now.

16 MR. GRAY: You're welcome.

17 MR. CHHATRE: We appreciate your time here for us and helping
18 us with this investigation. Off the record.

19 (Whereupon, the interview was concluded.)
20
21
22
23
24
25

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF: THE EXPLOSION OF APARTMENT
BUILDING 8701 OF FLOWER BRANCH
APARTMENTS IN SILVER SPRING,
MARYLAND ON AUGUST 10, 2016
Interview of Curtis Gray, Jr.

ACCIDENT NUMBER: DCA16FP003

PLACE: Washington, D.C.

DATE: January 21, 2017

was held according to the record, and that this is the original,
complete, true and accurate transcript which has been transcribed
to the best of my skill and ability.

Teresa Holevas
Transcriber