

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

* * * * *

Investigation of: *

*

ENBRIDGE OIL SPILL *
MARSHALL, MICHIGAN

* Docket No.: DCA-10-MP-007

*

*

* * * * *

Interview of: JAMES JOHNSTON

Enbridge
Edmonton,

Headquarters
Canada

Friday,
December

17, 2010

The above-captioned matter convened, pursuant to notice.

BEFORE: MATTHEW NICHOLSON
Investigator-in-Charge

APPEARANCES:

MATTHEW R. NICHOLSON, Investigator-in-Charge
National Transportation Safety Board
Office of Railroad, Pipeline, and
Hazardous Materials Investigations

[REDACTED]

RAVINDRA CHHATRE, Accident Investigator
National Transportation Safety Board
Office of Railroad, Pipeline, and
Hazardous Materials Investigations

[REDACTED]

K

isor

[REDACTED]

JAY A. JOHNSON, Senior Compliance Specialist
Enbridge Energy Company, Inc.

[REDACTED]

| <u>ITEM</u> | <u>I N D E X</u> | <u>PAGE</u> |
|------------------------------|------------------|-------------|
| Interview of James Johnston: | | |
| By | Mr. Nicholson | 5 |
| By | Mr. Chhatre | 16 |
| By | Mr. Nicholson | 28 |
| By | Mr. Chhatre | 30 |
| By | Mr. Nicholson | 37 |
| By | Mr. Chhatre | 38 |
| By | Mr. Nicholson | 43 |
| By | Mr. Chhatre | 44 |
| By | Mr. Nicholson | 53 |
| By | Ms. Butler | 74 |
| By | Mr. Chhatre | 78 |
| By | Ms. Butler | 87 |

I N T E R V I E W

1
2 MR. NICHOLSON: All right, good evening. Today is
3 Friday, December 17th, 2010. My name is Matthew Nicholson and I'm
4 an investigator with the National Transportation Safety Board in
5 Washington, D.C. We are currently in Edmonton, Canada at the
6 Enbridge Headquarters and meeting in regards to the pipeline spill
7 in Marshall, Michigan that occurred on July 25th, 2010. This is
8 case number DCA-10-MP-007.

9 Before we begin, Jim, I'd like you to please state your
10 full name and whether we have permission to record this interview.

11 MR. JOHNSTON: Sure. My name is James Scott Johnston,
12 and you have my permission to record.

13 MR. NICHOLSON: Thank you. Also if you'd like, you're
14 permitted to have one other person present during these
15 interviews. It's a person of your choice or no one at all. Can
16 you tell us for the record whom that person might be that you've
17 chosen?

18 MR. JOHNSTON: I understand, but I haven't brought
19 anyone. I haven't elected to bring anyone.

20 MR. NICHOLSON: All right, at this time I'll go around
21 the room and each person participating introduce themselves, state
22 your name, the spelling, the organization that you represent, your
23 title, and a business e-mail or phone number for contact.

24 I am Matthew Nicholson, M-a-t-t-h-e-w, N-i-c-h-o-l-s-o-
25 n. I am the IIC for the NTSB on Marshall Michigan release. My

1 contact information is [REDACTED]

2 MR. CHHATRE: My name is Ravi Chhatre. That's R-a-v-i-
3 n-d-r-a; last name C-h-h-a-t-r-e. I am accident investigator with
4 National Transportation Safety Board, Washington, D.C. My e-mail
5 is [REDACTED]. I am here to assist IIC Matt
6 Nicholson in this investigation.

7 MR. JOHNSON: Jay Johnson, senior compliance specialist
8 on the pipeline safety compliance crew for Enbridge, and for
9 contact information is [REDACTED] and that's j-a-
10 y.j-o-h-n-s-o-n.

11 MS. BUTLER: I'm Karen Butler. I am the PHMSA [REDACTED]
12 [REDACTED] supervisor here in [REDACTED] and my contact information
13 is Karen -- [REDACTED].

14 MR. JOHNSTON: I am James Johnston. J-a-m-e-s, J-o-h-n-
15 s-t-o-n. I am the training coordinator for control center
16 operations at Enbridge Pipelines. My contact information is
17 [REDACTED].

18 INTERVIEW OF JAMES JOHNSTON

19 BY MR. NICHOLSON:

20 Q. Okay. Thanks, Jim. I think what we'd like to do is
21 just start by having you tell us when you started at Enbridge, a
22 little bit of your background, maybe, you know, when you started,
23 what capacity you started in, and what position you are in now.

24 A. I started with Enbridge in 1989 as a control center
25 operator, one of our more remote control centers.

1 Q. Just gas or?

2 A. This was -- our Norman Wells Control Center is liquids.

3 Q. Okay.

4 A. Up in the Northwest Territories of Canada. Transferring
5 to the Edmonton Control Center in 1994. I'm currently the
6 training coordinator for control center operations. I've also
7 held the position of training coordinator for Edmonton Control
8 Center from 1997 to 2000, and from 2000 to 2007, a mix of control
9 center operator and other training activities.

10 Q. Okay.

11 A. I've held my current position since 2007.

12 Q. Okay. So is it only training or are you also
13 responsible for procedures?

14 A. It's a blend of duties. It's training. There's some
15 compliance, consulting, and administration, procedures
16 administration and related duties.

17 Q. So I don't understand. Do you actually write these
18 procedures that we've seen today or? Okay.

19 A. I administer the process. So we have a quality
20 management system that defines the process, and myself and one of
21 my reports do the administration, the handling of the revisions
22 and modifications.

23 Q. Okay, so if a new procedure is required, do you write
24 that or do you just oversee the writing?

25 A. Well, we respond to change requests that are initiated

1 by people usually within our group.

2 Q. Okay.

3 A. And we take those change requests through the process of
4 the quality management system until they're --

5 Q. Maybe you could explain that quality management process
6 then?

7 A. Sure.

8 Q. And who -- you say someone in your group, so that's
9 anyone in the control center, I guess, right?

10 A. Right.

11 Q. Is that your group?

12 A. Yeah, so any person within our group can initiate the
13 procedural proposal, a request for change. Those requests are
14 forwarded to our CCO compliance group, which is the two people,
15 myself included, I mentioned earlier. After initial assessment,
16 the procedure is formatted and sent out to the stakeholders for
17 review. The procedures are posted, the comments are gathered,
18 approvals are gathered, after which we notify the stakeholders
19 again that the procedure has been approved, and it's in use; it's
20 been established as an official procedure.

21 Q. So we heard a lot about this proposed procedure that got
22 pulled up on the -- I guess it was the morning of the 26th. How
23 would that proposed procedure have been available to somebody
24 without being released?

25 A. Sure. So as part of the review process we post the

1 proposed procedures in sort of a discussion board format and let
2 people make comments. In particular we are looking for comments
3 from people who have been identified as reviewers from their
4 respective areas within our group. We look at those comments and
5 the individuals that are designated as approvers look at those
6 comments and would make their decision to approve based on those.

7 Q. So this Gazelle, I think her name was, was an approver?
8 Is that how she had --

9 A. No, she would have been --

10 Q. A stakeholder?

11 A. A reviewer. That's someone without approval
12 responsibilities, but they can make comments.

13 Q. And I want to understand, this is all through Lotus
14 Notes; it's an electronic system?

15 A. Yeah, that's where we post the proposed revisions.

16 Q. But it's unsanctioned that she bring that up and
17 actually use it, right? As a proposed standard she should not
18 have been referring to that as a --

19 A. That's correct, yes.

20 Q. Okay. Can you talk a little bit about the training that
21 goes on for these procedures, how that's -- how it's performed and
22 how you develop training plans for these procedures?

23 A. Sure. Well, the procedures of course contain work
24 instructions for operators and also shift leads in the performance
25 of their tasks in response to conditions that occur on the

1 pipelines or terminals that we operate. Exposure to the
2 procedures begins at the beginning of our entry level training
3 process for new operators. So we have an established program for
4 new operators that includes usage of the procedures at different
5 points along the training process.

6 Q. Okay. What about an already trained procedure and re-
7 qualifying? How does that --

8 A. So that would fall into the category of ongoing review
9 of procedures, which we have established as an ongoing process for
10 all of our control center staff. We also do annual review of the
11 procedures. We review them in annual training sessions, at least
12 the emergency procedures are reviewed, and emergency response
13 training is handled annually. They're also referenced in some of
14 our other processes, hazard awareness programs and follow-up to
15 incidents and that sort of thing.

16 Q. You say you review them yearly. You mean review them
17 with the operators to ensure their understanding? Not review them
18 for accuracy or?

19 A. Both.

20 Q. Okay.

21 A. As part of the annual procedure review process we review
22 for accuracy all of the procedures in the database. In annual
23 emergency response training we focus on emergency procedures
24 themselves, primarily the ones if there's been any changes or
25 anything that seems noteworthy about those emergency procedures.

1 Q. So the proposed changes that people will make, how do
2 they route those to your group?

3 A. Typically, they'll look at a procedure in production if
4 it's based on an existing procedure. If they look at it and have
5 a proposal to make it more clear or if they see that there may be
6 an error with that, they'll forward their proposed changes, in
7 other words, modify a draft of the procedure.

8 Q. Okay.

9 A. Forward it on to CCO compliance analyst, and with
10 changes highlighted and an outline of what the change is.

11 Q. Uh-huh. And then from there you do what? You bring in
12 the stakeholders or? So if I'm changing the MBS alarm procedure,
13 for instance, that affects both the control center operator and
14 the MBS analyst, right? They're kind of two different groups.
15 How do you bring all that together?

16 A. Sure. So after an initial assessment by the compliance
17 group to see if it applies or if it is even close in the category
18 of a procedure, then the procedure would be formatted and a
19 notification would go out to a predetermined list of recipients
20 based on the category of procedure in our manual. So normally we
21 don't as a matter of quality management system distribute outside
22 the group; the work instructions pertain to on-shift controllers
23 or operators and shift leads. So that would be when the review by
24 the control center staff would start and comments would be
25 generated.

1 Q. From the shift leads and the who?

2 A. And the operators.

3 Q. Oh, okay. So the operators actually have input into
4 this as well?

5 A. Right. They have input into procedures that are being
6 proposed by others, and they can also propose changes as
7 operators. The recipient list for -- depending on the type of
8 procedure, it would also include stakeholders like our management
9 group, our engineering group, our technical services group, and
10 our training group.

11 Q. When I've gone through these procedures, what I've
12 noticed is they don't have a lot of detail to them, and I think
13 one of the shift leads brought that up as well as something he'd
14 like to see. You know, when I looked at like shutting down a line
15 or starting up a line, I mean it doesn't tell them, you know, how
16 to -- which station to start with to drive the pressure control
17 valves down first before shutting it. There must be a reason for
18 that that you've left them kind of open to interpretation. Is
19 that by design or is that --

20 A. Depending on the procedure. If it's one of our general
21 standard normal operating procedures for a pipeline, for example,
22 we wouldn't necessarily put a particular sequence of work
23 instructions, they should start this pump then change this control
24 valve setting. So that is by design to build in flexibility into
25 the process, into the task, which if there's any need to have a

1 particular work instruction that maybe will apply to just one
2 pipeline, we have another section in our manual that would have
3 that console-specific work instruction.

4 Q. Those are considered work instructions, not procedures?

5 A. I guess I'm not -- the terminology I'm using is the work
6 instructions would be the part of the procedure that tell the user
7 what to do.

8 Q. And that would be a link -- if you wanted to get into
9 something specific, it would be a link from a master procedure
10 maybe? Is that --

11 A. Right. So there are master procedures in our sections
12 A, B, and C of our manual, and then sections D and E contain
13 supplementary console-specific procedures and additional
14 instructions if something applies to just one pipeline or --

15 Q. That's section D and E?

16 A. Uh-huh.

17 Q. Okay. I don't think I have copies of D and E.

18 MR. JOHNSON: And if I'm not mistaken, and I know I get
19 this somewhat from Steve and Lloyd also, is no one can just sit on
20 a console and use the procedures to start up or shut down a line.
21 These are already trained personnel that are on the console using
22 these procedures. So there's, you know, steps in the simulators
23 and everything else where they're learning the things behind the
24 steps.

25 MR. JOHNSTON: Right.

1 MR. JOHNSON: So it's not like I could go in there or,
2 Ravi, you could go in there, and start up a line based on that.
3 These are procedures that give direction to people that are
4 trained.

5 MR. NICHOLSON: So the answer is that the procedure is
6 not meant to act in that capacity. Training picks up the details.

7 MR. JOHNSON: Procedures not -- yes, the training. So
8 you have different training steps than procedural steps.

9 BY MR. NICHOLSON:

10 Q. Is that understood by the control center?

11 A. I believe it is. And primarily in the pipeline side as
12 opposed to the terminal side, different conditions or line fill or
13 initial pressures, for example, could lead to a different sequence
14 in order to start a step.

15 Q. Right. You can't write a procedure for everything. I
16 understand. I think it was Kurt, though, in his interview who
17 said he was confident that the procedures were written such that
18 nontechnical persons could make sound decisions in the control
19 center, and I guess if you're a nontechnical person, you would
20 maybe want to see a little more detail in the procedure to be sure
21 you were asking the right questions or whatnot.

22 So I guess if I ask you, is that statement accurate? Do
23 you think these procedures are written in a way that someone
24 without a strong technical background can --

25 A. Well, the general steps could be used, I believe, to

1 accomplish a task. So the general steps might include things like
2 before a pipeline started up to notify the other operators, open
3 boughs before you start pumps, verify flow, and those sorts of
4 things. But we wouldn't let somebody do that -- we wouldn't allow
5 somebody to start a pipeline without having completed the training
6 beforehand. So --

7 Q. I'm thinking more of shift leads. I mean operators are
8 going to be probably more technically inclined just from training
9 alone, right? What about shift leads? I mean, like here's MBS
10 leak alarm, right? I mean is there sufficient detail in here for
11 some of these shift leads to pick up and ask the right questions
12 of an MBS analyst?

13 A. Right. So shift leads in our group are former
14 operators, so they would all have taken the operator program in
15 whatever form it existed in at the time they were operators, and
16 achieved a certain technical background proficiency before
17 becoming shift lead.

18 Q. So these procedures are written assuming that the person
19 using them has at least some base level of training?

20 A. That's correct.

21 Q. That being the operator level?

22 A. (No audible response.)

23 Q. And then how do you tailor your training to the
24 procedures as far as, I mean, what procedures you review annually
25 and --

1 A. Right.

2 Q. I mean, some are probably verbal, some are simulator
3 based, right?

4 A. Uh-huh.

5 Q. Okay.

6 A. So there's a number of different ways that we address
7 procedures in the training. In the operator training program
8 there are training modules that establish a foundation of
9 knowledge that needs to exist before the procedures can be, I
10 think, fully understood. So there are written training modules
11 that describe the thought process behind many of the procedures
12 that exist in our system. In addition, there are specific
13 learning objectives within the training program where a trainee
14 will review procedures with a mentor or an instructor. We also
15 have the operators perform proficiency evaluations on the main
16 procedures that they will do the normal operations, such as
17 starting up a pipeline.

18 Q. Okay.

19 A. And observe the correct performance of the procedure as
20 well as --

21 Q. On a simulator or at the console?

22 A. Both.

23 Q. Okay.

24 A. We tend to focus on demonstration of proficiency of
25 normal operations in real operation towards the end of the

1 training. For abnormal operations, we tend to use the simulator
2 more to trigger those events and observe the response.

3 Q. Okay.

4 MR. CHHATRE: I mean, if we want to do kind of an
5 information exchange as you go along, then I can ask questions. I
6 will let you finish and then ask questions, but do you prefer
7 interaction?

8 MR. NICHOLSON: Let's do interaction.

9 MR. CHHATRE: Okay.

10 BY MR. CHHATRE:

11 Q. Okay. I have several questions for you. I'm not quite
12 sure how your umbrella, what is included in your umbrella of
13 training? Which departments, which personnel, which tasks?

14 A. Okay, we have a specific training program for new
15 pipeline operators. We have a specific training program for new
16 terminal operators.

17 MR. JOHNSON: One second.

18 MR. NICHOLSON: Go ahead. Okay, go ahead.

19 MR. JOHNSTON: Continue?

20 MR. NICHOLSON: Yeah, go right ahead.

21 MR. JOHNSTON: We have a training program for shift
22 leads. We have other topical training that we do, such as when a
23 new pipeline or terminal is brought into the control center.

24 BY MR. CHHATRE:

25 Q. But again the training will be for the operators --

1 A. Oh, I'm sorry.

2 Q. I'm just trying to understand which people are in your
3 umbrella.

4 A. Oh, okay. Right, so the operators.

5 Q. Okay.

6 A. Shift leads.

7 Q. Okay.

8 A. We also have a training program for CCO, control center
9 engineers.

10 Q. Okay. And these are all degreed engineers?

11 A. Yes.

12 Q. I want to make sure that it's not a loose title.

13 A. Right. Engineers are professional engineers who are
14 working for us. They are engineering designation.

15 Q. Right. Okay, formal engineering education.

16 A. Yeah, that's correct.

17 Q. Compared to you can be an engineer and be just as --
18 what do they give you?

19 A. Sure.

20 Q. So CCO engineering, control room. Still so far I'm
21 getting the gist that it's mainly a control room focused, the
22 training.

23 A. Yes. It is absolutely, our training is focused on
24 within the department and primarily with on-shift staff.

25 Q. Okay, so who would be your immediate supervision?

1 A. Blaine Reinholt (ph.).

2 Q. Okay, Blaine. And how many people are under your
3 umbrella in terms of staff that report to you to take care of the
4 activities?

5 A. Sure. We have three full-time training facilitators to
6 help deliver the training. We have one full-time technical
7 records administrator that helps with the procedure following
8 management systems process.

9 Q. Okay.

10 A. So there is myself and four people.

11 Q. Four people. Now, you said training facilitators,
12 meaning they are the ones who offer training, like instructors?

13 A. That's one of their duties. They would also help
14 coordinate the on-the-job training, which is delivered by our
15 experienced operators. We refer to them as mentors.

16 Q. Okay.

17 A. So they coordinate and track the progress of the on-the-
18 job training as well.

19 Q. But they're not reporting directly to you?

20 A. The training facilitators report directly to me.

21 Q. Well, there were mentors (indiscernible).

22 A. Sorry?

23 Q. I'm getting kind of confused. So you said the three
24 facilitators not only just do on-the-job -- they just don't
25 instruct the whole group, but they also do on-the-job training and

1 then you mentioned facilitators, so I'm wondering if these three
2 people who do the mentoring also are mentoring is done by routine
3 operators?

4 A. Mentoring is done by operators on shift.

5 Q. Okay. All right. Now, if an employee operator wants,
6 suggesting a change, or even the few personnel that are impacted
7 by your control center, how do they get a change considered by you
8 guys? Is there a standard form that they have to fill or you can
9 take multiple requests or e-mails?

10 A. Our standard format is an e-mail request from people in
11 our department. If someone outside the department has a request,
12 they would generally go through our management group or technical
13 services group for them to initiate the change.

14 Q. And the management group reports to whom?

15 A. Management group reports currently to Kirk Burdis (ph.).
16 Well, and I'm including Blaine Reinholdt, Kurt Goeson.

17 Q. Okay. Is it management or some other group you
18 mentioned, management and --

19 A. Our technical services.

20 Q. Technical services. What is that group?

21 A. That's a group of technical specialists with an
22 operations background. They also report to Blaine Reinholdt.

23 Q. So the other people, the (indiscernible) analysis and
24 terminal analyst and that kind of stuff?

25 A. Yes.

1 Q. And is their training the same as the new operator,
2 shift leads? So essentially they get the same training as the
3 operators do?

4 A. Right. So all of the analysts and the people in the
5 technical services functioning area are also former control center
6 operators.

7 Q. Is that a requirement?

8 A. I don't know if it's necessarily a requirement. It's
9 just the current state of --

10 Q. Okay.

11 MR. NICHOLSON: So if they weren't a previous operator,
12 you would put a profile -- I mean, they'd have to take the courses
13 that an operator takes?

14 MR. JOHNSTON: It hasn't come up yet, but I would say
15 that that would be the best way to handle it.

16 BY MR. CHHATRE:

17 Q. So outside (indiscernible) goes through your management
18 consultants or technical support if they're -- I mean, if there's
19 an operator someplace that you feel that (indiscernible) should
20 not be at this location, there's a problem or the solar system is
21 not working or whatever the case may be, that will go through that
22 thing. They cannot contact you directly?

23 A. They could contact me directly, but the normal thing,
24 they have closer working relationships with our technical
25 services, engineering.

1 Q. But it's not barred that they cannot contact you
2 directly?

3 A. No.

4 Q. I got the impression that you said they had to go
5 through management group, so.

6 A. Oh, no. I'm sorry.

7 Q. They give them directly to you?

8 A. Yes.

9 Q. Okay.

10 MR. JOHNSON: But then you would have to fill out a form
11 to track it, right? So if they talked to you verbally, you would
12 fill in the form?

13 MR. CHHATRE: No, no, I mean contacting the e-mail. I
14 think he said he has -- an e-mail request has to come to him for
15 any new changes, so I'm assuming that anybody within the company
16 can get ahold of you through e-mails and (indiscernible) can track
17 -- I'm not bulleting him with that.

18 BY MR. CHHATRE:

19 Q. I'm just -- initially the impression I got that if I'm
20 not part of the operations and you're not here, then I have to go
21 through the management or technical support, and what you're
22 telling me, that is not the case.

23 A. That's not the case. However, I would generally -- if I
24 had a request for a procedural change from outside the control
25 center, I would generally refer that to someone in our technical

1 services area.

2 Q. That's fine, but that's your choice to evaluate, but
3 they don't have to. Now, do they have to go through the
4 supervision to make sure you don't get bombarded by 200 new
5 requests which may or may not kind of muster, if you would; is
6 there somewhat of check there or? They don't need their
7 supervisor approval for sending you a request?

8 A. No, not for sending in a request.

9 Q. Okay. And what about the management? Either
10 management, and I'm talking not talking about technical
11 management; I'm talking about -- and I do not know what Enbridge
12 considers management positions, but I guess all of these people,
13 including you, I mean, post eventually to some person at a high
14 level. Is the management being trained on what you guys are doing
15 here? Are they familiar with the terms? I mean, if somebody
16 says, "Well, I have a drainage," would somebody who is going to be
17 responsible for that will know what the drainage means? Are you
18 doing something for at least -- I'm using the term loosely as
19 training but still it's a training. Is there a program for that
20 or is it strictly limited to the operators?

21 A. If I understand correctly, we don't have a normal
22 program for training senior management or people outside our
23 immediate --

24 Q. I didn't really imply vice presidents and that kind of
25 people. I'm just saying people who are not necessarily the

1 technical folks. To give an example, we just talked to Blaine
2 before coming here, and he mentioned that he doesn't have
3 technical background in pipeline, however, he's still making the
4 decisions whether to do something or not, and is there some kind
5 of a check or process? I mean I was literally surprised when he
6 said he has no technical background in pipeline but he's still
7 making the decisions. So how do you ensure that (indiscernible)
8 will be able mandate --

9 A. We don't have a formal program for training the people
10 like that.

11 Q. You can call it training. What do you call it? If it's
12 not formal, then how do you enforce it?

13 A. I'm not sure that that's within my --

14 Q. Okay, so that is not part of your --

15 A. No.

16 Q. So where does your level stop in terms of training
17 people? At what level it stops and anything beyond that is not
18 your charter, per se?

19 A. Sure. So I have administrative responsibility for
20 established programs.

21 Q. Like?

22 A. Like the operator and shift lead and engineering. I
23 don't have any, I guess, direction to establish a program for
24 others outside those two --

25 Q. So --

1 MR. JOHNSON: So Blaine --

2 MR. CHHATRE: And about --

3 MR. JOHNSON: -- and Kurt and Ian. If you -- two
4 supervisors and the manager within this group, what is their
5 background? Were they operators or --

6 BY MR. CHHATRE:

7 Q. No, I mean, I guess what I'm question, will they be part
8 of your training responsibility or training them is beyond your
9 responsibility?

10 A. It's not currently a responsibility.

11 Q. In your group. Okay. Now, then the follow-up question
12 is, is there any procedure or program within Enbridge to train
13 these people that you don't train, however still make the decision
14 for the people who you train?

15 A. If I --

16 Q. If you don't know, you don't. That's a --

17 MR. JOHNSON: There's supervisory training and there's
18 manager training.

19 MR. CHHATRE: Okay.

20 MR. JOHNSON: So within those groups, I think that would
21 be, you know, and I'm speculating here, is where it would -- you
22 know, if you need to make a decision, you need to get technical
23 expertise to back you up.

24 BY MR. CHHATRE:

25 Q. Okay. So when the decisions are technical, not

1 managerial, there is no means for them to become familiar with the
2 technical decisions they are making. I understand what you are
3 saying. If it's a management decision, reorganizing, for example,
4 to give a simple example, of moving people or whatever, promoting
5 somebody, it's a management decision, but if it's a technical
6 decision that -- whether it would exceed establish procedure or
7 not and under what circumstances, I would imagine that you need to
8 know what procedure you are breaking, and so is that a part of
9 Enbridge somewhere? I mean, I'm not saying it's your
10 responsibility, but do you know if there is a technician program
11 for these people who are making technical decisions, however are
12 not covered by your program to your knowledge?

13 A. Well, to my knowledge I'm not aware of --

14 Q. Okay, that's enough. That's fair.

15 Now, you said there's a stakeholder review of the
16 process. Now, who picks the stakeholders? Are they already
17 identified people that if the requests comes in this particular
18 area then these are my four people, that are the same two that are
19 randomly picked?

20 A. They're predetermined.

21 Q. Okay. Are they determined by you or are they
22 recommended by their supervisors?

23 A. Those people are identified within the quality
24 management system for procedures.

25 Q. They get people from your group?

1 A. From the department.

2 Q. Oh, from the department?

3 A. Yes.

4 Q. Okay. Now is there re-qualification for the people that
5 you train, like leads, lead specialist, operator, shift, once you
6 train them and they're working, then that's, they're deemed for
7 training?

8 A. So there are different processes. One would be the
9 operator qualification process for those individuals performing
10 covered tasks. Every three years they re-qualify.

11 Q. So and then you train them at that time?

12 A. We do a performance evaluation and evaluate their
13 qualifications.

14 Q. Okay, but there's no formal training at that time? It's
15 just a review of the skills, not the formal training? It sounds
16 like a continuing education type training.

17 A. There's annual emergency response training.

18 Q. Okay. That's mandatory?

19 A. Mandatory, yes. That's mandatory for shift leads and
20 pipeline operators.

21 Q. Okay.

22 MR. JOHNSON: And the operator qualification program
23 that Jim is referring to, which is a PHMSA rule, says every three
24 years you need to check --

25 MR. CHHATRE: Well, yeah.

1 MR. JOHNSON: -- and verify the person's knowledge,
2 skills, and abilities.

3 MR. CHHATRE: Sure. Yep.

4 MR. JOHNSON: So it's not just a review.

5 MR. CHHATRE: I understand.

6 MR. JOHNSON: They're becoming qualified again.

7 BY MR. CHHATRE:

8 Q. Correct. Okay. But it's a three year process. It's
9 not like -- it's a review of something. Now what happens if you
10 find out somebody is not getting up to snuff?

11 A. Then we would have --

12 Q. I'm not saying that is the case. I'm just saying, I'm
13 just trying to understand the training process.

14 A. Sure. Really at any point during, if an employee is
15 deemed unqualified.

16 Q. For the OQ criteria from PHMSA.

17 A. They would need to be suspended from the performance of
18 covered tasks and individually.

19 Q. And then retrain?

20 A. And retrain, yeah.

21 Q. Okay. Now on your procedures, and I'm just speaking to
22 one that I saw, and I'm definitely more familiar with nuclear than
23 your procedures, but you got a revision number on it, when the
24 first procedure will become effective, the duration that it will
25 remain effective, and when, is there some kind of a documentation

1 that automatically, once you establish a procedure does it go
2 through automatic review, that okay, my procedure is good from
3 today and through three years, and then it must be reviewed again
4 to get, is there some kind of a --

5 A. There's no predetermined duration for them to expire or
6 anything like that. There is steps in the quality management
7 system to do an annual procedure review each year. And so it's an
8 annual thing.

9 Q. So it's a requirement? An annual review is required?

10 A. Yes.

11 Q. And that covers pretty much that.

12 BY MR. NICHOLSON:

13 Q. The training that these people have had, does that go on
14 their internal learning history? Is that where your training ends
15 up?

16 A. So the internal learning history, you may be referring
17 to the title of a report that we generate from our management
18 system, so that's one place where we can retrieve the records from
19 current training.

20 Q. If I'm looking at best operating practices, advanced
21 problem solving, static gradients, those are all your, you oversee
22 that training?

23 A. That's correct.

24 Q. What is static gradients?

25 A. Static gradients is, there's a written training module

1 on the theory behind understanding the hydraulics of a non-flowing
2 line, so the static refers to non-flowing and gradients refers to
3 how we teach the material in terms of line head gradient elevation
4 profile.

5 Q. So it is elevation profile?

6 A. Elevation profile is --

7 Q. It's head pressure on a line of different elevations?

8 A. Correct, yes.

9 Q. Is that a required class?

10 A. Static gradients is included in the terminal training
11 program.

12 Q. Why not pipelines?

13 A. Pipeline operators have a little bit more stringent
14 version of that training module. It includes calculation of
15 static gradients.

16 Q. What is whole pipeline perspective?

17 A. Whole pipeline perspective is another written training
18 module that describes an operational philosophy of looking at a
19 whole pipeline rather than parts of a pipeline in isolation. So
20 it introduces the topics that will be more fully described later
21 in later modules in terms of what's happening on a whole pipeline;
22 how one event can affect another and that sort of thing.

23 Q. And advanced problem solving?

24 A. Advanced problem solving can have a written module that
25 goes through the thought process and decision making model around

1 some abnormal operating conditions.

2 Q. Are these all required though? Those that I mentioned?

3 A. They are.

4 Q. And how often are they required?

5 A. In the initial training program for pipeline operators.

6 Q. That's it?

7 A. Yeah. Those modules don't apply to terminal operations.

8 Those are specific to pipelines.

9 Q. But there's no recertification of those? They don't
10 have to take them yearly, is that what I'm hearing?

11 A. The concepts that are described in those modules are
12 retrained and reevaluated, those skills are reevaluated in part of
13 the annual emergency response training.

14 Q. They are? Annually?

15 A. Yeah.

16 BY MR. CHHATRE:

17 Q. Now, you said management approval required, once you go
18 through your procedure of initially I guess your group kind of,
19 once a request comes in your group will do the evaluation, then
20 craft the procedure, then send it to the stakeholders for their
21 comment, then come back, and then either accept, reject, whatever,
22 and then prepare the procedure, and then who approves these
23 procedures once -- did I describe the steps correctly as I
24 understand it, or am I --

25 A. You know, I think it's pretty close, and when --

1 Q. No, tell me. Pretty close is not good enough.

2 A. Sure. So I wouldn't put it exactly that way. I will
3 say the person initiating the change would do the initial draft of
4 the procedure.

5 Q. Okay. All right. Then what happens?

6 A. Then an assessment within the --

7 Q. Your group makes the assessment?

8 A. And initial assessment -- does it apply using that
9 procedure? Then it goes out for review to the --

10 Q. So do we keep -- reword it, change it before it goes, or
11 just make a comment?

12 A. You know, before it's distributed it's formatted, I
13 would call it. If there's nonstandard terminology, if we have a
14 better standard in terminology --

15 Q. Okay, so they do that. Okay. But no substantial change
16 in ordering a request?

17 A. No.

18 Q. Then it goes to peer review?

19 A. Yes.

20 Q. Go ahead, you tell me, what is the next step?

21 A. Sure. Then it goes to a predetermined list of
22 reviewers.

23 Q. Okay.

24 A. Reviewers are invited to make comments in our online
25 forum. Then the comments are reviewed and an approver --

1 Q. By your group?

2 A. No.

3 Q. So comments come back to you?

4 A. Comments are shared with everyone.

5 Q. Is it a continuously running document, so if you make a
6 change everybody sees it, or if there was a suggestion, everybody
7 in the review group sees that?

8 A. Right, as part of the list of comments. And then so my
9 direct group isn't in approver of those changes.

10 Q. Right.

11 A. That responsibility is predetermined.

12 Q. So everybody makes comments. Then what happens?

13 A. Then the predetermined approver will again review the
14 procedure, review all of the comments that were made.

15 Q. I'm assuming initially you have these reviewers that are
16 reading the document now and making changes. Everybody's seeing
17 that. Then what happens? Then who makes it, who accepts or
18 reject these changes and prepares the pilot document?

19 A. So any changes that might accrue would have to be
20 consolidated again by our procedure.

21 Q. So your staff does that?

22 A. Uh-huh.

23 Q. Okay. And then it's sent back again to the same people
24 or different people?

25 A. The review continues.

1 Q. By the same people? Same group of people that initially
2 went? Okay. And what stage something has to stop, so you say
3 enough is enough and this is what it is going to be; I mean,
4 everybody had comments. Where did the process stop?

5 A. Right. Depending on the type of procedure it is, there
6 is a predetermined timeframe that we target. So for procedures in
7 sections A, B, and C, it's 14 days. Now if for some reason it's
8 taking longer and maybe there are more proposed changes, more
9 suggestions, that sort of thing --

10 Q. Right.

11 A. -- it might take longer.

12 Q. Sure.

13 A. But when there seems to be a consensus and a
14 consolidated procedure to approve, then the approver would step in
15 and make their --

16 Q. Okay, who that authority is?

17 A. I'd have to double-check, but for section A it's control
18 center management team. For --

19 Q. Management team meaning whole team has to approve it?

20 A. No, a representative from the team.

21 Q. Okay. But management team meaning which group?

22 A. Departmental management. So that would be the PML
23 [sic], again, Blaine Reinholdt and Kurt Goeson group.

24 Q. Okay.

25 A. For sections B, C, it's a technical services leader that

1 has the approval responsibility. I would refer to --

2 Q. Okay, now are these the people who are authority, are
3 they part of the review group initially?

4 A. Yes. So the, for a section, let's say a B procedure,
5 the predetermined groups would each have a representative or more
6 than one representative review and make comments. That may
7 include CCO engineering, CCO training, CCO technical services, on-
8 shift staff including shift leads and (indiscernible).

9 Q. And one of those people maybe have final approval either
10 way. Okay. Now, does this go, once the team is approved, how do
11 the people who are impacted know that a new change is coming? How
12 would they get information today that there's a new procedure, the
13 old procedure is revised or whatever the case may be, how will the
14 people know?

15 A. There is a notification that occurs after the approval,
16 and when the procedure is being moved into the production
17 procedure.

18 Q. And who gives that?

19 A. The same, the stakeholders.

20 Q. The stakeholders.

21 A. Are the people that effect it.

22 Q. Does anybody in the management gives the notification
23 that, hey, a new procedure has -- they may or may not even
24 understand or know, but are they being told that something is
25 happening upwards of you, that we are establishing new procedure

1 the procedure has been devised, something that -- they are kind of
2 out of the loop?

3 A. They're in the loop.

4 Q. And how do they get notification that you have made some
5 changes?

6 A. That would be in the same e-mail as the rest of the
7 stakeholders.

8 Q. And up to what level of management it goes up?

9 A. For section A procedures it would go up to the manager
10 of the control center operations. Section B and C procedures it
11 would typically go to the supervisors of the department.

12 Q. Would it go up to Blaine Reinholdt or would it go beyond
13 that or? I mean I'm not saying him personally but the level?

14 A. Right. So if Blaine Reinholdt leads the technical
15 services group and he would be the approver for any procedure
16 that --

17 Q. He would be an approver also?

18 A. Uh-huh.

19 Q. Okay. And so you are the one, I mean your group decides
20 where the procedure is distributed because not all may be put
21 (indiscernible). The final distribution list is decided by you,
22 meaning your group, or?

23 A. No, it's predetermined and specified in the quality
24 management system book.

25 Q. Okay.

1 A. So we can refer to that book.

2 Q. So you have no choice but to send it to everybody?

3 A. We have to at least send it everybody on our --

4 Q. Could you add people if you think --

5 A. Yeah.

6 Q. Okay. Now before you review the request of your own
7 procedure going to any task or any area, do you need to know the
8 duties of that particular position before you draft any procedure,
9 or you don't need to know that particular job description's
10 duties? See, in other words, if you felt that there's a
11 possibility it affects operators, do you need to know what the
12 Enbridge expects of a pipeline operator, what Enbridge expects of
13 a terminal operator, what Enbridge expects of a lead, I guess lead
14 operator or shift lead or whatever? Do you need to know all of
15 these different titles' duties before you prepare a procedure or
16 you don't?

17 A. Procedures as we use them contain work instructions for
18 shift leads and particularly operators.

19 Q. Right, so.

20 A. So if a proposal is made that will include work
21 instructions for those people, it would be most effective to
22 understand what those people's existing work --

23 Q. Current tasks are. Okay.

24 A. So as part of the quality management system, we suggest
25 that if a non-operator is proposing a change that they consult

1 with subject matter experts initially to double-check that it's --

2 Q. No, I'm just saying you have to, let's just say we are
3 preparing a procedure for the pipeline operators, for lack of a
4 better example.

5 A. Yep.

6 Q. And this is from scratch. Nobody's suggesting that you
7 should have procedure. Your group felt that, "Jee, you know, we
8 need a procedure for these people follow," do you need their job
9 descriptions and what is expected of them, or you define that?
10 How does that thing get in? I mean you could, do you see what I'm
11 saying?

12 A. Uh-huh.

13 Q. And do you need that or you don't need that?

14 A. One needs at least an understanding of what the role of
15 a pipeline operator is.

16 BY MR. NICHOLSON:

17 Q. I want to clarify something, though. You don't write
18 the procedures, right? They are proposed and given to you, right?
19 Is that correct?

20 A. That's the general idea is that anyone can propose a
21 procedure and write a draft proposal.

22 Q. Right.

23 A. I could, just like anyone else in the department --

24 Q. Sure.

25 A. -- could suggest a proposal and put it in the system,

1 but that's not --

2 Q. That's not really your role. Your role is to route it,
3 I guess?

4 A. Yes. Get administrative --

5 Q. All right. I just wanted to clarify that.

6 BY MR. CHHATRE:

7 Q. Yeah, that, because who writes the procedures for
8 differently than operators do, and when do they become effective?
9 Or these procedures already existed in the company.

10 A. Right. So procedures have existed for many years for
11 control center operators and it's a constant process of --

12 Q. Okay. So, now I want to go back to the mass balance
13 specialist. Is that the correct title?

14 A. Analyst.

15 Q. Mass balance analyst. Are they covered by your
16 procedures? Will those be the people that will impact
17 (indiscernible) the distribution list of various procedures that
18 you write?

19 A. Not generally, no. Since we shouldn't include work
20 instructions for MBS analysts for example.

21 Q. Okay.

22 A. And the control center procedure.

23 Q. But you write the procedure for operator, you are
24 telling them that if there is a mass balance alarm, that they have
25 to contact two minute or what it is, five minute alarm, they will

1 tell the supervisor and/or the analyst. If it's ten minutes,
2 they'll tell the supervisor. If it's two hours, they have to
3 contact the analyst. That is what the, if I understand the
4 procedures, one of the procedures here in control room is five
5 minute, is it five minute, twenty minute, and two hour I think?
6 Whatever.

7 MR. NICHOLSON: The shift lead is to notify the mass
8 balance analyst, right?

9 MR. JOHNSTON: That's the way the procedure is written.

10 BY MR. CHHATRE:

11 Q. But the operator contact is at two hours, they are
12 required to inform the analyst also directly. In other cases
13 they're made from analyst. They may not have to, but they have
14 been from the shift lead. So if you do not know what the analyst
15 is doing for these people, why put that requirement in there?

16 A. So to include the work instruction to notify or for the
17 shift leads to notify, for a notification to the MBS analyst.

18 Q. I understand.

19 A. The MBS analysts have their process, procedure they
20 follow, to the best of my knowledge, to do the support technical
21 analysis of the alarm that you're going to find.

22 Q. So when you ask the lead people to contact the analyst,
23 if you do not know what the analyst is going to do for them, then
24 why would you put that in your procedures? You said you do not,
25 analysts you don't cover.

1 A. Right.

2 Q. Other job descriptions you know and the procedure is
3 kind of -- but if this group who call them, I want to change the
4 word I use in (indiscernible) and you don't write as much, and
5 corners them, why would you put some requirement in the leads and
6 operators' operating procedure or whatever to contact the analyst
7 if you do not know what the analyst is going to do for them?

8 A. So the basis of your question is correct, the control
9 center procedures don't specify work instructions for the analysts
10 to do. We just specify the work instructions for the control
11 center operations on-shift staff to do. Not, yeah, a notification
12 to initiate the MBS analysis process.

13 Q. I mean, you're telling me the same thing. I still have
14 a disconnect.

15 A. Uh-huh.

16 Q. If I was required to do something by procedure which is
17 developed by some group, we need (indiscernible), but that group
18 said that we don't know what analysts do or what their tasks are
19 because they belong to somebody else, then why would you ask me to
20 contact analyst if you do not know and I do not exactly know, I
21 mean, I have hearsay, I don't have exact procedure.

22 A. Right.

23 Q. What is the advantage in doing that?

24 A. Control center procedures specify work instructions,
25 steps to execute based on the outcome of the MBS analysts'

1 process. For example, if the process is taking longer than ten
2 minutes, control center work instruction is to shut down.

3 Q. Right. But, I have no problem in the procedure that's
4 control center operators report to the lead or what they do. My
5 question, and I'm still kind of feeling the disconnect as to the
6 procedure of what I understand, and if I'm incorrect then correct
7 me, but I think they are required a two hour mass balance alarm,
8 that they're required to report it to the analyst and following 20
9 minute, the lead is supposed to inform the analyst, but what
10 you're telling me, you guys do not know what analysts can do for
11 these people? There's no description of what analysts are
12 supposed to do for these people in your, in control room
13 procedure. So how would I know as an operator what to expect from
14 this analyst and why I am doing this, or the lead for that matter?

15 A. Right, so I guess the way to describe the procedure is,
16 and my understanding of the way it's written --

17 Q. Okay.

18 A. It's regardless -- will we be able to pull it up?

19 MR. NICHOLSON: Yeah.

20 MR. JOHNSTON: I've got it right here.

21 Yeah, that'd be great.

22 MR. NICHOLSON: Let's not even speculate.

23 MR. JOHNSON: Can we take five minutes here if we could
24 go off of reporting for five minutes?

25 MR. NICHOLSON: Sure.

1 MR. JOHNSON: I have a request for Matt.

2 MR. NICHOLSON: Okay, let's take a five minute break.

3 (Off the record.)

4 (On the record.)

5 MR. NICHOLSON: Back on the record.

6 MR. CHHATRE: Back on the record.

7 MR. NICHOLSON: With Jim Johnston.

8 BY MR. CHHATRE:

9 Q. One, let me get the question from me is didn't you send
10 somebody for mentoring, you mentioned mentoring different parts
11 that you guys do, how do the mentor knows that somebody's being
12 sent to him or her for training? Is there an official
13 notification that goes from you or somebody from your department
14 to the mentor, the lead, both?

15 A. Right. There's a couple of different circumstances that
16 could apply. For the entry level operating positions, which is a
17 long training program, I think six to nine months, somewhere in
18 there.

19 Q. Oh, that long?

20 A. And if we dedicate a mentor to fill that role --

21 MR. NICHOLSON: I want to break in for a second because
22 where we left off we were going to get into that MBS procedure.

23 MR. CHHATRE: Right. Right. Okay.

24 MR. NICHOLSON: So can I redirect us back there?

25 MR. CHHATRE: We can go back. Yep, sure. Makes sense.

1 MR. NICHOLSON: I've got notes to cover what we were
2 talking about.

3 MR. CHHATRE: Go ahead and do it. Go ahead and do it.
4 Yeah.

5 MR. NICHOLSON: So.

6 MR. JOHNSTON: Did I give you the procedure already
7 or --

8 MR. NICHOLSON: You were going to pull it up I think.

9 MR. CHHATRE: With that break I completely lost track.

10 MR. NICHOLSON: I know. I just didn't want -- I wanted
11 to try and finish this thought here.

12 MR. JOHNSTON: It may have turned itself off.

13 MR. CHHATRE: What does PADD stand for? What does PADD
14 stand for?

15 MR. JOHNSON: We were talking about that yesterday. I
16 don't remember what it stands for. It's a government term, but I
17 don't know.

18 MR. CHHATRE: It looks like it's only applicable in the
19 United States and not in Canada.

20 MR. JOHNSON: It's an energy department or defense
21 department terminology.

22 MR. CHHATRE: Okay.

23 BY MR. NICHOLSON:

24 Q. Okay, so we'll open up the -- so Jim has brought up on
25 the big screen for us, what are we looking at, Lotus Notes?

1 A. That is correct. Lotus Notes procedure database.

2 Q. And this is what the operators, shift leads, everyone
3 has access to?

4 A. That's correct.

5 Q. Okay. Looks just like this with the tabs at the top.
6 It looks like two tabs. One says ECC procedures, table of
7 contents. The other is emergency procedures. That's it?

8 A. Right. So this tab, the table of contents can be still
9 open while individual documents are accessed.

10 MR. NICHOLSON: Oh, okay.

11 MR. CHHATRE: Great.

12 MR. JOHNSTON: So here we're looking at MBS leak alarm,
13 and Ravi, you were questioning notification to the MBS analysts?

14 MR. CHHATRE: Correct.

15 MR. JOHNSTON: What was your line of questioning on
16 that?

17 BY MR. CHHATRE:

18 Q. The questioning was the five minute mass balance, 20
19 minute, the operator has to report it to his lead and may or may
20 not report directly to the mass balance specialist. At least that
21 is what the operators told us. However, two hour alarm he must
22 report to the mass balance analyst, and that doesn't mean that he
23 should not report to the lead, but that is an expectation from
24 your operator; their two hour lead alarm he or she has to report
25 to the specialist, is that correct?

1 A. Okay, so if any alarm occurs the pipeline operator
2 notifies the shift lead.

3 Q. Okay.

4 A. Okay. The shift lead assesses the alarm.

5 Q. Uh-huh.

6 A. If the alarm is a two-hour alarm and there was no
7 previous five or 20 minute alarm, they would go right to notifying
8 the, or executing the analysis by MBS report procedure. Or, if
9 from their analysis tool a condition occurs, in this case a green
10 line drops below a red line in the one assessment screen --

11 MR. NICHOLSON: What is that box around that alarm
12 assessment screen? That's a link?

13 MR. JOHNSTON: That has additional pop-up text.

14 MR. NICHOLSON: Okay. Oh, that's all that means? Okay.

15 MR. JOHNSTON: Or if there's doubt about the reliability
16 of the model, then the analysis by MBS support is required. Now
17 if these conditions don't occur, in other words from the alarm
18 assessment screen if it appears that the alarm condition is
19 temporary, it's going to clear by itself, then we don't go to the
20 MBS support procedure. We go to the temporary alarm procedure,
21 and these are links to those procedures.

22 BY MR. CHHATRE:

23 Q. Now, what are, these green lines, they are five minute
24 or twenty minute alarm. Green is on another level?

25 A. So shift leads have an assessment screen where they can

1 basically check a trend, an imbalance type of a trend as I
2 understand it, and it's set up for them to based on this
3 condition, green line/red line, proceed either to further analysis
4 or --

5 Q. What does the green line mean and what does the red line
6 means?

7 MR. NICHOLSON: Aren't you really describing a five
8 minute MBS alarm there when you write the green line on the alarm
9 assessment screen remains below the red alarm line for five
10 minutes, isn't that the same as a five minute MBS alarm?

11 MR. JOHNSTON: Okay, so I think of the red alarm line as
12 a threshold and the green line as the imbalance or the current
13 condition.

14 MR. NICHOLSON: Okay.

15 MR. JOHNSTON: Now, if the green line is below the alarm
16 threshold for more than, for five minutes, I believe the theory
17 behind that is to execute is to notify support so there's still
18 time left to do additional assessment within ten minutes.

19 MR. CHHATRE: So there's the five minute alarm and 20
20 minute alarm essentially, and we are defining what a five minute
21 alarm is and what a 15 alarm is. So then possibly we need to know
22 what red line and green line means, but besides that it's still
23 essentially you're identifying the different alarms in here, am I
24 correct? Is that what we're on again, Matt?

25 MR. NICHOLSON: Yeah, that's what I was trying to say.

1 I mean, they've just kind of elongated five minute mass balance
2 alarm.

3 MR. JOHNSTON: Right. Yeah, so the first bullet refers
4 to the type of alarm, the five minute -- it refers to the type of
5 the alarm, five minute, twenty minute, or two hour.

6 MR. CHHATRE: Right. Right.

7 MR. JOHNSTON: The second bullet refers to a time limit
8 that the shift lead is going to use before notifying the MBS
9 support.

10 MR. NICHOLSON: You lost me. Can you put the cursor
11 over the five minute box for a second?

12 MR. JOHNSTON: Sure.

13 MR. NICHOLSON: Oh, after the initial MBS alarm. Oh,
14 okay, so this is different.

15 MR. CHHATRE: Well actually it is a five minute alarm.

16 MR. NICHOLSON: So you're saying after you get the five
17 minute mass balance alarm you wait an additional five minutes?

18 MR. JOHNSTON: So this first sentence refers to any
19 alarm, five minute, twenty minute, or two hours.

20 MR. NICHOLSON: Okay.

21 MS. BUTLER: Matt, can you explain to me what procedure
22 you're reviewing?

23 MR. NICHOLSON: We're looking at the MBS leak alarm
24 procedure.

25 MS. BUTLER: Okay, thank you.

1 MR. JOHNSTON: She should have a copy, right?

2 MR. NICHOLSON: Okay.

3 MR. CHHATRE: You said execute MBS alarm analysis by MBS
4 support procedure. What does that mean?

5 MR. JOHNSTON: Sure.

6 MR. CHHATRE: Can you put it --

7 MR. JOHNSTON: Sure. Stop it. So if after ten minutes
8 an analysis of the alarm is not complete, so we're 20 minutes into
9 it at that point.

10 MR. NICHOLSON: Did I get that first page correct? You
11 could have a five minute mass balance alarm and then the shift
12 lead can wait an additional five minutes for that to clear. Is
13 that how --

14 MR. JOHNSTON: So the alarm is activated, and that alarm
15 text might say five minute, twenty minute, or two hours.

16 MR. NICHOLSON: Right.

17 MR. JOHNSTON: From the previous procedure the shift
18 lead may be looking at his tool for five minutes, up to five
19 minutes watching the trend.

20 MR. NICHOLSON: Right.

21 MR. JOHNSTON: So he's, you've got doing this initial
22 five minute.

23 MR. NICHOLSON: All right, so if it's a five minute
24 alarm, then he's waiting another five minutes.

25 MR. CHHATRE: No, he -- the alarm came in with a text

1 that said this is a five minute alarm. So you have that time zero
2 and the lead is watching you for five minutes.

3 MR. NICHOLSON: It depends on which side of that alarm
4 you're looking because it took five minutes for that alarm to come
5 in, right? It's totalizing for five minutes.

6 MR. JOHNSTON: Right. So we're --

7 MR. NICHOLSON: That's five minutes after the alarm came
8 in.

9 MR. JOHNSTON: Yeah, we're not attempting to set a timer
10 from an actual sort of beacon or imbalanced set. It's from the
11 time of the alarm.

12 MR. NICHOLSON: Got you. So Ravi, I think it's the last
13 two bullets that you were interested in, where the MBS support has
14 to advise if the alarm is valid --

15 MR. CHHATRE: Oh, yes. But that is your procedure where
16 it is not binding on the analyst. The analysts are claiming
17 they're not going to classify it for someone. They're only going
18 to tell if the model is working or not working. The two
19 procedures are not jiving. Your staff is expecting something from
20 analyst, and analyst is saying, "Well, our procedure is different.
21 All we are going to do for you is just tell you if my monitor
22 working, my monitor not working."

23 MR. JOHNSTON: I think I see --

24 MR. CHHATRE: Did I answer that correctly?

25 MR. NICHOLSON: No, I'm not --

1 MR. JOHNSON: Yes, but you know, so well, what's Ravi's
2 asking is what we've heard here recently, and I believe that's
3 been changed since, you know, what the MBS, since Marshall.

4 MR. NICHOLSON: The 25th.

5 MR. JOHNSON: I don't know that this has been changed to
6 reflect that. I think that's probably your process between the
7 MBS staff and the control center staff, Jim, where they're only
8 allowed to give you X amount of information.

9 MR. NICHOLSON: So pre-Marshall, this would have been
10 binding --

11 MR. JOHNSON: I think, well Jim can go into the
12 modification history and tell you if this was, you know, pre-
13 Marshall or if it's been changed.

14 MR. CHHATRE: Well, and I can, I don't know about Matt,
15 but I'm considered mainly in pre-Marshall because that was the
16 condition that the operators are expecting. So we don't worry
17 right now with the changes --

18 MR. JOHNSON: What's the latest modification say -- what
19 vintage is this, Jim?

20 MR. JOHNSTON: I can double-check this for you, but this
21 is the procedure at the time of Marshall.

22 MR. CHHATRE: Great. And that's what --

23 MR. JOHNSON: Okay, perfect. Thanks, Jim.

24 MR. NICHOLSON: So Jim, just one second. You don't
25 write the procedures for the MBS personnel, right?

1 MR. JOHNSTON: No.

2 MR. NICHOLSON: Who does?

3 MR. JOHNSTON: I'm not sure exactly who does that.

4 MR. NICHOLSON: Do they have procedures?

5 MR. JOHNSTON: I believe they do.

6 MR. NICHOLSON: Is this considered a procedure?

7 MR. JOHNSON: And would that be under Lorna's area?

8 MR. JOHNSTON: Yes.

9 MR. NICHOLSON: Can you spell Lorna?

10 MR. JOHNSON: Lorna, L-o-r-n-a Harron, H-a-r-r-o-n.

11 MR. NICHOLSON: Okay.

12 MR. JOHNSON: She's the manager of MBS.

13 MR. NICHOLSON: And this is what their procedure would
14 be more of a flow chart, is that -- is this what they would call
15 their procedure?

16 MR. JOHNSTON: That's the document that I've seen.

17 MR. CHHATRE: So your stakeholders, these people are not
18 part of your stakeholders where the procedure goes for review?

19 MR. JOHNSTON: Not a standard part, no.

20 MR. NICHOLSON: But would they look at your procedure
21 when they're writing their procedure so that the language is
22 consistent? So when you get to a certain part of this flow chart
23 the MBS analyst is using language that's consistent here, valid or
24 temporary? Or is there really a disconnect?

25 MR. CHHATRE: I have for you one step before, are you a

1 part of approval or just like the other stakeholders group and
2 they are not part of yours, are you part of their stakeholders
3 group and they advise their procedures to you, would you be able
4 to comment on it before anything goes into final format?

5 MR. JOHNSTON: Myself as an individual in my --

6 MR. CHHATRE: You're the training on the control room
7 center, right? So anybody in the control center is, if not you,
8 anybody who you designate, are they a part of their stakeholder
9 review process and approval process of their procedures?

10 MR. JOHNSON: So do we have a voice or does CCO have a
11 voice in the MBS procedures and vice versa ?

12 MR. CHHATRE: And vice versa. Vice versa, exactly.

13 MR. JOHNSTON: So yeah, the MBS isn't a standard
14 stakeholder in our process.

15 BY MR. CHHATRE:

16 Q. And neither are you on --

17 A. Not that I'm aware of.

18 Q. Okay. So it's totally separate entities essentially?
19 Not even closely at all.

20 A. Yeah, the entities meet on a regular basis, people from
21 each group, and they hold regular --

22 Q. Now my curiosity is perked. I wasn't even going to go
23 that far, but so what do you guys discuss in the meeting?

24 A. Okay, so myself I --

25 Q. No, I mean I think you have regular meetings.

1 A. Uh-huh.

2 Q. So what is discussed in the meetings?

3 MR. NICHOLSON: What are the topics?

4 MR. CHHATRE: Do minutes come out or --

5 MR. JOHNSON: To me that would be an IR and I'll put
6 that down as minutes from those meetings. Matt, is that something
7 you'd want?

8 MR. CHHATRE: I don't know --

9 MR. NICHOLSON: We don't need minutes. I think we just
10 want to get a general idea.

11 MR. CHHATRE: Yeah, that's all.

12 MR. JOHNSON: Yeah, Jim's not one of those in the
13 meetings.

14 MR. NICHOLSON: That's fine.

15 MR. JOHNSTON: -- don't got to that meeting.

16 MR. JOHNSON: Okay.

17 BY MR. NICHOLSON:

18 Q. But I can see here from their procedure that they're
19 supposed to communicate back to the CCO that the model is
20 indicating column separation and then it tells them to tell the
21 CCO it's not reliable because there's two phase, and then it says
22 tell the CCO they can start up but it's up to them. So I didn't,
23 you know, there's nothing in this procedure I see that matches,
24 you know, tell them it's valid or invalid. Are you familiar with
25 this?

1 A. I've read it.

2 Q. Okay.

3 A. Yeah.

4 Q. Am I correct or am I missing another part that --

5 A. Yeah, I don't see a real good connection either.

6 Q. Okay. All right, well then that finally explains it.

7 MR. JOHNSON: Great, okay, yeah.

8 MR. NICHOLSON: Because we've asked the operators when
9 they hear columns set back from the MBS is that valid or invalid,
10 and we always kind of get a --

11 MR. JOHNSTON: I'm --

12 MR. NICHOLSON: Okay.

13 MR. CHHATRE: I'm good on this one. Go to the next one.

14 MR. NICHOLSON: So I think they took call-sep in this
15 case to be a temporary alarm. Is that what you want him to click
16 on?

17 MR. CHHATRE: Right. I want to find out really, because
18 I think there's a phone conversation I think the specialist is
19 claiming it to be a false alarm, is he not?

20 MR. JOHNSON: So that's where you want him to click on
21 right there, Ravi?

22 MR. CHHATRE: Yeah.

23 MR. JOHNSON: Okay. So right now, Karen, what they're
24 pulling up is the MBS leak alarm/temporary alarm.

25 MS. BUTLER: That procedure?

1 MR. JOHNSON: Yes. And while they're reading I'll read
2 it because my voice carries. It says, "If the shift leader or MBS
3 support determines that an MBS alarm is temporary, the pipeline
4 operator, one, continue normal operations," with two bullet
5 points, "No pipeline shutdown is required," or, "If pipeline was
6 shutdown, resume normal operations."

7 MR. CHHATRE: Can you clear that up on normal operations
8 rebooting requirement?

9 MR. JOHNSON: Sure.

10 MR. CHHATRE: Define abnormal operations. We went back
11 to the schedule.

12 MR. JOHNSTON: I think that link isn't going to where --

13 MR. NICHOLSON: No, I've seen that. It's its own thing,
14 but your link's not working.

15 MR. JOHNSTON: I can go there if, let's see. Okay, here
16 we go.

17 MR. JOHNSON: And now, Karen, we've went to the tab
18 where if that happened it would take you to abnormal operating
19 condition reporting requirements, and that's the procedure. And
20 it's for after responding to an abnormal operating condition,
21 which the MBS alarm or MBS alarm temporary would have been.

22 MR. NICHOLSON: It's just, there's no requirement to do
23 this on a false alarm. It just says related topics. Is that
24 correct?

25 MR. JOHNSON: I would say --

1 MR. NICHOLSON: There's no requirement from the previous
2 procedure to do this.

3 MR. JOHNSTON: Right, that's additional information kind
4 of thing.

5 MR. NICHOLSON: Okay.

6 MR. CHHATRE: Okay. Can you come down? It looks like
7 there are more topics now.

8 MR. JOHNSON: Were you interested in all of the topics?

9 MR. CHHATRE: No, I just -- that's all right. I'm good.
10 Matt has everything.

11 MR. NICHOLSON: So you've got modification history here.
12 That's how we could tell if this was pre-Marshall or --

13 MR. JOHNSTON: Yeah, I would, we have an actual
14 modification log that I think would be the best place to look.

15 MR. CHHATRE: So this modification history will actually
16 even tell when this procedure went into effect initially, right?

17 MR. JOHNSTON: Yeah, I would consider the modification
18 log the best source. Rather than looking at sort of this field in
19 this procedure, I would --

20 MR. NICHOLSON: That's a log you keep?

21 MR. JOHNSTON: Yeah, it's actually --

22 MR. CHHATRE: Can we go into, I'm just curious to find
23 out what the modifications looks like; how often it's modified.

24 MR. JOHNSTON: It doesn't actually have that. It says -

25 -

1 MR. CHHATRE: Who did the last modification? Last time
2 late 2006. The procedure has been --

3 MR. NICHOLSON: All you did in 2006 was added a link?

4 MR. JOHNSTON: Yeah, so I would, for changes, for each
5 change I would tend to use the modification log instead.

6 MR. NICHOLSON: Okay.

7 MR. JOHNSTON: If you wanted to dig in.

8 MR. CHHATRE: These are histories, but the log is --

9 MR. JOHNSTON: Right. So --

10 MR. NICHOLSON: That's fine. Okay.

11 MR. CHHATRE: What is next for you, Matt?

12 MR. NICHOLSON: Well, that was one of them, but if
13 you're done I've got some other questions.

14 MR. CHHATRE: I want to look at that, the 5 minute, 10
15 minutes, 20 minutes, I still wanted to dwell into that. I want to
16 find out what that says because I think your point is well taken;
17 are we really watching it for five minutes and then he would want
18 it -- the alarm doesn't come for five minutes and he's watching
19 for five minutes, and what we heard in the interview is not jiving
20 with the procedure. That's why I wanted to go back to that
21 because --

22 MR. NICHOLSON: Well, I think our takeaway from these
23 interviews was that, and maybe Jim can talk to us a little bit,
24 but first off one of my takeaways was a lot of people don't seem
25 to know these procedures at all. Maybe that speaks to training a

1 little bit, but you know, they go, "Well, I think there's a
2 procedure for that," or, you know, they can't name the procedure
3 and maybe that's because of the way this is structured because it
4 is so modular because there's so many sub-menus it's just hard to
5 actually attribute an action to one particular procedure.

6 MR. JOHNSTON: Right, having the modular does result in
7 more titles not procedures. So without having the table of
8 contents in front of you it may be hard to remember.

9 MR. NICHOLSON: Well, let me ask it this way, because
10 also what I heard is it's not really up to the operator to know
11 the procedures as much as it's really up to the shift leads to be
12 the ones to interpret procedures, is that how the control center
13 is structured at all or not? Is that a wrong statement? The
14 shift leads are to really know the procedures and the operators
15 are supposed to rely on them for the execution?

16 MR. JOHNSTON: So the control center operators need to
17 be able to find and access and understand and execute all of the
18 procedures that have work instructions for them.

19 MR. CHHATRE: And do you have access, a terminal for
20 this?

21 MR. NICHOLSON: They've got this.

22 MR. JOHNSTON: So if there's a work instruction intended
23 for the pipeline operator, our expectation is that they will
24 understand what to do and be able to follow the procedure and
25 execute.

1 MR. CHHATRE: Can you go back on the screen, go back one
2 step? No, go back one more.

3 MR. NICHOLSON: Oh, sorry.

4 MR. CHHATRE: I want to go back to the operator. Here
5 we go. Okay. This is leak detection alarm, and I'm going to fix
6 in on that. What does that mean? Is there a special thing that
7 comes on the screen that says leak detection?

8 MR. JOHNSTON: It's a specific alarm that comes through
9 the SCADA system in a similar fashion as other alarms.

10 MR. CHHATRE: Okay. It's quality protection?

11 MR. JOHNSTON: I believe it says MBS leak alarm,
12 something to that effect.

13 MR. NICHOLSON: These are your 5 minute, 20 minute, 2
14 hour MBS alarms. Those are correct?

15 MR. JOHNSTON: Yep.

16 MR. NICHOLSON: Okay, so it's not --

17 MR. JOHNSTON: I thought when I saw these I --

18 MR. NICHOLSON: Okay.

19 MR. CHHATRE: So pipeline operator only needs to know
20 from this procedure that he has to notify shift lead and he has to
21 recall AOC and Facman. That's all he/she needs to know, correct?

22 MR. JOHNSTON: Yeah, that's the initial step.

23 MR. CHHATRE: That's all he needs to know.

24 MR. JOHNSON: No. That's what he's going to do and then
25 the shift lead, and then the blue, is that not the things that the

1 shift lead and/or operator would do, Jim?

2 MR. JOHNSTON: Yes.

3 MR. NICHOLSON: And/or operator? I thought it was for
4 the shift lead.

5 MR. CHHATRE: These are shift, I mean the titles say
6 shift lead.

7 MR. JOHNSON: Is that -- okay. So then maybe it's my
8 mistake.

9 MR. JOHNSTON: So it'd be the shift lead doing the --

10 MR. JOHNSON: The who?

11 MR. JOHNSTON: -- alarm assessment screen.

12 MR. JOHNSON: Oh, okay. My mistake. Sorry, Ravi.

13 MR. CHHATRE: So the operators in essence have created
14 this, they need to know, and the lead needs to know in detail.

15 MR. JOHNSON: So what we're looking at, Karen, under MBS
16 leak alarm, if a leak detection alarm occurs, the pipeline
17 operator is to notify his shift lead and record the AOC and
18 Facman, and then the shift lead is to assess the alarm and then
19 his steps below say, if any of the following conditions occur, a
20 two hour alarm is received by itself and not in conjunction with
21 the twenty minute alarm, the green light on the alarm assessment
22 screen remains below the red alarm for five minutes, and each one
23 of the alarm screen and the five minute are boxed in, which would
24 take them additional spots. The green line drops below the red
25 line again any time within 20 minutes of the initial alarm or, and

1 finally there is any doubt about the reliability of the model, and
2 then below that is execute the MBS alarm analysis by MBS support.

3 MS. BUTLER: So basically right now what we've got is a
4 procedure that requires that entire assessment to be done by the
5 shift leads?

6 MR. CHHATRE: That is my understanding of this procedure
7 as it is displayed.

8 MR. JOHNSON: That is correct, is it not Jim?

9 MR. JOHNSTON: Yep. I would call that an initial
10 assessment.

11 MR. NICHOLSON: But in reality what they're doing, from
12 what I heard in the interviews is the shift lead gets a call and
13 he immediately calls the MBS analyst. I've never heard anyone
14 talk about any of the assessment. It sounds like they just hand
15 it off to the MBS analyst, right?

16 MR. JOHNSTON: It assesses --

17 MR. CHHATRE: Let's get back to his screen because --

18 MR. NICHOLSON: And in fact, I don't even think, is a
19 shift lead qualified to determine the reliability of the log?

20 MR. CHHATRE: That is exactly, that's what I was really
21 coming to.

22 MR. JOHNSON: Well, I think, that last bullet point, if
23 there is any doubt about the reliability of the model, his method
24 of finding that out would be from the MBS analyst.

25 MS. BUTLER: All right, the MBS analyst has clearly

1 started on the record that their position as to indicate whether
2 it's a valid model or not.

3 MR. JOHNSON: So I think you're correct in that the
4 shift lead is going to go to the MBS person? And they would do
5 this together?

6 MS. BUTLER: And furthermore, I'm really a little bit
7 concerned about how they're supposed to do that if they're not
8 reviewing the alarm queue.

9 MR. JOHNSON: Who is they, Karen? I'm sorry.

10 MS. BUTLER: Shift leads as they indicated today; that
11 they don't really review the alarm queue, and so how would they
12 ever know an MBS alarm comes in until they receive the call,
13 right?

14 MR. JOHNSON: Well, I mean that's the first thing that
15 the pipeline operator does is notify shift lead, so they wouldn't
16 have to review them. The shift lead or the operators told them --

17 MS. BUTLER: Well, but how would they know, okay, aren't
18 those other things like kind of contingent upon whether we're
19 talking about a five minute, a twenty minute, or a two hour one?

20 MR. JOHNSON: It's telling the shift lead, number one,
21 assess the alarm, and then tells him the steps below that of how
22 to assesses that.

23 MS. BUTLER: Okay, but only from one screen, right?

24 MR. CHHATRE: No, it doesn't say anything about screen.

25 MS. BUTLER: Well, doesn't it say a red/green thing?

1 MR. NICHOLSON: Yeah.

2 MR. CHHATRE: Right.

3 MS. BUTLER: So aren't they looking only at one thing?

4 MR. NICHOLSON: Yes.

5 MR. CHHATRE: Yes, they are.

6 MS. BUTLER: Okay, so if an MBS alarm clears, the shift
7 lead doesn't have to call, or the operator doesn't have to call
8 them, right?

9 MR. JOHNSTON: Right.

10 MR. CHHATRE: No, but that --

11 MS. BUTLER: So --

12 MR. CHHATRE: But according to the procedure, that is
13 not operator's task to monitor for five minutes.

14 MR. NICHOLSON: No, she said if it clears then the
15 pipeline operator never has to notify a shift leader.

16 MS. BUTLER: Okay, so if it clears --

17 MR. CHHATRE: But that doesn't --

18 MS. BUTLER: -- is that red, because I'm not sure what
19 you're looking at, so you've got to forgive me, but I'm trying to
20 understand the process, is that red and green element going to
21 change if the MBS alarm clears?

22 MR. JOHNSTON: Yes.

23 MR. CHHATRE: It is not up to the operator to wait for
24 five minutes. The procedure says anytime he gets an alarm,
25 operator has to inform lead immediately pretty much.

1 MS. BUTLER: Right, which they've been doing.

2 MR. CHHATRE: Well, no, I think the operator, if I have
3 the interview correctly, I think they are watching it and then it
4 clears itself so he didn't notify anybody. Is that --

5 MR. NICHOLSON: Yeah, the operator notifies the shift
6 leads --

7 MS. BUTLER: And the operator has consistently in the
8 interviews notified the shift leads.

9 MR. CHHATRE: Okay, so the lead is the one who --

10 MR. NICHOLSON: And the MBS. I mean, if anything
11 they're jumping straight to item one down here.

12 MR. CHHATRE: Yep.

13 MR. NICHOLSON: It just seems like everyone defaults to
14 this.

15 MR. CHHATRE: This one, yeah.

16 MR. NICHOLSON: Just to be safe.

17 MS. BUTLER: Okay, so in the event, so talk to me a
18 minute. In the event that an alarm clears, they would have
19 initially made the call, so the shift lead's supposed to be
20 figuring these things out, and when the alarm clears, the display
21 that you're looking at with the red/green line, it would clear, is
22 that correct?

23 MR. JOHNSON: Maybe, and Jim jump in here, as I read it
24 here when it talks about those four bullet points, Karen, where he
25 would look at these various things, and if that does happen, you

1 would execute the MBS alarm. If none of these above conditions
2 occur, then you execute the MBS alarm temporary, and I believe
3 that would be when it goes away. Is that --

4 MR. CHHATRE: Yeah, it tells you to proceed as usual..

5 MR. JOHNSON: Yeah. Does that help, Karen?

6 MS. BUTLER: Yeah, it does.

7 MR. JOHNSON: Okay.

8 MS. BUTLER: I just hadn't got that far yet.

9 MR. JOHNSON: And well, and I didn't either, so I
10 apologize.

11 MS. BUTLER: You don't have to. Sorry about that.

12 MR. JOHNSON: No, actually your question, it worked
13 right into it, so I think it cleared it up now.

14 MR. CHHATRE: So the control room people clearly defines
15 mass balance leak as a leak unless these things happen, right?

16 MR. JOHNSTON: Say that again?

17 MR. CHHATRE: Mass balance leaks to the control room
18 folks as the procedure is written says leak has occurred.

19 MR. JOHNSON: Yes.

20 MR. CHHATRE: If a leak detection alarm occurs. So
21 they're calling it a leak detection alarm pretty much. So unless
22 these things happen, the leak is supposed to have occurred. I
23 mean these steps are to eliminate that leak did not occur. I
24 guess what I'm going back to is, a leak is presumed to have
25 occurred when you get this thing, but what I understood up to this

1 point was it's a mass balance alarm and not a leak alarm, where
2 your procedure clearly says it is a leak alarm. So leak --

3 MS. BUTLER: No, I think what's going on with that
4 confusion just to interject and maybe we want to take this off the
5 record for just a second, Matt.

6 MR. NICHOLSON: Why?

7 MS. BUTLER: Okay, what I think is being misunderstood
8 is the fact that the leak detection system that they're talking
9 about isn't so much that they're saying the MBS isn't a leak
10 detection system. They're just saying it's one of several leak
11 detection tools.

12 MR. CHHATRE: No, Karen, we are not looking at the same
13 screen maybe.

14 MR. NICHOLSON: I think Karen is accurate. I think that
15 was stated that they use it --

16 MR. CHHATRE: I understand.

17 MR. NICHOLSON: -- as another trigger.

18 MR. CHHATRE: But what I'm saying is, according to
19 procedure it is not one of the, it is -- any time you get a mass
20 balance --

21 MR. NICHOLSON: Yes.

22 MR. CHHATRE: -- leak is supposed to be presumed. You
23 can look at other factors and eliminate that or whatever, but when
24 this alarm comes, by default everybody has to treat this as a leak
25 unless you do these things, and the leak is ruled out.

1 MR. NICHOLSON: Yeah, I was picking up on that too in
2 the interviews. People hesitated to call this a leak detection
3 log.

4 MR. CHHATRE: Yeah, they're all calling it a mass
5 balance --

6 MR. NICHOLSON: But your procedure clearly calls it a
7 leak detection alarm.

8 MR. CHHATRE: So the big disconnect is what I'm seeing
9 here.

10 MS. BUTLER: All right, I think it was because it all
11 started --

12 MR. NICHOLSON: Is this a holdover from --

13 MS. BUTLER: -- with Jim when he was talking to us about
14 the MBS system, and he's the one that wanted the distinction, but
15 the reason that he wanted the distinction, I'm positive, is
16 because there is more than one type of leak detection tool.

17 MR. CHHATRE: Well, I'm not disputing that at all.

18 MR. JOHNSON: Actually, you know --

19 MS. BUTLER: Okay.

20 MR. JOHNSON: Everything would go away if it said MBS
21 leak trigger, but right now it does say MBS leak alarm, and you
22 have to rule out the fact that it's not a leak.

23 MR. CHHATRE: It is not by default -- it existed at
24 Marshall incident it very clearly says.

25 MR. JOHNSON: It does say that.

1 MR. CHHATRE: It does say that.

2 MS. BUTLER: And what was the last bit? It does say
3 what?

4 MR. CHHATRE: In the procedure, very top, it says MBS
5 leak alarm, right underneath that before any bullet, it says if a
6 leak detection alarm occurs, then you're following steps.

7 MS. BUTLER: Okay.

8 MR. CHHATRE: And the very last step is, if anyone of
9 these things happen and alarm clears, then and then only you can
10 go back to normal operation. Until that point you cannot go back
11 to normal operation according to this procedure.

12 MS. BUTLER: All right, is the note about the temporary
13 procedure ahead of the normal operations statement?

14 MR. JOHNSON: No.

15 MR. CHHATRE: No.

16 MR. JOHNSON: The first thing they ask you to do is rule
17 out the MBS leak alarm.

18 MS. BUTLER: Okay.

19 MR. JOHNSON: And then it tells you what to do if you
20 haven't.

21 MS. BUTLER: Okay.

22 MR. JOHNSON: And then it tells you if none of the
23 conditions occur, execute the temporary alarm.

24 MR. CHHATRE: Essentially what it's telling the operator
25 to go back and resume the operation as normal.

1 MR. JOHNSON: Yes. Don't shut down if he's running, and
2 if you've shut down, you can resume operations.

3 MR. NICHOLSON: I mean it is, but it is incomplete if
4 it's going to say leak detection alarm and it's truly presuming a
5 leak.

6 MR. CHHATRE: (indiscernible).

7 MR. NICHOLSON: And fails to have anyone go look at the
8 other leak triggers, and it doesn't give you a link --

9 MR. CHHATRE: I can get the point I'm saying. I mean,
10 I --

11 MR. NICHOLSON: -- to another leak trigger document --

12 MR. CHHATRE: I guess what I'm hitting at is when it so
13 clearly tells the operators, then they should be looking, if not
14 anything, looking at the other triggers for leak if not for these.

15 MR. NICHOLSON: It doesn't say that though.

16 MR. CHHATRE: No, I'm not saying. Once they tell, see,
17 they are to eliminate now that there is no leak before they can do
18 anything.

19 MS. BUTLER: So is there anything in that procedure at
20 all that says anything about the MBS system and the column sep.?

21 MR. CHHATRE: What? Say that again?

22 MS. BUTLER: Is there anything in that element or in
23 that procedure at all that mentions if this in conjunction with
24 the column separation?

25 MR. NICHOLSON: Not that I see.

1 MR. CHHATRE: I haven't seen anything yet, but I haven't
2 seen all of these dropdown boxes either.

3 MS. BUTLER: Okay, thanks.

4 MR. NICHOLSON: Do you have a procedure for col. sep.?

5 MR. JOHNSTON: Yes, we do.

6 MR. NICHOLSON: One that was in existence prior to July
7 25th?

8 MR. JOHNSTON: Yes, we do. Yes.

9 MR. NICHOLSON: Okay. I'd like to see that. Because I
10 actually didn't get a copy of that as far as I'm concerned.

11 When was this issued? Can you go to the modification
12 history?

13 MR. JOHNSON: I think what Jim was saying is the best --

14 MR. NICHOLSON: No, I understand that.

15 MR. JOHNSON: Is probably the best way --

16 MR. NICHOLSON: I just wanted a quick peek at when it
17 was created.

18 MR. JOHNSON: Oh, okay.

19 MR. NICHOLSON: I assume that created date is still
20 accurate?

21 MR. JOHNSTON: I'm not sure I would go by that because
22 it says the last update was earlier than the created at date. I
23 can tell you that, you know, this procedure has been in existence
24 in close to this form for many, many years.

25 MR. NICHOLSON: So let's walk through this one.

1 MR. CHHATRE: Can you go in the drop box for the ten
2 minute?

3 MR. JOHNSON: You don't have a camera do you, Matt?

4 MR. JOHNSTON: I do. In my phone.

5 MR. JOHNSON: Oh, okay. I just thought it might be
6 advantageous if you took pictures of the pull-downs. That's all.

7 MR. JOHNSTON: I think I sent --

8 MR. NICHOLSON: Can you do a screen cap?

9 MR. JOHNSON: Did you do some of that?

10 MR. JOHNSTON: -- PDF versions with popups.

11 MR. JOHNSON: Oh, okay, great.

12 MR. CHHATRE: Can you go to the dropdown again?

13 MR. JOHNSTON: Sure.

14 MR. NICHOLSON: I'm going to look at what you sent
15 because I don't remember seeing suspected column separation.

16 MR. CHHATRE: So these are ten minute rule which is
17 different. Now the question --

18 MR. NICHOLSON: It says on startup is what that ten
19 minute rule applies to.

20 MR. CHHATRE: Right. But see, it says, what are the ten
21 minutes from the significant increase in pressure at a location
22 immediately upstream? What does significant mean to an operator?

23 MR. JOHNSTON: In training if I was evaluating
24 somebody's execution of this procedure and if there was a column
25 separation in the middle of a pipeline, and the operator was

1 starting pumps starting from the beginning pipeline and starting
2 pumps moving towards the area of column separation, either when
3 the pump started immediately upstream of the column separation,
4 start the clock, the ten minute clock, or if there was a reliable
5 enough pressure increase from the upstream pumps that you would
6 consider, you know, evidence of a pressure increase at that
7 location, it's basically telling the operators you don't start the
8 clock from when you first started the pump at the very first
9 station, it's when you've reached that point just upstream of the
10 column separation.

11 BY MR. NICHOLSON:

12 Q. So you do that kind of training, I mean do you do that
13 on a simulator?

14 A. Yes.

15 Q. And what are they using to determine their col. sep. on
16 that training program?

17 A. Well, it's something we train and evaluate on in the
18 entry level and manual emergency response training. It may take
19 different, scenarios may be different variations or different
20 locations or types of column separation.

21 MR. CHHATRE: And was this effective at the time of the
22 accident?

23 MR. JOHNSTON: Yes.

24 MR. CHHATRE: Then correct me if I'm wrong --

25 MR. NICHOLSON: Well just one second. I'm sorry. I

1 wanted to hear that answer. He was --

2 MR. JOHNSTON: Right. I'm sorry, could you repeat the
3 question?

4 BY MR. NICHOLSON:

5 Q. What I want to know is in that simulation when they go
6 through that exercise you just described for this procedure, how
7 are they determining col. sep. from what indicator on their
8 screen?

9 A. Okay, there could be a number of indicators. One would
10 be a low pressure read back.

11 Q. Where they get the blue background?

12 A. Yep.

13 Q. Okay.

14 A. Another -- you know, that's the typical way. You've got
15 a pressure read-back at the top of a hill maybe, and it's showing
16 that there's very little or no pressure. Another way would be if
17 you've started a pump and you're expecting a pressure increase
18 downstream within an expected period of time, the wave travel time
19 that it would take to get there, and it doesn't occur within the
20 timeframe that you're expecting it in, then that could make you
21 suspect column separation or obstruction or some abnormal
22 condition like that.

23 Q. What about liquid fraction screen, are they taught to go
24 look at the liquid fraction screen?

25 A. No.

1 Q. Okay. Hydraulic, the elevation touching the hydraulic
2 profile?

3 A. We might reference that earlier in the training prior to
4 the evaluation. If we have those lines during the evaluation
5 visible to the operator, it makes the condition too easy to
6 diagnose.

7 Q. Okay.

8 A. They would be able to distinguish there whether it was
9 a, they would be able to distinguish between a column separation
10 and a leak or that kind of thing. So to --

11 MS. BUTLER: Hey, Matt? I've been holding a lot of
12 things. Are you just wanting us to interject as we go through?

13 MR. NICHOLSON: Yeah, go right ahead. Yeah.

14 BY MS. BUTLER:

15 Q. Well, based on that, why don't you cover the liquid
16 fraction display?

17 A. The liquid fraction display, it's probably best to
18 mention that the simulator model and the MBS model handle
19 calculations differently.

20 Q. Right.

21 A. So in the simulator where the model is generating all of
22 the data and calculating what liquid fraction is modeled to be in
23 a particular area, it's I suppose an interesting tool, but it's
24 not something we use in training for the operators to --

25 Q. Okay, so if you can't simulate something, it doesn't

1 mean that it's automatically out of your training package, does
2 it?

3 A. No, no, it doesn't, but the liquid fraction display
4 isn't a tool that operators are expected to use in natural
5 operations. Using --

6 Q. Okay, has the liquid fraction display ever failed?
7 Like, has it ever shown, that you're aware of, has it ever shown a
8 liquid fraction when it didn't actually occur?

9 A. I've never seen the liquid fraction display used in
10 actual operations.

11 Q. Well, to me based on the quick overview of that screen,
12 that is probably the simplest place to go and see a column sep. in
13 a hurry, and the reason I say that is because it does show you
14 pressures at the bottom, it shows you the event in where it's
15 occurring, and while what I'm hearing from what you're covering
16 right now, if they're not only working on one system, it seems to
17 me that what you're going over with the simulation is going to be
18 fairly difficult to remember, and the only reason I'm thinking
19 that is if I've got four pipeline systems, is that something
20 you're actually simulating is four simultaneous systems having
21 problems at the same time?

22 A. We normally wouldn't do four. We may do two.

23 Q. Okay, but you would do two, and so on the two based on
24 what I thought I heard you say, how are they supposed to be
25 looking at what you're telling them to look at and deal with

1 simultaneous problems? I'm just trying to figure that out in my
2 head. Maybe it's because I can't see.

3 A. I'm not sure I quite understand, Karen.

4 Q. Okay, well never mind. Just go on with your stuff. I'm
5 just going to chalk it up to I can't see what you're looking at.

6 MR. NICHOLSON: All we're looking at is a suspected col
7 sep procedure.

8 MS. BUTLER: So I thought I heard you say something
9 about in the simulator, blah, blah, blah, blah, blah. So that's
10 why I thought you were also looking at a simulation screen.

11 MR. NICHOLSON: No, we are not.

12 BY MS. BUTLER:

13 Q. Okay, so the procedure says what again on column sep?
14 I'm sorry.

15 A. Okay, so it says in the event of a suspected column
16 separation, and then the heading pipeline operator, the work
17 instruction is notify shift lead. Then there's a conditional
18 statement, if a column separation is suspected from incoming SCADA
19 data, and the column cannot be restored within ten minutes, then
20 there's a qualifier, if the column separation is occurring on
21 startup, it qualifies it as ten minutes from a significant
22 increase in pressure at the location immediately upstream of the
23 suspected column separation. So in general, if the column
24 separation cannot be restored within ten minutes, the work
25 instructions for the pipeline operator are to notify the shift

1 lead, shut down the specific line, sectionalize, isolate, and
2 execute abnormal operating conditions reporting.

3 MR. CHHATRE: Does this mean that the 20 minute startup
4 that we looked at, on the 22 minute (indiscernible) for the
5 significant increase in pressure at a location immediately
6 upstream of a suspected column separation?

7 MR. NICHOLSON: This is the procedure they referred to
8 this morning.

9 MS. BUTLER: Yeah, I think that's where I kind of headed
10 down the path of liquid fracs because if you're running on
11 multiple pipeline systems and you do have column separation
12 possibly onto them, especially where it might be in one other one
13 because 6B's down on a normal stop, it just seems to me that if
14 they are, if it's in a normal pattern they probably know where the
15 suspected column separation is, but if it's not in a normal
16 pattern, how do they know where the suspect column separation is
17 without checking all of the pressures and they could simply do
18 that in a liquid fraction display all at once it seems, so that's
19 where I was headed. Sorry.

20 MR. NICHOLSON: Yeah, I agree. The liquid fraction
21 screen to me really pinpoints where in that segment the col. sep.
22 is, right? Otherwise your pressure display is just telling you
23 the nearest station, right?

24 MR. JOHNSTON: Okay, so the liquid fraction display as I
25 understand it is calculating and interpolating and making

1 calculation between transmitters of what model thinks is the
2 amount of vapor in the fluid. There's another display, the one
3 that is up and in front of the operators all of the time that
4 shows the full hydraulic gradient with the elevation profile and
5 head profile and flow profiles.

6 BY MR. CHHATRE:

7 Q. So this procedure then as you the operator knows how to
8 suspect the column separation or there is a different dropdown box
9 that an operator can look and see what would indicate column
10 separation?

11 A. Well, one indicator might be in the MBS, the display I
12 just mentioned.

13 Q. Okay.

14 A. If the headline is touching the elevation profile, then
15 that could be an indication of where the --

16 Q. I assume that the operator knows how to suspect the
17 column separation.

18 A. Right. Yep.

19 Q. There is no other reference before that that just deals
20 with how to identify column separation. There is nothing in your
21 procedure that tells operator how to identify or suspect a column
22 separation possibility.

23 A. It's primarily in the training.

24 Q. That's fine. I'm just asking so we're not missing
25 anything in here. So going back to this dropdown window, which

1 says ten minutes from the significant increase in pressure at the
2 location immediately upstream of a suspected column separation, so
3 going back the 20 minutes start it started, A, I do not know when
4 what the suspect significant increase means, but whether 50
5 (indiscernible) is significant or 100 or 200, but I'm assuming
6 that the operator knows what significant means, but whatever the
7 significant means, in our case with the 32 minute startup, did the
8 pressure upstream of that column separation indeed increase
9 significantly?

10 A. I mean, 280, I think, is what they got to.

11 MR. JOHNSON: Is that (indiscernible)?

12 MR. JOHNSTON: Then there would be the, yeah, then there
13 would be the --

14 MR. CHHATRE: When it reached 280, and if it didn't
15 reach 280 for the first ten minutes, then the original ten
16 minutes, I thought it was procedure, the ten minutes doesn't start
17 until you get a significant increase upstream.

18 MR. NICHOLSON: That's what they were saying.

19 MR. CHHATRE: So I think --

20 MR. NICHOLSON: That's part of what I clarified today,
21 right.

22 MR. CHHATRE: So they are using the current, the
23 procedure that was in effect at the time, not the wrong
24 procedure --

25 MR. NICHOLSON: No. Where is, can we see the proposed

1 procedure that they were referring to? This is not, they were
2 looking at a revision to this.

3 MR. CHHATRE: (indiscernible) clarified that.

4 MR. NICHOLSON: Yeah, okay.

5 MR. JOHNSTON: And I was going to ask to see that.

6 MR. NICHOLSON: And I did, I apologize, I did have that
7 suspected leak procedure. I just missed it.

8 MR. JOHNSON: Well good. Well if you have it then Karen
9 has it, so.

10 MR. NICHOLSON: Well I just e-mailed it to you too,
11 Karen, so you can refer to it.

12 MS. BUTLER: And I'm sorry guys. On the procedures we
13 downloaded some separate files on one data request, and then we've
14 got the total O and M somewhere, and to be honest with you, trying
15 to go through different sections, it was very confusing to me.

16 MR. NICHOLSON: I just e-mailed you the page we're
17 looking at.

18 MS. BUTLER: Thank you.

19 MR. CHHATRE: What is the new one?

20 MR. NICHOLSON: This is the one that wasn't --

21 MR. CHHATRE: Approved.

22 MR. NICHOLSON: Approved, yeah. And where does it
23 say -- will it say pending? I wanted to see where it --

24 MR. JOHNSTON: There is a syndication that it's --

25 MR. NICHOLSON: Okay.

1 MR. JOHNSTON: -- under review.

2 MR. NICHOLSON: This is basically what you would have
3 seen when they submitted it to your group?

4 MR. JOHNSTON: This is what our group would send out by
5 way of e-mail that there's been a new procedure modification
6 that's been proposed. It would come with this initial message
7 saying what the change is all about, who the initiator is, or the
8 originator, talk about the review period, who the approver would
9 be if it's approved and that sort of thing.

10 MR. CHHATRE: Okay. Ready to move on?

11 MR. NICHOLSON: Yep.

12 MR. CHHATRE: We are at the very top, right, at this
13 point?

14 MR. NICHOLSON: Yep. Basically, yeah.

15 MR. CHHATRE: So the only thing that is different the
16 way I see it is the dropdown menu is gone, correct? Or am I
17 missing something?

18 MR. JOHNSTON: The new material here is shown in, or the
19 proposed material is shown in red.

20 MR. NICHOLSON: So it gives you, the ten minute rule
21 would then only apply after your calculated restoration time
22 expired?

23 MR. JOHNSTON: Yes.

24 MR. NICHOLSON: If you calculate it, why do you need the
25 ten minutes? What is the ten minutes for? It's just kind of a

1 buffer, right, for filling a column in? A typical, it must have
2 been someone's best guess of what it should take?

3 MR. JOHNSTON: Well, it's a maximum limit of how long an
4 operator can attempt to fill in a column.

5 MS. BUTLER: Could you read that to me what you just
6 said, what your question was, Matt, in regards to?

7 MR. JOHNSON: So the portion of this procedure that's in
8 red, and I'll go first, if a starting up into a known column
9 separation, the pipeline operator notifies the shift lead, number
10 two, calculate the amount of volume drained, and in parenthesis,
11 from CMT tank levels, et cetera, number three, calculate a
12 restoration time to restore the column separation from volume
13 drain flow rate equals time. The shift lead confirm calculated
14 restoration time with the pipeline operator, which we just
15 discussed. Number two, request operator to start up the line into
16 the column separation starting the ten minute rule when the
17 calculated restoration time expires.

18 MS. BUTLER: Okay.

19 MR. JOHNSON: If the column cannot be restored under the
20 above conditions, request the operator to shut down, sectionalize,
21 and isolate.

22 MS. BUTLER: So they were busy cranking calc's because
23 they knew they had a column sep. and they just didn't know when it
24 occurred on that second --

25 MR. JOHNSON: I think what, as I read this one, correct

1 me if I'm wrong, anyone --

2 MR. NICHOLSON: No, this is what they used on the first
3 attempt.

4 MR. JOHNSON: If we calculated a restoration time using
5 the volume drain flow rate equals time, let's say that was 20
6 minutes, then they could start up and the minute that 20 minutes
7 was over, then the ten minute rule went into effect, and so on and
8 so forth.

9 MR. CHHATRE: That's how I read it. That's not how I
10 read it. Completely independent to others here, confirm the
11 calculations, just confirm the targeted time, then they're saying
12 start up into the ten minute rule when the calculation restored
13 time expires. They calculate ten minutes on the top of this, can
14 they not? Is that what you're saying?

15 MR. NICHOLSON: That's what we're saying.

16 MR. CHHATRE: Okay.

17 MR. NICHOLSON: Yeah, additional ten minutes on top of
18 what they calculated.

19 MR. CHHATRE: That's what you said? Okay, I'm sorry.

20 MR. NICHOLSON: And that's in agreement with what was
21 said today in interviews.

22 MR. CHHATRE: So they did according to this new
23 procedure.

24 MR. NICHOLSON: Which they were not supposed to apply.
25 It's not an issue, it was never even approved, was it?

1 MR. JOHNSTON: No.

2 MR. NICHOLSON: Was it rejected?

3 MR. JOHNSTON: It was -- it didn't go through the
4 complete review process all the way through to approval because
5 not all the reviewers, including myself, agreed that this was a
6 good modification in terms of the best way to deal with a column
7 separation.

8 MS. BUTLER: So is this particular approval process like
9 have a specific duration? Like do, when they have a revision you
10 propose it and it starts around the reviewers and then it gets all
11 the authorities signed off on it, is that supposed to happen
12 within a specified timeframe?

13 MR. JOHNSTON: A timeframe is, yeah, predetermined. In
14 this case it was --

15 MR. CHHATRE: Sometime in May --

16 MR. JOHNSTON: -- would have been fourteen days.

17 MS. BUTLER: So if they don't hear anything back in
18 fourteen days and they knew that was the timeframe, could there be
19 an assumption that it's been approved?

20 MR. JOHNSTON: When a procedure is approved there is a
21 notification that it's been approved, so normally that would be
22 the information that would trigger a person to know that it's been
23 updated.

24 MR. CHHATRE: Can we go up a little bit if we may?

25 MS. BUTLER: Is that notification always was the same?

1 MR. JOHNSTON: It's a pretty standard notification, just
2 very basic that the procedure has been approved and put into the
3 production system, is in effect, that kind of thing.

4 MS. BUTLER: Is the revision and the actual in the same
5 place?

6 MR. JOHNSTON: No, they're in separate databases.

7 MR. NICHOLSON: I'm sorry, you said this was in a
8 separate database from?

9 MR. JOHNSTON: Yes.

10 MR. CHHATRE: You know, nowhere I see it says
11 (indiscernible) procedure, do not --

12 MR. NICHOLSON: That's what I was asking for originally.
13 That's why we scrolled to the top. Yeah, there's nothing there
14 that says pending --

15 MR. CHHATRE: There is nothing that tells me, if I'm
16 there on the floor, nothing in here tells me that --

17 MR. JOHNSON: Go back to where you had it, Jim.

18 MR. CHHATRE: -- that it's temporary.

19 MR. JOHNSON: Go back to where you found it. I think
20 that will help you.

21 MR. CHHATRE: That will really help.

22 MR. NICHOLSON: Now in the interviews everyone seemed to
23 understand it was --

24 MR. JOHNSON: Right there. It's found under suspended
25 procedure modification.

1 MR. NICHOLSON: That's how it would have appeared?

2 MR. JOHNSON: That's where --

3 MR. NICHOLSON: That's how it's worded out?

4 MR. JOHNSON: Yeah, that's, right now that's, I mean
5 that's where Jim went and found it right there.

6 MR. NICHOLSON: Jim?

7 MR. JOHNSON: This Jim.

8 MR. CHHATRE: So does that --

9 MR. JOHNSON: So if they found it --

10 MR. NICHOLSON: So Giselle went to a place called
11 suspended procedure modification?

12 MR. CHHATRE: Does that mean the entire procedure
13 suspended while you're doing the modification?

14 MR. JOHNSON: The procedure modification is suspended.

15 MR. NICHOLSON: It never got --

16 MR. JOHNSON: The procedure is still good that we looked
17 at earlier. This is the procedure modification is suspended,
18 meaning not approved for lack of a better term.

19 MR. NICHOLSON: Okay.

20 MR. JOHNSON: And, you know, I don't know that Giselle
21 suggested using something that was suspended. I think she
22 suggested taking a look at, you know, this revision that, you
23 know, to come up with some times, to come up with some ideas to
24 deal with this.

25 MR. NICHOLSON: Okay.

1 MR. JOHNSON: And, you know, and I'm speculating there,
2 but so I don't think someone chose to use a suspended procedure,
3 but it was something that additional thought process that went
4 into as they're sitting around trying to figure out what was going
5 on.

6 MS. BUTLER: That which, or --

7 MR. NICHOLSON: It sounds like they were --

8 MS. BUTLER: -- or it could have just been pulled up
9 accidentally.

10 MR. JOHNSON: No, you would --

11 MR. NICHOLSON: No, you wouldn't --

12 MR. JOHNSON: Not accidentally. If you could see the
13 screen, Karen, it's very clear.

14 MS. BUTLER: Now, wait a minute.

15 MR. JOHNSON: Sorry.

16 BY MS. BUTLER:

17 Q. What I'm thinking is are they allowed to copy procedures
18 to their hard drives or do they have an active machine? Or get an
19 e-mail so somewhere they've got some capability to store files?

20 A. That's correct, yep.

21 Q. Okay, so she's a reviewer, right?

22 A. Yes.

23 Q. If I recall she was on the reviewer list.

24 A. The reviewer list on this one would have included all
25 on-shift staff.

1 Q. And from what we understood previously in one of the
2 interviews that there's a couple that are appointed and she had
3 been appointed.

4 A. Oh, okay.

5 Q. And so, you know, she's making modifications, she's
6 making edits to the procedure and she stores it on her hard drive
7 or at a location, then why are we so convinced that it wasn't just
8 simple misunderstanding? She pulled it up, I mean, without
9 talking to her we don't know.

10 MR. NICHOLSON: Yeah, but there is also a header that
11 goes with this, so if she saved it to her hard drive it would
12 still have this header that clearly says it's got all of the --

13 MR. CHHATRE: Suspended procedure modification.

14 MR. NICHOLSON: Yeah, I mean it tells you that --

15 MR. JOHNSON: You would have to go outside of the
16 procedure database to get to this.

17 MS. BUTLER: Okay.

18 MR. JOHNSON: And if for some reason she saved it
19 through an e-mail, then she would have left the Lotus Notes to go
20 to Outlook to find it.

21 MS. BUTLER: Yeah.

22 MR. JOHNSON: So it isn't a simple, "I hit the wrong
23 button."

24 MS. BUTLER: Okay, but so we just do need to know.
25 Yeah, we need to ask her.

1 MR. CHHATRE: Can you go back to the procedure in effect
2 at the time of the Marshall? Now that we have confirmed. See the
3 ten minute rule dropdown? You say the ten minute clock, if I read
4 this correctly, the ten minute clock begins when the operator
5 decides I have a significant pressure increase upstream of my
6 column separation.

7 MR. JOHNSON: Correct.

8 MR. CHHATRE: To me that's a very open-ended requirement
9 because what is significant? The operating pressure is 600 PSI.
10 Is 200 significant or is 500 significant? What is significant?
11 When does his clock start at ten minutes? So I guess what I'm
12 trying to figure out in the initial 22 minute, is it broken the
13 rule or not broken the rule? Do you have pressure charge on that?
14 When the pressure reached at that location? When it first
15 started it was -- they started it, didn't have anything and then
16 there's a continue another ten minutes. That was the first.

17 MR. NICHOLSON: Continue another 20 minutes.

18 MR. CHHATRE: Thirty minutes, okay.

19 MR. NICHOLSON: Based on the calculations.

20 MR. CHHATRE: Right. So if we have the pressure charge
21 for the first ten minute and there is no pressure increase
22 upstream of that column separation, have they done anything that
23 it ruled as (indiscernible)?

24 MR. JOHNSON: I believe in their interviews they said
25 they got to the ten minutes. So they were aware of the ten

1 minutes because they made their shift lead aware of it.

2 MR. NICHOLSON: Yeah, they called on ten minutes.

3 MS. BUTLER: Yeah, I think the issue is their
4 understanding of whether they could run through that calculated
5 time or not --

6 MR. NICHOLSON: (indiscernible).

7 MS. BUTLER: -- and I think they clearly --

8 MR. CHHATRE: So they didn't interpret the rule as
9 something --

10 MR. JOHNSON: No. They didn't cheat the system --

11 MR. NICHOLSON: This part was, yeah, still good.

12 MR. CHHATRE: The reason I'm saying this, this time does
13 give plenty of leeway.

14 MR. JOHNSON: Well, I mean once again this isn't
15 verbatim. It isn't if you're on one line, you know, ten percent
16 of a thousand is 100, that's part of the training in the simulator
17 that Jim talked about --

18 MR. NICHOLSON: Okay.

19 MR. JOHNSON: -- that they get to know what significant
20 is.

21 MR. CHHATRE: Okay, and I --

22 MR. JOHNSON: They run through that scenario so they
23 don't -- it's not -- the procedure is not a do all, end all.

24 MR. CHHATRE: Now I understand this ten minute rule at
25 least on this particular topic. I am okay with all the screens,

1 but you guys can --

2 MS. BUTLER: Okay, so can we take some other general
3 questions or do we want to stick on this topic for a while?

4 MR. CHHATRE: No, I just want to look at the
5 sectionalization or if we can isolate those two dropdown --

6 MR. NICHOLSON: Just a second here. Hold on.

7 MS. BUTLER: Okay.

8 MR. NICHOLSON: But all of these, the pipeline operator,
9 the one through five, those still are on the modified procedure.

10 MR. JOHNSTON: We're looking at the production, the --

11 MR. NICHOLSON: Okay, which they did I guess. So that's
12 all still consistent.

13 MR. CHHATRE: So can we look at sectionalize, what the
14 operator was supposed to do?

15 MR. NICHOLSON: Close the sectionalizing down.

16 MS. BUTLER: We're absolutely certain no notification
17 went out on that procedure, right?

18 MR. JOHNSON: That would be to you.

19 MR. CHHATRE: Are you still --

20 MR. NICHOLSON: Modification on the new procedure?

21 MR. JOHNSON: Karen just wants to verify --

22 MS. BUTLER: Yeah, I just want --

23 MR. JOHNSON: -- that there's no misunderstanding that
24 that procedure went out in some form of a release.

25 MR. JOHNSTON: No, and I think would know, and I --

1 MR. JOHNSON: Actually, I think to the point where even
2 maybe a better way to answer that clearer is the people that
3 talked about using it knew it wasn't an official procedure.

4 MS. BUTLER: Yeah, I'm just trying to make sure that
5 there wasn't, you know, sometimes the strangest things happen and
6 there's two e-mails that look alike and some knew and some didn't,
7 and so I just wanted to make sure from our perspective we have no
8 reason to believe that there was anything that would have confused
9 that matter.

10 MR. NICHOLSON: Well, to get that I think we need to
11 talk to Giselle.

12 MS. BUTLER: I completely agree.

13 MR. NICHOLSON: Okay.

14 MS. BUTLER: I just wanted to make sure on Jim's behalf,
15 because you kind of are the keeper, aren't you of procedures? Or
16 are you just like the trainer so you have to keep them so to
17 speak?

18 MR. JOHNSTON: Yeah, I need to monitor that the
19 procedure quality process is running like it's supposed to and in
20 our document, and so I don't approve, I don't necessarily write,
21 but I believe I need to make sure that we're following a process
22 to --

23 MR. CHHATRE: You're the gatekeeper?

24 MS. BUTLER: So who is the keeper, so to speak, of all
25 procedures? Who is the procedure czar?

1 MR. JOHNSTON: Well, that's a, I'm not sure how to
2 answer that.

3 MR. JOHNSON: I would say it's you, Jim.

4 MR. JOHNSTON: Really?

5 MR. NICHOLSON: You hold these procedures.

6 MS. BUTLER: Okay, well who do the e-mails come out from
7 that indicate the attached or the approved new procedure or
8 something? Who sends the notification out?

9 MR. JOHNSTON: That's normally one of my reports.

10 MS. BUTLER: Okay.

11 MR. JOHNSTON: Yep.

12 MR. JOHNSON: Under your direction?

13 MR. JOHNSTON: Yep.

14 MS. BUTLER: Okay.

15 MR. NICHOLSON: Okay.

16 MR. JOHNSON: You're the czar.

17 MR. JOHNSTON: I didn't mean to --

18 MR. CHHATRE: So going back now again, can you go back
19 to this, because that tells me what the operator is supposed to
20 do. He's supposed to close upstream, downstream valves and
21 essentially he's telling him to close all the valves, is that
22 correct? He is supposed to close the sectionalizing valves, and
23 in addition he's supposed to go to all valves nearest two or
24 address between locations, then he's supposed to close two
25 upstream and two downstream valves.

1 MR. NICHOLSON: Well, this is an emergency shutdown.

2 MR. CHHATRE: Right, but --

3 MR. NICHOLSON: It's not --

4 MR. CHHATRE: Go back to that. No, let's go back to
5 that previous screen. And that thing is coming from what the
6 operator is supposed to do.

7 MR. NICHOLSON: Okay, that's if you cannot put the
8 column back in in ten minutes.

9 MR. CHHATRE: In the event of a suspected column
10 separation. It doesn't give them a choice.

11 MR. NICHOLSON: That's true.

12 MR. CHHATRE: It's telling the operator that they have
13 (indiscernible).

14 MR. NICHOLSON: Supposed to isolate the station.
15 According to that.

16 MR. JOHNSTON: Yes.

17 MR. NICHOLSON: I don't think that was done.

18 MR. CHHATRE: That's what I'm saying. If you go back,
19 and that's why I was looking at those dropdown menus.

20 MR. NICHOLSON: If we go to sectionalize, it even said
21 you had to --

22 MR. CHHATRE: Sectionalize pretty much said that you're
23 to close almost all of the valves pretty much.

24 MR. JOHNSON: Sectionalizing, doesn't it give you a list
25 of the valves when you sectionalize?

1 MR. NICHOLSON: Yeah, but beyond that it said close the
2 station valves. Didn't it say on either side of the --

3 MR. JOHNSON: Why don't we go to it? Why don't we go
4 back there, Jim.

5 MR. JOHNSTON: So to sectionalize?

6 MR. JOHNSON: Yes.

7 MR. NICHOLSON: Yeah, let's start there.

8 MR. JOHNSTON: Okay, it says close all the normal
9 sectionalizing valves, okay, which there is a list provided.

10 MR. JOHNSON: So it'd be six.

11 MR. JOHNSTON: So close all of those.

12 MR. NICHOLSON: Let's talk about, what are all of these,
13 because I got this on an IR. Do you know? What's EG?

14 MR. JOHNSTON: So that's the call center of the station
15 called Edgewater.

16 MR. NICHOLSON: Which is on the inland side or?

17 MR. JOHNSON: 6A.

18 MR. JOHNSTON: 6A.

19 MR. NICHOLSON: Oh, this is 6A?

20 MR. JOHNSON: And then OW would be Owen.

21 MR. NICHOLSON: Also 6A.

22 MR. JOHNSON: Yes.

23 MR. NICHOLSON: In fact they're all 6A except for MD and
24 SK.

25 MR. JOHNSON: NV I think is Niles.

1 MR. NICHOLSON: No, it's Mendon.

2 MR. JOHNSON: Mendon is MD. NV.

3 MR. NICHOLSON: Oh, I'm sorry.

4 MR. JOHNSTON: NV is --

5 MR. NICHOLSON: That's 6A. No, no, that's got to be 6A
6 because --

7 MR. JOHNSON: Naperville. It's Naperville.

8 MR. CHHATRE: Okay, so you close these?

9 MR. JOHNSTON: Yes.

10 MR. CHHATRE: Then you're to go to the next --

11 MR. JOHNSON: So if you will, the last three valves are
12 on 6B.

13 MR. NICHOLSON: What is LN? Is that Leonard?

14 MR. JOHNSTON: Yes.

15 MR. CHHATRE: And the other (indiscernible) at the
16 bottom?

17 MR. JOHNSON: Yes.

18 MR. JOHNSTON: Yes.

19 MR. CHHATRE: Okay.

20 MR. JOHNSON: So that's that valve 576.93 we talked
21 about.

22 MR. CHHATRE: So they're supposed to closed --

23 MR. NICHOLSON: These should be the same valves you shut
24 on shutdown too.

25 MR. JOHNSON: Those are the ones we shut.

1 MR. NICHOLSON: I never saw a Leonard valve shut, did
2 it?

3 MR. JOHNSON: That's because we didn't go past
4 Stockbridge.

5 MR. NICHOLSON: Oh, okay, it was already shut. Okay,
6 sorry, go ahead.

7 MR. CHHATRE: So if you go back again, so they're
8 supposed to close these three valves?

9 MR. JOHNSON: Yes.

10 MR. CHHATRE: Or stakes. Then all the valves nearest to
11 or addresses particular location in addition to the, then in
12 addition to those two items, next two upstream valves and next two
13 downstream valves. So it's almost pretty much close almost every
14 valve in the vicinity of, I mean very little is left for
15 imagination here.

16 MS. BUTLER: Matt, did we have a copy of that with all
17 the list on it?

18 MR. NICHOLSON: Yeah, let me get that. I'm sorry, with
19 all of the lists of the valves?

20 MS. BUTLER: Yeah.

21 MR. NICHOLSON: I think I've seen that somewhere.

22 MS. BUTLER: Okay, that's fine. I just, it's not
23 popping in my head. That's fine.

24 MR. NICHOLSON: I could be wrong.

25 MR. CHHATRE: Can you go back?

1 MR. NICHOLSON: You might want to make that an IR
2 request because I know I've got the page that says line one, two,
3 three, four.

4 MR. CHHATRE: Go back. Go back. Go back.

5 MR. NICHOLSON: I don't think I've got the one that
6 shows the six.

7 MR. CHHATRE: Okay, these are the ones we were here.

8 MS. BUTLER: Yeah, I don't remember seeing the list to
9 match it up. I remember seeing a reference to it I think.

10 MR. NICHOLSON: Me too. That's where I'm getting, so
11 we'll just ask for that. If it's an overlap, so be it.

12 MR. JOHNSTON: And the valve list is in section D, so if
13 you didn't receive section D.

14 MR. NICHOLSON: See, that might be the problem. I don't
15 think I have section D.

16 MR. JOHNSON: So I have a list of standard
17 sectionalizing valves in section D, so that's my note to myself to
18 get you.

19 MS. BUTLER: Yeah, so it may be that in most of our
20 procedures we got the A, B, and C part but not the D and E part.

21 MR. CHHATRE: See, the other item, and that's why I
22 wanted to come back here, if you look at the very last thing the
23 shift lead is supposed to do is issue the emergency notification
24 and initiate the control, I mean, essentially he has them start
25 leak procedures again according to those procedures. So after the

1 first 22 minutes, they had to treat this as a leak, don't they?
2 According to this procedure?

3 MR. NICHOLSON: The first how many minutes? Ten
4 minutes.

5 MR. CHHATRE: Right. But they could do it in 22 minutes
6 and there really is, the first start of what's 22 minutes was 32.

7 MR. NICHOLSON: Thirty.

8 MR. CHHATRE: Thirty.

9 MR. NICHOLSON: Twenty-seven, 30.

10 MR. CHHATRE: So after ten minutes that's what they're
11 supposed to be doing is going through, the very first thing
12 they're supposed to do is treat this like a leak. I don't think
13 there's a choice for them according to these procedures.

14 MR. JOHNSTON: Ten minutes from upstream pressure
15 basically, yeah.

16 MR. CHHATRE: Yeah.

17 MR. NICHOLSON: No, there is no choice according to
18 this.

19 MR. CHHATRE: According to this, there is no choice.
20 They cannot --

21 MR. NICHOLSON: Well, I mean we could even go to the
22 proposed one that they pulled up, and I think does it read the
23 same after you get past your calculated time? Even then.

24 MS. BUTLER: So what are you claiming they can't do?
25 I'm sorry. I missed --

1 MR. NICHOLSON: So even in the proposed one after 30
2 minutes they should have sectionalized, isolate.

3 MR. JOHNSON: Well, I think what happens, if we cannot,
4 so if you go to the emergency notification.

5 MR. NICHOLSON: Well, but before that request operator
6 to shut down, sectionalize, and isolate.

7 MR. JOHNSON: Oh, okay, my mistake. Yeah, just yeah.
8 So you're --

9 MR. NICHOLSON: So in both cases they were wrong, right?
10 Or they executed it correctly?

11 MS. BUTLER: Does it say request the operator, is this
12 the shift lead that's to request or the call out?

13 MR. NICHOLSON: Yes, it is, exactly.

14 MS. BUTLER: So neither the call out nor the shift lead
15 did request that?

16 MR. CHHATRE: I mean, that's why I wanted to go back to
17 the screen because the procedure in effect at that time does not
18 leave any wiggling room for not treating this as a leak.

19 MS. BUTLER: I think even following through and just
20 listening to the things that we've been talking about, it's very
21 clear that, you know, we're trying to figure it out and step
22 through it, and we don't have the angst associated with wondering
23 whether or not we've got a leak, and we're trying to figure out
24 procedures, so I think there's some clarity that could definitely
25 help.

1 MR. CHHATRE: This definitely helps. This definitely
2 helps looking at this the way it is displayed.

3 MR. NICHOLSON: Yeah, I mean the format works being able
4 to click the links, but --

5 MR. CHHATRE: Right.

6 MR. NICHOLSON: Yeah, it definitely could use some
7 clarity.

8 MR. CHHATRE: And that is more of a reason for them to
9 realize, and I'm even more convinced that to find out what kind of
10 training the mid-level decision makers get on these procedures,
11 because the mid-level decision has this procedure if he or she
12 (indiscernible) get it on the computer. I don't think anything
13 could be more clear than that. With this kind of, I mean anyone
14 can see that even if a nontechnical person should be able to make
15 the decision based on that --

16 MR. NICHOLSON: Hold on. I want to run the converse
17 here because what if, say it's not a leak though, I mean what if
18 you really do have a break in your column and you can't put it
19 together in ten minutes, under this --

20 MR. CHHATRE: No choice.

21 MR. NICHOLSON: -- now you've shut down, you've
22 isolated, sectionalized, how do I get out of this? How do I --

23 MR. CHHATRE: Permission to restart line when
24 (indiscernible) pipeline control --

25 MR. NICHOLSON: All right, so now I've got to call

1 everyone out to go look for the, I mean, it hasn't sent me to leak
2 triggers or anything here though, right?

3 MR. CHHATRE: No. I'm not saying, as we do all of that
4 stuff --

5 MR. NICHOLSON: That's telling me to just go straight to
6 contacting field personnel.

7 MR. CHHATRE: But it does tell you that if you cannot do
8 it in ten minutes, no choice but to treat it as a leak and take
9 the emergency procedures.

10 MR. NICHOLSON: I'm just surprised you wouldn't treat it
11 as a suspected leak to begin with.

12 MR. CHHATRE: Unless previous procedure tells them to
13 treat anytime you get a column separation or mass balance alarm it
14 is a leak.

15 MR. NICHOLSON: Yeah, but only in the context of an MBS.
16 It doesn't tell you to go out looking for pressure drop or
17 anything else.

18 MR. CHHATRE: No, no. That part I agree. But still
19 there's no choice, once you get a mass balance alarm, it has to be
20 treated like a leak investigated further. This one tells you the
21 same thing if you get a column separation, no choice, and if you
22 cannot reconcile in ten minutes, not choice but to treat this like
23 a leak and shut down.

24 MR. NICHOLSON: I can see why they resisted to go down
25 the step. There's no incentive. I mean, if you can't put it

1 together in ten minutes, then the next thing you know you're
2 calling field personnel, you're notifying regional managers. I
3 mean, it's a big leap, and I mean, I would be hesitant just
4 because I couldn't put my column back together in ten minutes, I'm
5 not sure I'd be wanting to --

6 MR. CHHATRE: But I think that is where you have a
7 little leeway out. Like Jim's saying, you can put in a degree in
8 for it and say look, under this procedure, but in the meantime,
9 the procedure being, I think the whole purpose of the procedure is
10 to prevent the mishaps at the cost of some inconvenience, and I
11 fully agree. I think it may be inconvenience for (indiscernible)
12 routine column separation situation, which you may or may not be
13 able to reconcile in ten minutes. And I think the ten minute
14 rule, I mean I haven't seen any official documentation for it, but
15 comes from experience. I mean it's not just pulled from thin air.
16 I mean there are some experience basis for it.

17 MR. JOHNSON: Yes, it came out of a leak. It was
18 findings from a leak.

19 MR. CHHATRE: So it's not like there is no basis for
20 that.

21 MR. NICHOLSON: So the same ten minute rule that shows
22 up on the column sep. procedure is based on that spill?

23 MR. CHHATRE: That's what I understand.

24 MR. JOHNSON: Back in '91, yes.

25 MS. BUTLER: Do you know, was there a column separation

1 in that 1991 leak?

2 MR. JOHNSON: Pardon me, Karen?

3 MS. BUTLER: Do you happen to remember, Jay, if there
4 was a column separation involved in that 1991 leak?

5 MR. JOHNSON: I believe it was suspected column
6 separation but I don't know that verbatim.

7 MS. BUTLER: Can you just check into that and let us
8 know at your leisure as opposed to an IR request? Because if that
9 is kind of a founding basis for all of this and yet there really
10 wasn't the column separation at a startup condition, then you
11 know, some of this may need revisited from that perspective.

12 MR. NICHOLSON: If that's your hard and fast rule, then
13 you need to design your systems such that you can fill in any
14 column separation in less than ten minutes. That's what it says.

15 MR. CHHATRE: But I mean, all I'm saying is that when I
16 started reviewing it the procedure has some loopholes, but this
17 is, you know, I mean no procedures may be perfect I guess. It can
18 be improved all the time, but procedure as written, if it were to
19 follow verbatim.

20 MS. BUTLER: Matt, what other procedures did you want to
21 look at specifically before I ask a couple general questions?

22 MR. NICHOLSON: I didn't really have a list of them. I
23 think, we've covered the big ones, the MBS and the col. sep. Go
24 ahead, Karen, why don't you take the floor.

25 BY MS. BUTLER:

1 Q. Okay, so James -- can we call you Jim? I mean that's
2 what everybody does?

3 A. Absolutely.

4 Q. Okay, so Jim, is there any procedure that you're aware
5 of that seems to be constantly being revised?

6 A. Nothing springs to mind as something that's coming up
7 over and over. I could sort of check for patterns and things,
8 recurring ones.

9 Q. Is that something that you ever do is check for patterns
10 on that?

11 A. Really, just sort of from my perspective, from memory, I
12 don't have sort of a routine where I do that, no.

13 Q. Okay. So do we ever just spend time talking to the
14 operators and asking them what they need in the procedures?

15 A. We do, I think one of the main times we do that is in
16 the annual emergency response training.

17 Q. But isn't that kind of geared around the emergency
18 procedure?

19 A. Yes, it is. Yeah.

20 Q. So do you ask them about other procedures?

21 A. There are I guess events that trigger those types of
22 conversations. Some of them are when we review our operations
23 awareness program, it's like a hazard awareness program, bulletin,
24 or other conditions follow up after an incident or an issue would
25 be another natural time that we review them.

1 Q. Have you done it yet as a result of Marshall?

2 A. Yes, we have.

3 Q. And what did they tell you?

4 A. Oh, okay, so I should clarify, what's happened so far
5 are some proposals for change. The proposals so far have been
6 leadership team proposals. Those proposals would then go out to
7 the group for comments and feedback.

8 Q. So what topic areas did they cover?

9 A. So far the procedures would be column separation, MBS
10 leak alarm, pipeline startup, pipeline shutdown. I think those
11 are the key ones. There are some other related procedures that
12 would also be impacted.

13 Q. Can we have an IR request made for all of them submitted
14 to us, Jay?

15 MR. JOHNSON: So what would I ask for here, Jim?

16 MS. BUTLER: All procedures --

17 MR. JOHNSON: No, I'm going to ask Jim to define it to
18 me.

19 MS. BUTLER: Oh, I'm sorry.

20 MR. JOHNSON: He understands.

21 MR. JOHNSTON: I think it would be draft versions of the
22 procedures under current proposal or consideration for revision.

23 MS. BUTLER: And that should include any associated?

24 MR. JOHNSON: Sure. Draft versions of procedures
25 currently under review?

1 MR. JOHNSTON: Yeah.

2 MS. BUTLER: So on --

3 MR. JOHNSON: Proposed, Marshall?

4 MR. JOHNSTON: Yeah, I think that would.

5 MR. JOHNSON: So that, when Bonnie sends it to you,
6 you'll know.

7 MR. JOHNSTON: Yeah.

8 MR. JOHNSON: That's the key.

9 MR. JOHNSTON: Yeah.

10 MR. JOHNSON: All right, Karen.

11 MR. NICHOLSON: Well, that's going to post-Marshall but
12 not necessarily as a result of --

13 MS. BUTLER: Only related to Marshall.

14 MR. NICHOLSON: Yeah. Don't we only want those related?

15 MR. JOHNSON: Yeah, there may be some 6B ones related
16 too. All right.

17 BY MS. BUTLER:

18 Q. Okay, so when you use the term work construction, I
19 think you've used that a couple times, what should that tell me?

20 A. Work instruction? That's --

21 Q. Oh. Is it work instruction?

22 A. Yes.

23 Q. Okay, what should that tell me?

24 A. Okay, so if we're using this suspected column separation
25 procedure as an example, everything numbered or bulleted would be

1 a work instruction. So for example, notify shift lead, shut down
2 specific line, sectionalize, isolate, execute, they typically
3 start with an action verb like that and give instructions to the
4 operator.

5 Q. Okay, so is that considered like more specific in your
6 view?

7 A. I consider it, maybe it's just another way of saying
8 that procedural steps of the work instruction.

9 MR. CHHATRE: Karen, what do you mean by more specific?
10 I mean, to me the procedures are specific, period.

11 BY MS. BUTLER:

12 Q. Okay. So procedural steps is an acronym or a --

13 A. Synonym I think, yep.

14 Q. -- a synonym for it.

15 A. Yep.

16 Q. Okay, have you ever provided supervisory training on
17 column sep.'s or leak detection or system problems or questions to
18 ask when you're trying to recover from a column sep. or typical
19 problems that could result in the control room?

20 A. Not, you know, packaged as a training piece for --

21 Q. Okay.

22 A. Yeah, no.

23 Q. Do the shift leads have any different training than the
24 other operators from your group?

25 A. They do. Yeah, they complete a shift lead training

1 program.

2 Q. What does that include?

3 A. That includes approximately 15 to 20 learning objectives
4 on topics that shift leads are expected to know and tasks they're
5 expected to perform.

6 MR. NICHOLSON: Is that the learning curriculum there or
7 is that, what are you holding your hand?

8 MR. JOHNSTON: I haven't found it yet, but I --

9 MR. NICHOLSON: Oh, okay. Because we'll just make that
10 --

11 MR. JOHNSTON: I have a copy of the curriculum here.

12 MR. NICHOLSON: Perfect.

13 MS. BUTLER: Okay, so we want that too.

14 MR. JOHNSON: So you want the curriculum?

15 MR. JOHNSTON: Shift lead training program.

16 MR. NICHOLSON: Save us from reading it.

17 MR. JOHNSON: Why don't you just give it to us and
18 I'll --

19 MR. JOHNSTON: Reading it on tape.

20 MR. CHHATRE: Now, is this a technical additional
21 teaching topics or are they management topics?

22 MR. JOHNSTON: They're in four categories:
23 administrative --

24 MR. JOHNSON: Here go ahead and take it.

25 MR. JOHNSTON: Sure. Administrative, interpersonal,

1 procedural, and technical.

2 MR. CHHATRE: One technical and the others are all
3 nontechnical per se?

4 MR. JOHNSTON: So then there are half a dozen topics
5 under technical.

6 MR. CHHATRE: And are they same topics as operators?

7 MR. JOHNSTON: No, they're different.

8 MR. CHHATRE: They're different.

9 MR. JOHNSTON: Separate.

10 MR. JOHNSON: So it's the management, or the training --

11 MR. JOHNSTON: The shift lead training program.

12 BY MS. BUTLER:

13 Q. So do you cover pressure trending in that?

14 A. Pressure, well, we've got a learning objective, flow and
15 gradients, transient and incident analysis. Pressure trending is
16 covered in the operator training, which the shift leads would have
17 gone through.

18 Q. What about, do you cover how to recognize abnormal
19 pressures or pressures out of typical ranges?

20 A. Again, definitely in the operator program and we also
21 have that transient and incident analysis objective in the shift
22 lead program.

23 Q. Okay. So do you cover what to do or how to report if a
24 command doesn't show up with a corresponding alarm, or do you
25 cover how the alarms and commands should go together?

1 A. In the shift lead program I don't believe there's a
2 specific objective on that or any component of an objective on
3 that. In the operator training program there are objectives on
4 SCADA commands and SCADA alarms. I'd have to double-check to see
5 if there's the connection between the two specifically that you're
6 making.

7 Q. That might be a key takeaway because that is telling you
8 something about how your system's performing that may not be
9 obvious, and if they don't even think about looking for that over
10 a time, things can get screwy and nobody know it. So do you go
11 over with the shift lead from time to time the training on
12 priorities for alarms?

13 A. Well, a learning objective for shift lead under
14 procedural learning objective for SCADA problems and --

15 MR. JOHNSON: Don't type it all down, Karen. You're
16 going to get it.

17 MR. NICHOLSON: Yeah, I was going to suggest that too.
18 You know, we'll get a copy of this and maybe the IR.

19 BY MS. BUTLER:

20 Q. Okay, and then on the -- you covered all the meeting of
21 various descriptors of alarms, either in the operator training or
22 the shift lead training?

23 A. Do you mean, Karen, the alarm text?

24 Q. Yes.

25 A. So we cover in our training material, reference material

1 the severity levels, and for the alarm text themselves they may be
2 referenced in specific procedures, but there's not a sort of
3 distinct objective on alarm text itself other than sort of a
4 general --

5 Q. Well, if we could have some information back. For
6 example, when something comes in as a Marshall low section,
7 there's obviously a lack of understanding as to whether that's
8 coming from the RT or that's coming PFC or if that's coming from
9 the SCADA system, and you know, things can get complicated and
10 messed up and it would be good for them to have an understanding
11 of what that text is actually telling them. The same way with the
12 LBC, I'm sorry, the LPM program, to understand what invalid
13 pressures means exactly. It's pretty important. So that should
14 be an enhancement.

15 Anyway, do you know if they ever cover things like
16 system alarms that come in and truly say in the text systems and
17 what that means?

18 A. The alarm class would I think be covered in the
19 description of an S2 or an S0. It's a 0 or 2 or alarm.

20 Q. Okay. Do you have any idea if in your shift lead
21 specific training are you covering when it's acceptable to input
22 pressure allowable limit changes and when it's not?

23 A. I'd have to check.

24 Q. Okay, and do you know if there's anything that as a
25 result of input in pressure allowable limits requires them to

1 notify the operators of what they've just done?

2 A. I'd also have to check, yeah, the training and
3 procedures on that.

4 Q. Okay. Do you cover at all when they need to reboot and
5 when they don't?

6 A. So, yeah, shift leads don't actually reboot themselves,
7 but we do have training items on SCADA problems and transfer of
8 environment control.

9 Q. Okay, and does that also cover like when something was
10 locked up, when it appears that a pressure is not moving what you
11 should do?

12 A. Yes, and primarily I think that we have a specific
13 procedure for that condition.

14 Q. Okay. Do they get training on just how to go through
15 the process to request changes that need to be implemented in the
16 control room?

17 A. I wouldn't call it a specific training objective. That
18 is covered in terms of procedures in some cases.

19 Q. Okay.

20 A. And within other objectives.

21 Q. So, you know how the operators have to go through,
22 revisit their qualification training every three years, do the
23 shift leads have to do anything?

24 A. No, they don't perform covered tasks so they currently
25 don't do OQ evaluations.

1 Q. All right, so they're not qualified?

2 A. No, they're currently designated as OQ evaluators, and
3 they receive training as OQ evaluators.

4 Q. Okay, so you've got to tell me how that works. They're
5 approving someone's ability to do an OQ task, but they themselves
6 aren't qualified to do it?

7 A. That's right, they're not qualified; they don't go
8 through the process because they don't perform covered tasks, but
9 they are deemed knowledgeable in the tasks that they evaluate.

10 Q. Okay, so --

11 MR. NICHOLSON: Hey, Karen, I'm going to --

12 MR. JOHNSON: Karen, that's very standard from an OQ
13 evaluator standpoint within Enbridge, not just in the control
14 center.

15 MS. BUTLER: Okay, yeah.

16 MR. NICHOLSON: Have you got a lot more? Because I
17 think we're going to try and wrap this up and maybe have to do a
18 part two with Jim.

19 MS. BUTLER: I think I've got about ten fairly quick
20 ones.

21 MR. NICHOLSON: You're not going to shift gears on us,
22 are you?

23 MS. BUTLER: No, I don't think so.

24 MR. NICHOLSON: Okay.

25 MS. BUTLER: I've had this list for quite a while, so.

1 MR. CHHATRE: If you have ten questions, let's talk
2 about minutes. How many minutes?

3 MS. BUTLER: Well, if I limit the answer, I can probably
4 put this through in about five.

5 MR. CHHATRE: Okay, sounds good. Because we still have
6 to pack up and --

7 MR. NICHOLSON: We'll give you six.

8 MR. CHHATRE: We'll pack up and get ready for tomorrow.

9 MR. NICHOLSON: Okay. Thanks, Karen. Proceed.

10 MS. BUTLER: So we're taking a break?

11 MR. NICHOLSON: No, no.

12 MR. CHHATRE: No.

13 MR. NICHOLSON: We'll give you six minutes to finish.

14 MS. BUTLER: Okay, all right. That's what I thought,
15 but then it said, "Okay, bye," I thought. Okay.

16 BY MS. BUTLER:

17 Q. All right, so the AOC's, can you name what the AOC's are
18 for the operator fairly easily?

19 A. Yes.

20 Q. Okay, and so --

21 MR. JOHNSON: Why don't you just ask for it?

22 MS. BUTLER: I was just getting ready to do that, Jay.

23 MR. JOHNSON: Okay, next question.

24 MR. CHHATRE: Do you have an LPM module training?

25 MR. JOHNSTON: Yes, we do.

1 BY MS. BUTLER:

2 Q. And do you have the CMT module training?

3 A. Yeah, so learning objective and web-based training for
4 that.

5 Q. Okay, is the leak detection actually in that interface
6 running with the simulator?

7 A. No, they're separate applications.

8 Q. Okay, does the operator actually get to see what that
9 looks like with both of them running?

10 A. I'm sorry, see which looks like?

11 Q. The MBS system and the particular scenario?

12 A. So the simulator looks quite similar to the MBS system
13 to the operator.

14 Q. Okay.

15 A. And they can see in their training what the hydraulics
16 look like.

17 Q. Okay, so --

18 A. Go ahead.

19 Q. Do they simulate a leak event where an MBS alarm
20 actually comes in?

21 A. No, we don't have currently the ability to trigger an
22 MBS alarm on the simulator. We generally tabletop those
23 scenarios.

24 Q. With the shift leads do you cover the term span of
25 control in any of your conversations?

1 A. Yes, we do, and in procedures as well.

2 Q. You cover that with the mentors?

3 A. Yes, we do, and the operators as well, although we might
4 not call it span of control. We might call it a, you know,
5 explain what that means instead of calling it that.

6 Q. There's a volume calculator that I think Jim used that
7 he mentioned, and I think one of the shift leads mentioned that
8 they went in and used. Do you cover training on that? I can
9 think of the term.

10 MR. NICHOLSON: I don't think that was a volume, that
11 was a line loss calculator, wasn't it?

12 MR. JOHNSTON: Line loss calculator?

13 BY MS. BUTLER:

14 Q. I don't know what the specific term was.

15 A. We use that as a tool in some of our training.

16 Q. Okay.

17 A. We don't have a specific objective for it.

18 Q. And when you're covering things in a verbal manner with
19 your trainees, do you have like a check sheet so that you make
20 sure that each person receives the same coverage areas in their
21 verbal training?

22 A. Yes, we do.

23 Q. And last one, when the controllers, currently they're
24 out of the control room, if they were to come back as well as the
25 shift leads, would they all go through a refresher course or not?

1 A. Yeah, they would. If it was a significant period of
2 time.

3 Q. What is significant?

4 A. I think historically for an operator we look at about a
5 three month period. There's other factors that come into play.

6 MR. NICHOLSON: I'm sorry. What was that question?

7 MS. BUTLER: That question was for the controllers that
8 are currently out of the control room and the shift leads that are
9 out of the control room, if they were to come back would they go
10 through a retraining period.

11 MR. NICHOLSON: Okay. And that kind of speaks to Dave
12 Scott's condition as well, right?

13 MR. JOHNSTON: Right.

14 MR. NICHOLSON: Okay.

15 MR. JOHNSTON: Yeah, so operators would, if they've
16 been, and there's a rule of thumb, three months away, they would
17 receive refresher training and possibly we would go through the
18 re-qualification process with them as well. The shift lead is not
19 the re-qualification and I don't think we've designated a
20 particular guideline for shift leads being --

21 BY MS. BUTLER:

22 Q. Do you know if there was a reason from the very
23 beginning, kind of a philosophy that you kept your start-up and
24 shutdown procedures so generic as opposed to say keeping the very
25 specific and putting in a general clause that would allow them to

1 be modified if unanticipated circumstances require it?

2 A. The section C procedures are very general by design to
3 allow for flexibility based on conditions at the time, but they
4 may be supplemented by section D or A procedures with more
5 specific information on the pipeline or terminal that they're
6 operating.

7 MS. BUTLER: Okay. I'm done.

8 MR. NICHOLSON: I think there's probably more to cover
9 with Jim, and I could see us conferencing in with Jim when we get
10 back to D.C. or something, so.

11 MS. BUTLER: That's fine.

12 MR. NICHOLSON: Okay.

13 MS. BUTLER: I promised five and I think I came close.

14 MR. JOHNSON: You did okay.

15 MR. NICHOLSON: Good. Thanks, Karen. Okay, I'm going
16 to go off record now. This concludes our interview with Jim
17 Johnston. Thank you, Jim.

18 MR. JOHNSON: Thanks, Jim.

19 MR. NICHOLSON: I really appreciate it.

20 MR. JOHNSTON: Thank you.

21 MS. BUTLER: Thank you.

22 (Whereupon, the interview was concluded.)

23

24

25

CERTIFICATE

This is to certify that the attached proceeding before the
NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF: ENBRIDGE OIL SPILL
 MARSHALL, MICHIGAN
 Interview of James Johnston

DOCKET NUMBER: DCA-10-MP-007

PLACE: Edmonton, Canada

DATE: December 17, 2010

was held according to the record, and that this is the original,
complete, true and accurate transcript which has been compared to
the recording accomplished at the hearing.

Kristen
Transcriber

Shankleton —