

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

\* \* \* \* \*

Investigation of:

\*  
\*

ENBRIDGE - LINE 6B RUPTURE IN  
MARSHALL, MICHIGAN

\*  
\*  
\*

Docket No.: DCA-10-MP-007

\* \* \* \* \*

Interview of: LENARD KRISSA

Enbridge Headquarters  
Edmonton, Alberta  
Canada

Tuesday,  
December 6, 2011

The above-captioned matter convened, pursuant to notice.

BEFORE: MATTHEW NICHOLSON  
Investigator-in-Charge

## APPEARANCES:

MATTHEW NICHOLSON, Investigator-in-Charge  
Office of Railroad, Pipeline, and  
Hazardous Materials Investigations  
National Transportation Safety Board



RAVINDRA CHHATRE, Chair  
Integrity Management Group  
National Transportation Safety Board



MATTHEW FOX  
Materials Lab  
National Transportation Safety Board



BRIAN PIERZINA, Accident Investigator  
Pipeline and Hazardous Materials Safety  
Administration (PHMSA)



JAY JOHNSON, Supervisor  
Audits and Inspections  
Enbridge Pipelines



<u>ITEM</u>	<u>I N D E X</u>	<u>PAGE</u>
Interview of Lenard Krissa:		
By Mr. Nicholson		5
By Mr. Chattré		9
By Mr. Nicholson		14
By Mr. Chhatre		16
By Mr. Pierzina		30
By Mr. Chhatre		31
By Mr. Nicholson		34

I N T E R V I E W

1  
2 MR. NICHOLSON: This is NTSB pipeline case number  
3 DCA10MP007, Enbridge Energy July 2010 crude oil release in  
4 Marshall, Michigan. These are the Integrity Management Group  
5 interviews being conducted at the Enbridge headquarters in  
6 Edmonton, Alberta, Canada. Today is Tuesday, December 6th, 2011.

7 This interview is being recorded for transcription at a  
8 later date. Copies of the transcripts will be provided to the  
9 parties and the witness for review once completed.

10 For the record, Len, please state your full name with  
11 spelling, employer name, and job title.

12 MR. KRISSA: Full name Len Krissa, K-r-i-s-s-a, L-e-n-a-  
13 r-d. Position is team lead in the analysis group. And any other  
14 information required?

15 MR. NICHOLSON: Actually, if you'll give us a contact  
16 phone number and e-mail address, that would be great.

17 MR. KRISSA: That would be [REDACTED] My cell is  
18 [REDACTED]; fax number [REDACTED].

19 MR. NICHOLSON: Did we get an e-mail?

20 MR. KRISSA: [REDACTED]

21 MR. NICHOLSON: Okay. Len, you're allowed to have one  
22 other person of your choice present during this interview. This  
23 other person may be an attorney, friend, family member, co-worker,  
24 or no one at all. If you would, please indicate whom you have  
25 chosen to be present with you during this interview.

1 MR. KRISSA: No one at all.

2 MR. NICHOLSON: Okay. We'll go around the room, have  
3 each person introduce themselves for the record. I'll begin.  
4 Matthew Nicholson, M-a-t-t-h-e-w, N-i-c-h-o-l-s-o-n. I'm the NTSB  
5 IIC. My phone number is [REDACTED]. My e-mail is  
6 [REDACTED].

7 MR. FOX: Matt Fox, NTSB Materials Lab, [REDACTED].  
8 E-mail is [REDACTED].

9 MR. JOHNSON: Jay Johnson, Enbridge Pipelines,  
10 [REDACTED]

11 MR. PIERZINA: Brian Pierzina, B-r-i-a-n, P-i-e-r-z-i-n-  
12 a, with the PHMSA [REDACTED] My e-mail is  
13 [REDACTED] and my phone number is [REDACTED].

14 MR. CHHATRE: Ravindra Chhatre. I'm Integrity  
15 Management Group chair, NTSB. My e-mail is ravindra.chhatre.  
16 That's [REDACTED] Phone: [REDACTED]  
17 [REDACTED]

18 INTERVIEW OF LENARD KRISSA

19 BY MR. NICHOLSON:

20 Q. Okay. Len, to start with, why don't you go ahead and  
21 give us a little bit about your background, when you started with  
22 Enbridge, what positions you held within Enbridge and take us up  
23 from maybe your start, maybe -- include your educational  
24 background up until now.

25 A. I graduated from the University of Alberta in 1993 with

1 a petroleum engineering degree, co-op program. Significant  
2 designations would be a NACE Level 4 CP specialist and my current  
3 title with Enbridge is the only position I've held with the  
4 company starting in November 2009 to present.

5 Q. And can you describe the duties you perform under this  
6 title?

7 A. I provide support and QA/QC under the core processes of  
8 the analysis group. I also liaison with the operations group to  
9 integrate cathodic protection information and then correlate it  
10 with in-line inspection data. I also provide support on spacial  
11 information. I've got a strong background in GPS, so any surface  
12 information to integrate that and correlate -- do girth weld  
13 translations to find a common positioning between different data  
14 sets.

15 Q. Oh, okay. So part of your responsibilities are  
16 overlaying or integrating?

17 A. I do a variety of things, a lot of support between the  
18 different departments. And, like I said, my primary is to support  
19 and assist in the core processes. I'm the team lead of the  
20 analysis group so any of the in-line inspection programs, I'll  
21 review for the most part the PI listings, which I believe Ryan  
22 reviewed with you previously. So I'll review the dig  
23 recommendations before the dig packages are actually submitted and  
24 executed. I'll review those for safe excavating pressures, safe  
25 operating pressures and also review the rationale behind the dig

1 selection.

2 Q. So going back to CP -- that's why we brought you in  
3 here. Explain a little more about your involvement with the  
4 cathodic protection. I guess you interface with the regions; is  
5 that --

6 A. Yeah, that's correct. The primary reason I was brought  
7 on by Enbridge was to establish a stronger conduit between the  
8 integrity group and the operations group that are responsible for  
9 the CP management program. So it was realized that integrity was  
10 primarily based on in-line inspection and CP is a lot of surface  
11 work, and they're both critical to the integrity program so they  
12 wanted to establish a stronger connection between the two data  
13 sets.

14 Q. Can you elaborate a little? I don't know what -- a  
15 stronger connection how?

16 A. In terms of integrating the two data sets, correlating  
17 specific CP information with in-line corrosion data.

18 Q. And how does -- what do you do to create that  
19 connection? Is this a database? How does it manifest itself out?

20 A. The region supplies an annual CP exception report to me.  
21 I then review the exceptions and determine whether they could  
22 potentially impact corrosion rates. And then from that we'll  
23 forward a recommendation to the subject matter lead for that  
24 particular line segment and do a review to determine if possibly  
25 the corrosion within that area, if there is any corrosion detected

1 from the in-line, maybe attributed to a CP factor.

2 Q. Okay. So the exception report is anywhere the CP isn't  
3 meeting the 850 millivolt?

4 A. We apply primarily 850 and beyond that we'll also  
5 consider 100 millivolt polarization shift as a secondary criteria,  
6 but our primary criteria is to achieve 850, off.

7 Q. So if you receive a report that says there's an  
8 exception on a segment, what do you do with that? How do you  
9 determine whether that's impacting corrosion?

10 A. It depends on the exception. Like the region will --  
11 they'll provide an exception. Some of the exceptions could  
12 include a damaged test station. Well, we wouldn't consider that  
13 as an immediate threat to the pipeline from an integrity -- like  
14 our definition of integrity. So that really wouldn't be a  
15 relevant exception from our perspective. However, if it was  
16 reported that a rectifier was down for an extended period of time,  
17 we would then take that into account and highlight it in my report  
18 that gets distributed to the SMLs within the integrity group to do  
19 a specific review within that region.

20 Q. Do you have any involvement on the setting of potential  
21 levels, the rectifier outputs?

22 A. The outputs?

23 Q. Uh-huh.

24 A. No, that's under the jurisdiction of the regional CP  
25 specialist or technician.



1 Q. Okay. Ravi, do you want to continue?

2 BY MR. CHHATRE:

3 Q. What is the optimum level of CP that you would consider  
4 normal for the operation of the pipeline?

5 A. In excess of 850 off.

6 Q. Okay.

7 A. More negative.

8 Q. Than 850 off, right?

9 A. Correct.

10 Q. The reason I ask that, because I think that I -- I think  
11 my memory is reasonably good. But I saw some readings with like  
12 1600 millivolts on 6B, I believe, maybe some different line, and  
13 I'm just asking does that qualify for an exception report?

14 A. An excessive polarization?

15 Q. Correct.

16 A. In some -- we're considering that an exception. It's  
17 not policy at the moment, but I'm currently reviewing the design  
18 standards and we are considering ceiling limits for CP, rather  
19 than just a minimum. We're considering the maximum. More so on  
20 the X70 steels. It's the newer construction where it's getting a  
21 little more attention. And we're finding a difficult balance  
22 because we certainly want to respect the 850 criteria as the  
23 foremost priority, but on the same note, we don't want to be  
24 susceptible to hydrogen evolution where we could potentially  
25 damage our coatings as well and cause some damage to our

1 pipelines. But, like I say, it's a fairly delicate balance when  
2 we have a variety of vintages of pipelines with different coatings  
3 and all operating under a common CP system. So you have to find  
4 that happy medium where you're not running one line and not  
5 meeting 850, but on the same note not running an excess of -- 1600  
6 is certainly where we would consider it to be excessive. We're  
7 actually considering a 12- to 1500, and that's not established at  
8 that time, but this is the ranges that we are keeping in mind for  
9 a ceiling.

10 Q. Why would you go as high as 1500 millivolts?

11 A. It's under review right now and it requires feedback and  
12 opinion from all the regional stakeholders, the various CP, the  
13 regional people. So I need to get an appreciation of what their  
14 operational tolerances are and how flexible they are. So right  
15 now we want to -- we're certainly recognizing that ceiling limit,  
16 but we haven't defined --

17 Q. Oh, okay.

18 A. -- an absolute value for it.

19 Q. And who will you be talking to to kind of come up with  
20 some kind of a consensus?

21 A. All 10 of the operation CP regional personnel.

22 Q. Meaning all 10 CP regions --

23 A. Yeah. We go into regions and perhaps -- I've got a hard  
24 copy of the map so -- actually, I could probably bring it up here.

25 Q. But all the corrosion technicians who monitor the CP

1 level are the people who you're talking to?

2 A. Precisely.

3 Q. And what are their titles? You call them CP  
4 technicians, engineers, what?

5 A. Their -- depends on their background. Some of them are  
6 designated as CP specialists.

7 Q. Okay.

8 A. Others are CP technologists and some are titled with a  
9 CP technician, but their responsibility is all essentially the  
10 same.

11 Q. So is the CP technician considered lower than a  
12 technologist than a specialist in terms of whatever the reason for  
13 the designation is, or --

14 A. Not in terms of responsibility.

15 Q. No, but, I mean, so why three different -- are they  
16 based on educational background, NACE certification, or something  
17 like that?

18 A. Kimberly Harris would be able to --

19 Q. That's fine.

20 A. -- confirm that.

21 Q. Okay.

22 A. I'm not responsible for the titles that they hold.

23 Q. And what is your background before you came to Enbridge?

24 A. I was on the service side of things since -- I was  
25 actually introduced as a co-op student to the CP industry in 1990

1 and I've worked directly with CP until '99. From '99 to 2004, I  
2 was involved in primarily over-the-line surveys, coating surveys,  
3 water core surveys, close interval CP, kind of the more-detailed  
4 evaluations. 2004, I consulted independently. In 2005, I started  
5 up my own cathodic protection service company with materials  
6 provision with three other partners.

7 Q. Okay.

8 A. And then as I mentioned before, in 2009 is when I left  
9 that venture to join Enbridge.

10 Q. Was that after the Marshall accident? Do you remember?  
11 When did you join --

12 A. I joined before Marshall.

13 Q. Which you -- okay. You said 2009, I'm sorry.

14 A. Yes.

15 Q. You said before Marshall. Have you looked at since  
16 joining Enbridge, have you looked at their CP program in general?  
17 Or that is not your responsibility?

18 A. I'm very familiar with the corrosion control guidelines,  
19 which is managed through the operations group, and integrity does  
20 have its own cathodic protection program --

21 Q. Okay.

22 A. -- where we basically outline what the information is  
23 and how to utilize it, and also provide feedback to the region.

24 Q. And is that a written document? When you say integrity  
25 has their own CP program?

1 A. It is a written document, yes.

2 Q. And what is that called?

3 MR. JOHNSON: That would be in your -- well, unless you  
4 have one, otherwise, it's in that list we gave you.

5 MR. NICHOLSON: Um-hum. It's in that index you gave us?

6 BY MR. CHHATRE:

7 Q. Okay. So it could be there. Okay.

8 A. It's linked through the IMS.

9 Q. Okay.

10 A. It should be shown there.

11 Q. Okay, great. With all your CP background, and it looks  
12 like you have an extensive background in CP, what are your  
13 thoughts on (indiscernible) protection? What protection level  
14 would be considered adequate based on your experience? 850 is  
15 NACE specification --

16 A. Yeah, in some cases 950 when there's bacteria --

17 Q. Yes.

18 A. -- or certain soil conditions, moving water. So in  
19 terms of what's adequate, 850 is the absolute minimum, but there's  
20 always case-specifics where you need to consider whether or not  
21 you need to adjust that criteria accordingly in terms of  
22 temperature. There's many considerations, but when you see 850  
23 that is the industry-recognized criteria that we utilize.

24 Q. Have you noticed high CP potentials since you joined  
25 with Enbridge? And if you did, did that raise a concern?

1           A.    In terms -- I wouldn't consider them excessively  
2 elevated at this time. From what the other information that we  
3 have, there's no indication that, from in-line inspection results,  
4 that what are relatively high within the Enbridge system is  
5 causing anything detrimental to our pipeline. I've been in  
6 instances where we've been applying an excess 4 volts on just to  
7 achieve and still not accomplishing, you know, negative 850  
8 polarization. So, once again, it depends on the situation and the  
9 location before we can generalize.

10          Q.    Did you have a chance to look at the CP reading, the  
11 different lines, especially 6B?

12          A.    I have reviewed 6B, yeah, and I believe that it's in an  
13 acceptable range of protection.

14          Q.    And what is the protection range you have seen on 6B?  
15 Do you recall?

16          A.    It's typically, on average, 1100 off.

17          Q.    Okay. Did you see anything close to 1600?

18          A.    Not that I'm aware of.

19          Q.    Okay.

20                BY MR. NICHOLSON:

21          Q.    Well, where have you looked on 6B? We should be more  
22 specific. We're speaking of the rupture sight there near  
23 Marshall. Have you looked at that? Is that data set you're --

24          A.    Yeah, I've reviewed the close interval data for it.

25          Q.    Okay. Because I'm looking at one dated, I think it's

1 August of 2010, the first of August.

2 A. That's a follow-up CIS.

3 Q. Okay. And I'm showing 1800 on and 1450 off?

4 A. Yeah, which would be below 1600.

5 Q. Is that what you were seeing?

6 A. That's what Ravi commented on.

7 Q. But I thought you said 11- -- I thought I heard a number  
8 of 1100.

9 A. Oh, yeah. I said on average.

10 Q. Well, that's why I want to be specific with this  
11 section.

12 A. Yeah, it should be -- oh, within the information that I  
13 reviewed in immediate proximity of the failure site is certainly  
14 in the polarized 1400 off range.

15 MR. CHHATRE: And so --

16 MR. NICHOLSON: Go ahead. I'm sorry.

17 MR. CHHATRE: No, go ahead. I'm sorry.

18 BY MR. NICHOLSON:

19 Q. You mentioned there could be extenuating factors in some  
20 cases and I wondered if any of those extenuating factors would  
21 have been applicable here for them to be running it so high? Is  
22 there a reason? It's a wet environment.

23 A. Not that I'm aware of.

24 Q. Distance between stations. You mentioned temperature  
25 could be a driving factor.

1           A.    In establishing criteria, but as I mentioned before,  
2   it's the responsibility of that CP tech within that region to  
3   establish his levels and report on the exceptions accordingly.  
4   And there were no exceptions that were reported within this  
5   region.

6           Q.    Okay.  Because there's no ceiling in place, so there  
7   would be no exception, right?

8           A.    Correct.  And even with my historic background, I don't  
9   foresee these potentials as being detrimental.

10          Q.    Okay.  Even to what you were talking about earlier with  
11   the disbondment, the hydrogen evolution, you don't see that as an  
12   issue at this level, 1450?

13          A.    I don't believe so.

14          Q.    Okay.

15                MR. NICHOLSON:  I'm sorry, Ravi.  Go ahead.

16                MR. CHHATRE:  No, no, no, go ahead.  You're done?

17                MR. NICHOLSON:  I'm done.

18                MR. CHHATRE:  Okay.

19                BY MR. CHHATRE:

20          Q.    So did you have a chance to discuss this potentials on  
21   the ruptured pipe segment with the -- your regional technicians,  
22   technician specialists?

23          A.    Yeah, I discussed the information and there was nothing  
24   exceptional to discuss.

25          Q.    So what potential levels would you expect hydrogen



1 evolution based on the Coby (ph.) diagram, or --

2 A. I'd have to reference that. It depends on proximity and  
3 there's a number of factors I'd have to --

4 Q. On Coby diagram? Coby diagram is thermodynamics  
5 function?

6 A. It is.

7 Q. So, I guess I'm referring to is have you looked at that  
8 this potential level may not be high, may not have -- on the pipe  
9 the coating is so damaged that it is -- that it cannot be anymore  
10 detrimental? I'm just trying to find out have you looked at this  
11 potential level and said what potential level you would expect a  
12 hydrogen evolution that cathode your pipe surface? I guess if you  
13 haven't, will that be a part of your discussion with the CP  
14 technicians?

15 A. It certainly will be part of the consideration.  
16 Hydrogen evolution is one of the main factors in establishing a  
17 ceiling limit.

18 Q. Have you seen that high potentials on other lines on  
19 Enbridge? You mentioned something about the newer lines have high  
20 potential also?

21 A. That's where we're -- I think, based on documentation,  
22 it's the X70 steels, the higher strength steels that we're -- I  
23 think they would be more vulnerable.

24 Q. And those steel pipes, when were they installed and do  
25 you know the approximate age on those pipelines?

1 A. The focus would be probably from 2000 onward.

2 Q. Okay. And do you know the coating on those pipes?

3 A. Fusion bond epoxy and HPCC for the most part.

4 Q. Any of the older lines, have you had a chance to look at  
5 this potential levels, especially the tape coating?

6 A. Sorry, could you repeat that?

7 Q. Any of the Enbridge's lines which are older, with the  
8 tape coating, have you seen the same level of CP? Like 1100 off,  
9 1600 on, kind of range. Not exactly same numbers, but --

10 A. Depends on where you're looking at the potentials,  
11 whether you're in close proximity to a rectifier or farther away.  
12 It's dependent on the location.

13 Q. But you have seen these ranges?

14 A. I've reviewed it, but I'm not involved with that --

15 Q. Right.

16 A. -- level of detail with the CP. I'm -- like I mentioned  
17 before, it's the exceptions that I pay attention to and whether or  
18 not there's something unusual from our in-line data that could  
19 trigger me to inquire about a CP factor, like a high CGR growth  
20 from the in-line inspection information would be the other  
21 direction.

22 Q. And CGR growth meaning?

23 A. Corrosion growth rate.

24 Q. Oh, okay. And that will be for the lower side of the  
25 potential or higher than --

1           A.    That's where we would look into what the actual  
2 potentials are at that location.  If we've determined that there  
3 is an unusually high corrosion growth rate, CGR, based on in-line  
4 inspection results, we'll follow up with the CP tech to get the  
5 historic actual values within immediate proximity of that  
6 location.

7           Q.    Are you the operations services CP specialist or -- I'm  
8 trying to find out who that person would be?  Is that you,  
9 operations services?  I was told --

10          A.    No, I'm not.  I'm in pipeline integrity.

11          Q.    Okay.  So do you interact with that person, operations  
12 services?

13          A.    Absolutely.  That would be Kimberly Harris.

14          Q.    Okay.  And that interaction is for what?

15          A.    In April 2010, we had our very first O3C committee  
16 meeting.  And that's Operations Corrosion Control Committee.

17          Q.    Okay.  April 2010?

18          A.    Correct.  That was our very first face-to-face.

19          Q.    Okay.

20          A.    And Kimberly is the -- she chairs this committee.

21          Q.    Okay.

22          A.    And it comprises of all the regional personnel, along  
23 with some pipeline integrity representation.

24          Q.    Okay.

25          A.    This is kind of small, but this is kind of how the

1 regions are divided.

2 Q. Okay. Uh-huh.

3 A. So this is our system, and we have a regional CP  
4 representative for Western Canada --

5 Q. Okay.

6 A. -- Central Canada --

7 Q. Okay.

8 A. -- our gathering system in Saskatchewan, the gathering  
9 system North Dakota. Then we have Western Superior, Eastern  
10 Superior, Chicago, Cushing and Eastern Canada. So that's the  
11 boundaries of how the CP regions are divided.

12 Q. There are nine, I think. And each one has two CP  
13 people?

14 A. There can be assistants in some areas. In some of the  
15 larger areas, they have assistants. Right now Cushing and Chicago  
16 have some assistants.

17 MR. JOHNSON: In Superior, Cushing and Chicago Region,  
18 they all have two now.

19 MR. KRISSA: Superior, East and West?

20 MR. JOHNSON: Well, it's Superior Region. So you have  
21 John Bissell and Gordie Jensen (ph.).

22 MR. KRISSA: Yeah. But they have -- they got the  
23 subdivision --

24 MR. JOHNSON: Big areas.

25 MR. KRISSA: -- of East and West. That's represented

1 here, Jay, by green and red.

2 MR. NICHOLSON: Yeah.

3 MR. CHHATRE: Okay. That's all I have. I may come  
4 back, but right now I'll pass it on to Brian.

5 MR. KRISSA: So this is actually the O3C site that we do  
6 our information sharing through just to centralize the information  
7 because we're two different departments and we needed a repository  
8 where we could interact the two data sets.

9 BY MR. CHHATRE:

10 Q. And this OCC Committee is an internal to Enbridge,  
11 right?

12 A. Correct.

13 Q. And besides Kimberly and these regional folks, who else  
14 is involved with that?

15 MR. JOHNSON: Actually, if you enlarged it and go over  
16 to the right you can see all the members on there.

17 MR. KRISSA: Oh, this isn't a full list, though, Jay.  
18 This is just who contributed the file.

19 But Kimberly chairs it and Nancy is the Cushing rep.  
20 Barry is the Central Canadian. Myself.

21 MR. NICHOLSON: What's the goal of the committee? Is it  
22 going to disband at some point? Is it short term, long term?

23 MR. KRISSA: I don't believe there's any intention of it  
24 disbanding. We want to continue improving our processes and  
25 leveraging both data sets to both sides' benefit.

1           MR. CHHATRE: The question, I guess, was what is the  
2 objective of the committee?

3           MR. KRISSA: The first, improve the channel between --

4           MR. JOHNSON: Actually, there is a, if you will, a  
5 mandate, you know, within the website that talks about, you know,  
6 what the committee does.

7           MR. NICHOLSON: Well, let's hear Len.

8           MR. CHHATRE: Yeah.

9           MR. JOHNSON: Okay.

10          MR. CHHATRE: I mean, since he's involved in it.

11          MR. KRISSA: The intent of the committee was to improve  
12 the exchange of information between the two groups because they  
13 were both responsible for an important data set that's related to  
14 pipeline integrity, yet there was segregation because in-line  
15 inspection information resided primarily here and was managed  
16 here, whereas the cathodic was very regionally dependent. And  
17 there was a lot of actual inconsistency between region to region.  
18 So what we're attempting to do is standardize the processes and  
19 the data formats so that we can use it in a form to maximize its  
20 value.

21          BY MR. CHHATRE:

22          Q. And, of course, being a common, I guess, storage place,  
23 everybody has access to it, being online, right?

24          A. The committee members, correct.

25          Q. Okay. And what inconsistencies would be resolved with

1 the group effort, if I may?

2 A. Right now the regional -- this is -- it's really not --  
3 I shouldn't be at liberty to say, but the region is involved --  
4 like, just an example of some committee activities, the region is  
5 working on standardizing tank designs because there was some  
6 differences from one area to another. The overall intent is to  
7 unify the information and to establish standards.

8 We're utilizing a CP DM database with that standardized  
9 format. I know now what type of information to expect and the  
10 same -- you know, it's consistency. And once we have consistency  
11 of the data, then I can start establishing and producing some  
12 processes where it's a -- you know, where you have a step-wise  
13 process and you can use it universally throughout the system  
14 rather than dealing with each region specifically.

15 Q. That makes sense.

16 A. So going back here, membership, these are the various  
17 stakeholders from a department perspective. So these are who the  
18 committee recognized.

19 Q. And how often do you guys meet?

20 A. This past year, we met twice in person, and the intent  
21 is to be in communication formally every quarter.

22 Q. Okay.

23 A. So we have a minimum --

24 Q. In like a conference call?

25 A. Conference call and a minimum of one face-to-face, which

1 is for the better part of a week.

2 Q. So, one face-to-face plus three phone meetings?

3 A. Yeah, and that's outlined right here.

4 Q. Yeah.

5 MR. NICHOLSON: Are there minutes produced from those  
6 meetings?

7 MR. KRISSA: There are.

8 BY MR. CHHATRE:

9 Q. Do you guys discuss the CP levels, having a uniform CP  
10 program, that kind of -- is that part of --

11 A. That's part of the discussion. Exactly. That would be  
12 an example of what's addressed at these meetings.

13 Q. Now, being a CP, I guess group, do you guys have any  
14 input into the coatings being selected for the newer pipelines or  
15 replacement pipelines?

16 A. Pipeline integrity has a say, but that's outside of my  
17 area of expertise.

18 Q. No, I mean as a committee, because this is going to  
19 be a --

20 A. Oh, coatings are always a discussion, sure.

21 Q. Okay. But does the pipeline integrity ask your -- the  
22 committee's input in terms of if we are building a pipeline so  
23 many miles, what kind of coating the committee recommends? If the  
24 goal is having a uniform system, what kind of CP level --

25 A. On a project-specific basis, the region and integrity



1 are involved.

2 Q. Okay. But do they seek input of this committee? Do you  
3 know if the input of this committee is sought in the newer --

4 A. Not in the overall -- it depends on which region the  
5 project is taking place in.

6 Q. Okay.

7 A. And that representative is directly involved in the  
8 particulars and design specifications.

9 Q. And he's in your committee, so you --

10 A. And he is within the committee.

11 Q. Okay. Was the Marshall incident and coating and CP ever  
12 discussed in your committee?

13 A. Marshall was never really formally addressed at the  
14 committee to date. We're a relatively new committee so we're  
15 focused on the structure and we've got -- we're still establishing  
16 the foundation of it, and for us to -- Marshall removed a lot of  
17 people for a period of time and now we're focusing on  
18 generalizing, you know, and going back to overall what this  
19 committee is intended for and not specific to Marshall itself.  
20 It's certainly not a reactionary measure to Marshall. We can  
21 demonstrate the intent of this committee happened well before  
22 Marshall.

23 Q. Right. No, I never -- I didn't --

24 A. Yeah, that was not -- yeah, that -- if you're saying  
25 that the intent of this committee is a result of Marshall, that's

1 not the case.

2 Q. No, no, no. Had they discussed the Marshall incident  
3 with coating problem and the CP level? Since there was corrosion  
4 on the external side --

5 A. There's always those discussions informally, and that's  
6 what's healthy about the face-to-face because there's all the  
7 people with common interests and these things are discussed  
8 throughout that week that we get the opportunity to get together.

9 Q. Okay.

10 BY MR. PIERZINA:

11 Q. So do you discuss -- and this is Brian Pierzina. Do you  
12 discuss stray current issues amongst the group?

13 A. Stray current interference, yeah. That's a topic of --  
14 certainly. And when I first came on board, I spoke with  
15 Jerry DeWitt and received a listing of all the foreign crossings  
16 associated with 6B.

17 Q. Okay.

18 A. Just to review or correlate that against our in-line to  
19 see if there is the possibility of stray current. And I'm  
20 actually -- just recently took the co-chair for interference  
21 problems, the TEG 262X with NACE. So stray current interference  
22 is always a topic of interest within the committee.

23 Q. And is that something that's dealt with consistently  
24 amongst the regions?

25 A. In the process of.

1 Q. In the process of doing it?

2 A. Yeah.

3 Q. Okay.

4 A. We are certainly -- this committee's in its infantile  
5 stage so to accomplish all of these issues within a one-year  
6 period just -- we have to prioritize and it's not that we're not  
7 going to address stray current formally; it is being addressed  
8 throughout the regions but, as I say, I'm really not at liberty to  
9 say how each region manages their stray current program at a  
10 regional level.

11 Q. And is where the responsibility falls?

12 A. Within the regions? Certainly. Yeah.

13 Q. With the region CP techs?

14 A. Yes. Where I would be directly involved in a stray  
15 current issue is if one of our SMLs, subject matter leads,  
16 approached me and gave me an example within a piece of logged in-  
17 line inspection data and said, holy smokes, we have some unusual  
18 corrosion growth rate here, accelerated corrosion; there has to be  
19 an external mechanism that's driving this; this is outside of our  
20 typical rates. So from that, we'll consider some of your typical  
21 causes of accelerated corrosion, whether it be -- AC is always on  
22 the radar now for our newer construction lines. With the  
23 fantastic coating efficiency that you're seeing with the newer  
24 generation pipelines, AC is always one of the top contenders as a  
25 possibility or an explanation for an accelerated corrosion growth

1 rate. And the other one traditionally is stray current, whether  
2 or not there's a foreign facility nearby where you're getting some  
3 detrimental influence.

4 Q. So can the process work the other way, like we have  
5 stray current, maybe we should run an ILI, you know, or move up  
6 the --

7 A. That can certainly expedite the inspection interval.  
8 And that comes from the exception reporting, as I mentioned  
9 earlier. If that's addressed as a recent concern, from that,  
10 whether -- depends on the situation. Everything's going to be  
11 case-specific, but nothing's really off the table at that point.  
12 And maybe we wouldn't even wait for an inspection. Maybe we would  
13 issue a dig at that location to do a direct visual confirmation of  
14 the extent of damage. If it's speculated or reasonable concern  
15 that, you know, substantial damage did occur within a short period  
16 of time, that could expedite an excavation.

17 Q. Okay. Can you think of examples where that's happened?

18 A. There was one case from where there was AC accelerated  
19 excavations where we were aware, and then once we did some follow-  
20 up testing -- we were aware of an AC threat, did some follow-up  
21 testing and expedited the excavations and also, subsequently, the  
22 installation of an AC mitigation system along the line.

23 Q. Okay. Getting back to the -- you had the survey of line  
24 6B that was done, the on/off survey. Are you familiar with how  
25 that -- I guess, I'm not familiar with where the rectifiers are,

1 which ones may have been interrupted for that survey. Are you  
2 familiar with that at all?

3 A. You would have to confirm that with the Chicago Region  
4 CP tech.

5 Q. So when you looked at it, you just -- you didn't  
6 actually look at how they did what they did, just the results of  
7 what they did; is that right?

8 A. Yeah. That's outside of my responsibility to dictate.  
9 I don't have that level of detail on the CP system.

10 Q. Sure.

11 A. Right now -- and it's improving. We're moving towards  
12 RMU installation throughout the system, and that's allowing us to  
13 be more accessible to this type of data remotely, and giving us a  
14 higher density of operational information and history, and also  
15 eliminating a lot of the problems that, in the past, dealing with  
16 manual installation of interruptions. We can interrogate these  
17 systems and you're alerted whether or not there's been one  
18 rectifier that's no longer interrupting and giving you erroneous  
19 off potentials. So the system -- remote monitoring has improved  
20 the process substantially in terms of the quality of information,  
21 the quantity of information and also reacting to when there is a  
22 rectifier that experiences any down time.

23 Q. So as far as stray current today, in your opinion, is it  
24 dealt with consistently by the regions in the same manner or do  
25 they each tend deal with it their own certain way?

1           A.    To the level I can speak to is that I know they address,  
2 they all address stray current.  Exactly the differences, I cannot  
3 say.  If there any differences.

4           Q.    And so all the corrosion technicians, do they report up  
5 to the same person or do they report up within the region?

6           A.    Intermediately through the region and then up to -- and  
7 then Kimberly essentially oversees and governs the overall system-  
8 wide program.

9           Q.    Okay.  Thanks.

10           BY MR. NICHOLSON:

11           Q.    Just a follow-up.  You mentioned the fact that you guys  
12 were looking -- your group was looking at a ceiling limit for  
13 protection, cathodic protection?

14           A.    Yep.  It's under consideration.

15           Q.    I didn't hear what prompted that?  Why?

16           A.    Recent industry recognition.

17           Q.    Recognition that -- what?  Recognition of there being  
18 a --

19           A.    No --

20           Q.    -- problem with too high a level, or --

21           A.    The potential for coating damage that possibly can  
22 result.  There's a lot of information out there, but at the same  
23 point we're not real conclusive to exactly what that threshold is.  
24 We're, like I said, we're looking at it and so far within our  
25 system, there's no evidence indicating that relative to what's

1 high within our system has caused any problems.

2 Q. So it wasn't driven by some instance within Enbridge?  
3 It's coming from industry research or papers you've read or  
4 something?

5 A. Yeah, external sources.

6 Q. Okay.

7 A. It hasn't been driven by an incident or something  
8 specific within the company, like an incident where there's been  
9 evidence of a, you know, potential failure because of excessive  
10 CP. There's been nothing like that that's driven the  
11 consideration.

12 MR. PIERZINA: Okay. That's all I've got. Ravi?

13 BY MR. CHHATRE:

14 Q. Just a couple of follow-up questions, and I'll just  
15 follow one with Brian here. That AC incident you said caused the  
16 alarm, AC corrosion in the region, what was it? I mean, how did  
17 the regional folks know that they have a corrosion issue because  
18 of AC?

19 A. One of our --

20 Q. What (indiscernible)?

21 A. As of 2010, we've put the recommendation in to acquire  
22 AC potentials in conjunction with the annual adjustive CP survey,  
23 and we're doing an inventory of all co-locations. So we're in the  
24 midst of developing a formalized AC program, AC corrosion program,  
25 where we want to identify pipelines that are particularly very

1 vulnerable to AC corrosion and establish the locations where they  
2 would be susceptible. And as I mentioned, within the annual  
3 adjustive CP survey, AC pipe to soils are taken. And it was  
4 through the test point AC pipe to soil that we were aware that  
5 there was excessive levels of AC.

6           And we're no longer using -- prior to -- historically,  
7 it's always been the 15-volt as the magic number, but that's  
8 driven from a safety perspective. We've come to understand that  
9 you can have AC accelerated corrosion at voltages much less than  
10 15. So through remotes calibrated coupons, that's how we're  
11 establishing whether or not we have effective mitigation from our  
12 -- with our AC mitigation systems.

13           Q. Now, do you get involved in the dig packages and when  
14 the pipe is exposed to look at the coatings to see if there is a  
15 CP issue at all?

16           A. The actual dig packages?

17           Q. Yeah. Well, after the dig package, when the process  
18 starts and after the pipe is exposed?

19           A. Yes.

20           Q. Do you get involved in any way to look at the pipe to  
21 see if it's a CP issue at all, either to rule in or rule out?

22           A. The pipe to soil is not on a consistent basis, no.

23           Q. Well, I mean, do you at least get to look at the pipe to  
24 see if there is coating damage or there is a corrosion issue?

25           A. I do not have opportunity to review every dig that we



1 complete within the company.

2 Q. Okay. Do you at least do a few or (indiscernible) --

3 A. Yeah, the unusual cases. If there's something out of  
4 the ordinary in terms of the morphology of the corrosion, then  
5 certainly. And that's -- I got involved with one of the AC ones  
6 because there was evidence of heat damage around the coating,  
7 which would also somewhat allude to AC corrosion.

8 Q. And where was that?

9 A. That was on Line 13.

10 Q. But somebody has to request you to come and take a look?  
11 You couldn't on your own decide, based on the package, that well  
12 maybe I should go and look at it because there are corrosion  
13 indications?

14 A. As I mentioned, there's hundreds of packages issued. I  
15 just do not have opportunity to review each one on an individual  
16 basis. It's got to be something exceptional before I'll get  
17 involved with it.

18 Q. And who makes that decision? Who decides if something's  
19 exceptional for you to get involved?

20 A. The SML is when I usually get --

21 Q. And who -- what is SML?

22 A. A subject matter lead.

23 Q. Oh, okay.

24 MR. JOHNSON: Would that be Oscar?

25 MR. KRISSA: Yes.

1           MR. JOHNSON: Okay. Because there's a potential we'll  
2 be talking to Oscar, so --

3           MR. CHHATRE: Okay. Thank you so much for your time.

4           MR. KRISSA: Thank you.

5           MR. NICHOLSON: Oh, well, let's see. Do you have  
6 anything else, Brian?

7           MR. PIERZINA: No.

8           BY MR. NICHOLSON:

9           Q. Brian had asked you earlier, Len, about the rectifiers  
10 on the readings that were taken at Marshall post-accident. They  
11 did a rectifier on/rectifier off reading. How many rectifiers do  
12 they need to take off-line to do an accurate rectifier off? I  
13 mean, I see -- it looks like they took four of them off-line to do  
14 that, that reading.

15          A. It depends on the area of influence.

16          Q. And how do you determine that?

17          A. I don't personally determine that within Enbridge, but  
18 until you have a negligible change in your off reading, you  
19 essentially --

20          Q. Oh, okay.

21          A. -- keep going and interrupting until once you turn your  
22 -- the extremity off and you're no longer really impacting your  
23 reading at the location of interest.

24          Q. Okay. I see. Yeah, a steady state, so to speak, just  
25 kind of flat-lined. Yeah, it looks like they went roughly 22

1 miles upstream and 13 miles downstream of the accident site,  
2 taking rectifiers off.

3 MR. JOHNSON: Kimberly may be able to answer that.  
4 Prior to taking the role she's in, she was the CP tech in the  
5 Chicago Region.

6 MR. NICHOLSON: Okay.

7 MR. JOHNSON: So she probably knows that area.

8 BY MR. NICHOLSON:

9 Q. Okay. And then we were talking about stray -- I thought  
10 I heard a talk about stray current corrosion. Is that something  
11 you deal with, stray current corrosion, you look for?

12 A. Not on a daily basis. If there's something case-  
13 specific that involves stray current and it requires some  
14 technical support, I'm certainly there, if a regional CP tech  
15 calls me and has some questions, but it's not part of my day-to-  
16 day duties.

17 Q. How would you see that? You would see it in your pipe  
18 to soils, the stray current? Or you would see it, as you  
19 indicated, through the corrosion --

20 A. Or it can be detected through a CIS, a close interval  
21 survey.

22 Q. Okay. Right.

23 A. And the other thing is it can also -- any new  
24 construction, notification of a new facility crossing the line.

25 Q. So I'm just trying to picture -- what would that look

1 like then on a close interval survey? Just be a spike, or --

2 A. An abnormal depression. In some areas, there'll be a --  
3 could be an area of pick up and then an area of discharge.

4 Q. Okay. Are there any other methods employed other than  
5 just pipe to soil readings? This might not be your -- for you,  
6 but do they do any other surveys to determine coating disbondment,  
7 or --

8 A. We're undergoing an inaugural run with the CP CM tool,  
9 which is an in-line inspection tool specifically geared to  
10 detecting stray current protection levels and also, not directly,  
11 can possibly highlight areas of disbonded coating. Because from  
12 the CP tool's perspective -- it's essentially a moving shunt and  
13 disbonded coating from its perspective is going to show up as good  
14 coating. But if you overlay that against a corrosion log and you  
15 have corrosion there, then you can come to the conclusion that you  
16 have disbondment in there.

17 And it's also a pretty neat tool because it's all got an  
18 AC channel so you can monitor areas of AC as well.

19 Q. And it's called --

20 A. So that's something that's under consideration. And  
21 depending the outcome of the results with this run, we may end up  
22 considering this as being part of our routine testings to -- who  
23 know, maybe it may even be more beneficial to run the in-line CP  
24 tool than doing a conventional CIS.

25 Q. Okay. It's called CP CM; is that what --

1 A. Yeah, it's a Baker-Hughes technology.

2 Q. Oh, okay.

3 A. And it was actually -- I believe it was an R&D project  
4 done in conjunction with PHMSA.

5 MR. NICHOLSON: Okay. Thanks Len.

6 MR. KRISSA: No problem.

7 MR. CHHATRE: Thanks again.

8 MR. KRISSA: Thank you.

9 MR. NICHOLSON: Okay. This concludes the interview.

10 (Whereupon, the interview was concluded.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF:           ENBRIDGE - LINE 6B RUPTURE IN  
                                  MARSHALL, MICHIGAN  
                                  Interview of Lenard Krissa

DOCKET NUMBER:           DCA10MP007

PLACE:                     Edmonton, Alberta, Canada

DATE:                      December 6, 2011

was held according to the record, and that this is the original,  
complete, true and accurate transcript which has been compared to  
the recording.

---

Vanita Tildon  
Transcriber