

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

\* \* \* \* \*

Investigation of:

\*  
\*  
\*  
\*  
\*  
\*  
\*

NEW JERSEY TRANSIT TRAIN #1614  
ACCIDENT AT HOBOKEN TERMINAL  
AT HOBOKEN, NEW JERSEY  
ON SEPTEMBER 29, 2016

Accident No.: DCA16MR011

\* \* \* \* \*

Interview of: STEPHEN HAMER

Weehawken, New Jersey

Sunday,  
October 2, 2016

## APPEARANCES:

DAVID BUCHER, Railroad Accident Investigator  
National Transportation Safety Board

STEPHEN JENNER, Ph.D., Human Performance Investigator  
National Transportation Safety Board

NICHOLAS WEBSTER, M.D., Medical Officer  
National Transportation Safety Board

PATRICK VEDDER, Inspector  
Federal Railroad Administration

BRUCE PARKIN, Inspector  
Federal Railroad Administration

FRED MATTISON  
New Jersey Transit

RANDY FANNON  
Safety Taskforce  
Brotherhood of Locomotive Engineers (BLET)

WILLIAM BATES  
SMART, Transportation Division

<u>ITEM</u>	<u>I N D E X</u>	<u>PAGE</u>
Interview of Stephen Hamer:		
By Mr. Bucher		5
By Dr. Jenner		9
By Mr. Vedder		17
By Mr. Parkin		19
By Dr. Webster		24
By Mr. Fannon		26
By Mr. Bates		29
By Mr. Mattison		30
By Dr. Jenner		37
By Mr. Vedder		38
By Mr. Parkin		39
By Mr. Fannon		41
By Dr. Webster		42

I N T E R V I E W

(12:30 p.m.)

1  
2  
3 MR. BUCHER: Okay. This is Dave Bucher, rail accident  
4 investigator for the National Transportation Safety Board and this  
5 is the interview of Steve Hamer, engineer on New Jersey Transit.  
6 The interview is in relation to the accident that occurred in  
7 Hoboken, New Jersey on September 29, 2016, and the accident number  
8 is DCA16MR011.

9 As I said, Steve, here is a little preface for the  
10 transcriptionist. The purpose of the investigation is to increase  
11 safety, not to assign fault, blame or liability. NTSB cannot  
12 offer any guarantee of confidentiality or immunity from legal or  
13 certificate actions. A transcript or summary of this interview  
14 will go into the public docket.

15 The interviewee can have one representative of the  
16 interviewee's choice. That representative may be an attorney, but  
17 is not required to be an attorney. The representative may not  
18 testify for the interviewee.

19 We'll go around the table and introduce ourselves. To my  
20 right I have?

21 DR. JENNER: Stephen Jenner, S-t-e-p-h-e-n, J-e-n-n-e-r, with  
22 the NTSB.

23 MR. VEDDER: Patrick Vedder, P-a-t-r-i-c-k, V-e-d-d-e-r,  
24 inspector, FRA.

25 MR. PARKIN: Bruce Parkin, B-r-u-c-e, P-a-r-k-i-n, safety

1 inspector, Federal Railroad Administration.

2 DR. WEBSTER: Nicholas Webster, N-i-c-h-o-l-a-s,  
3 W-e-b-s-t-e-r, medical officer, NTSB.

4 MR. FANNON: Randy Fannon, R-a-n-d-y, F-a-n-n-o-n, BLET  
5 Safety Task Force.

6 MR. BATES: William Bates, W-i-l-l-i-a-m, B-a-t-e-s, SMART  
7 UTU, National Transportation Safety Team.

8 MR. MATTISON: Fred Mattison, F-r-e-d, M-a-t-t-i-s-o-n, New  
9 Jersey Transit.

10 MR. HAMER: Stephen Hamer, S-t-e-p-h-e-n, H-a-m-e-r, New  
11 Jersey Transit, locomotive engineer.

12 MR. BUCHER: Thank you, Steve. This interview is to gather  
13 background information relative to the accident. Mr. Hamer is an  
14 engineer on the line on which the accident occurred.

15 INTERVIEW OF STEPHEN HAMER

16 BY MR. BUCHER:

17 Q. Steve, if you could for our group, go through the process of  
18 taking a train from Spring Valley to Hoboken, and any conditions,  
19 any special conditions that you can tell us about, appreciate it.

20 A. Report for duty. Do you want my specific job or you want --

21 Q. However is easiest for you to relate, you know, the trip.

22 A. In my job, in my case, report for duty at 7:22, walk out to  
23 the yard. My specific train is actually on West Yard 3 in  
24 Woodbine Yard, which is Spring Valley, New York. It's actually  
25 also known as the pedestal track. We go out there, do the full

1 brake tests without the EP on. Then we do a brake test with the  
2 EP on. Once that is done, the conductor gives a signal to pull up  
3 to the sign-up location to pick up the conductor.

4 At leaving time, about 6:54, we leave the yard -- not, I'm  
5 sorry, not 6:54 -- 7:54 -- no, 8:54, sorry. No, 7:54, we leave  
6 the yard, head into Spring Valley Station. It's basically yard  
7 limits up until you reach CP Spring. There are two switches  
8 there, two hand-throw switches. One is a sand track and then the  
9 other is the switch that controls movement on the north lead --  
10 excuse me -- the main track and the south lead past CP Spring,  
11 which is your first controlled signal into the Pascack Valley Line  
12 territory, and enter Spring Valley Station.

13 Q. Okay.

14 A. Our particular job, we are express, a New York Express. We  
15 make the first three stops: Spring Valley, Nanuet, Pearl River,  
16 and after Pearl River we are express to Secaucus.

17 Leaving Spring Valley, we have a restriction. It's 30 miles  
18 an hour. East of the station there's a speed limit resume  
19 reminder board. And right after the first crossing there, which  
20 is Dutch Lane, there is a resume speed limit board. That track is  
21 40 miles an hour to almost about Nanuet.

22 You get to Nanuet and make your station stops. Pearl River,  
23 station stop. The majority of the line is 50 miles an hour down  
24 to New Bridge Landing, which there is a interlocking at West Cole,  
25 it turns to 40 miles an hour. West Cole to milepost 12, which is

1 just west of Teterboro, it goes from 40 miles an hour to 60 miles  
2 an hour, 60 miles an hour all the way to just east of Sport  
3 interlocking, which is between -- excuse me -- Sport interlocking,  
4 and then you have Pascack Junction, which makes the New Jersey  
5 Transit Bergen County Line. Just before Pascack Junction, the  
6 speed gets you down to 45 miles an hour.

7 New Jersey Transit, to comply with new rules through the  
8 curves that are 30 miles an hour -- how can I say this? Where  
9 there's a 30-mile-an-hour difference from the curve to the main  
10 line or the maximum authorized speed of the track, New Jersey  
11 Transit has just reduced those speeds by changing the signaling.  
12 So, in a nutshell, Pascack Junction is about 6½, 7 miles from  
13 Hoboken. So from Pascack Junction, you are literally doing now 45  
14 miles an hour, for the most part, all the way to Hoboken, which is  
15 your maximum speed, basically, except for one spot where there, if  
16 you can get up to 60, you can do 60 just before Secaucus Station.

17 East of Pascack Junction, even though it's 70-mile-an-hour  
18 track, it's 45 miles an hour. You have another restriction at HX  
19 Bridge, which is currently 15 miles an hour; otherwise, the bridge  
20 is 30. There's a curve east of HX Bridge. It is 40 miles an  
21 hour. It leads to another curve, which leads to a private  
22 crossing, which is a 25-mile-an-hour restriction head-end only for  
23 the crossing, as it's unprotected. And that leads you into  
24 Secaucus Station.

25 My specific train, normally we go into Track 3 at Secaucus,

1 detrain and entrain people, continue on into West End, also on  
2 Track 3. And once we get to the curve at West End, where it's 15  
3 miles an hour, it's the dispatcher's discretion which way we  
4 actually go, but there's no set planned route that we take at that  
5 point. We normally go into Track 11 in Hoboken Terminal.

6 Sometimes we'll cross over at West End to line us up for an  
7 easy ingress, I guess that's the right word, into Track 11.

8 There's times we cross over at East End, which is east of the  
9 Bergen Tunnels, and sometimes he brings us all the way down Track  
10 3 to Terminal, crosses over to Track 11.

11 Q. Could you elaborate a little bit what the normal procedure is  
12 when you arrive at the station with the doors and --

13 A. Which station?

14 Q. Hoboken.

15 A. When we arrive at the station, stop the train. I put the  
16 train -- excuse me -- the brake valve and handle off, and at that  
17 point, when the train is stopped, conductors open up the doors.  
18 There are low-level platforms, so the traps for the doorways are  
19 up, in the up position. And as the people are detraining, I am in  
20 the process of cutting out, but I cannot cut out until I know  
21 there are at least two hand brakes on the train.

22 Q. All right. So you stay in the cab for --

23 A. Yes, I do.

24 Q. Okay. Okay. Remain in the cab.

25 MR. BUCHER: Okay. That's all I have for now. I'll pass it



1 off.

2 BY DR. JENNER:

3 Q. Yeah, thanks, Steve. If you can give an account, a detailed  
4 account about how you approach, I mean, the last couple hundred  
5 yards going into the station, so when you have to reduce the speed  
6 from 15 miles per hour to 10 miles per hour to make a safe stop.

7 A. Sure.

8 Q. Walk us through.

9 A. Normally once I hit the home signal at East End, which is I  
10 will guesstimate about a quarter mile from the shed, maybe a  
11 little less, that's where the signal gets you down to -- or excuse  
12 me, the cab signal will get you down to restrict. Once I get down  
13 to 15, because it's interlocking rules, that's where I put the  
14 bell on, because generally that's where some crews tend to be  
15 walking among -- around the tracks because they put their trains  
16 in the yard or what have you.

17 Depending on what track we're on, I'll cross over whichever  
18 direction from the track you're sending me, to Track 11. The  
19 depot, from the beginning of the shed and to the block is around  
20 800 feet. I generally start braking about four or five cars away  
21 from the block, and it's -- I hate to say it this way, but it's  
22 all by feel. I do look at the gauges to see what's going on.

23 As I hit terminal interlocking, I'm constantly scanning the  
24 signals. And I'll be honest with you, the reason I do that is  
25 because when I started here 28 years ago, there were steam lines

1 in the ground and you couldn't see half the dwarf signals that  
2 were on the property, so you had to really be cognizant of where  
3 you were. So ever since then I learned, I'm always just scanning  
4 the signals and looking.

5 So when I enter the depot, doing 10 miles an hour, looking at  
6 the track, looking at what's around, on platforms around, and as I  
7 said, about four or five cars, I start my braking.

8 Q. Okay.

9 A. I ride it out, because it's really by feel, and bring it up  
10 to the block. And you just go -- you don't go in an EP hold, but  
11 that's what makes it a little more challenging, because you want  
12 to get as close as you can to -- not to the block -- not as close  
13 as you can to the block, but you want to get the people up to  
14 where they want to be.

15 Q. Can you discuss about what manipulations you're making, in  
16 terms of the accelerating and when you're braking and what --

17 A. The throttle's not --

18 Q. -- what not --

19 A. In my case, and I don't use the throttle at all, because once  
20 you hit -- well, generally once you hit East End, it's relatively  
21 downhill. You don't need throttle unless the dispatcher has  
22 stopped you at a signal. Especially once you hit terminal  
23 interlocking, you can coast all the way in, as long as he doesn't  
24 stop you. The only time you would need to throttle out one or two  
25 notches is because maybe somebody was walking in front of you,

1 they, maybe they didn't know you were coming or something, didn't  
2 look right or, you know, and you might've had to put the brake on  
3 and just a tad.

4 Q. Okay. And in your braking manipulations, how are you  
5 handling the braking?

6 A. It's hard to explain. Little applications. Everybody brakes  
7 differently. I tend, because when I started out, we had PS-68  
8 brake valves and they were just, if you ask me, the best brake  
9 valves we had. But you had to just make little reductions. You  
10 couldn't make big reductions. At least that's the way I learned.

11 Q. Okay.

12 A. So when I brake, when I take reductions, I do little bits at  
13 a time.

14 Q. And can you give a notch number associated with that?

15 A. There are no notches. It's just once --

16 Q. Okay. From --

17 A. It's an application and back. There's no notches.

18 Q. Okay.

19 UNIDENTIFIED SPEAKER: From what, I'm sorry, what position on  
20 the --

21 MR. HAMER: From -- well, all right, you're talking about --  
22 okay, so you got release, electric hold, and your service  
23 position.

24 BY DR. JENNER:

25 Q. Right.

1 A. But there's no notches, like, first service notch.

2 Q. Okay.

3 A. So you go the service and then back to electrical -- or  
4 excuse me, back to Lap. I missed Lap.

5 Q. Service to Lap, one back and --

6 A. Service to Lap, service to Lap if I'm going to take another.  
7 So it's release, electric hold, Lap, service, handle off  
8 emergency.

9 Q. Okay. Do you have any idea if your strategy is applied by  
10 other engineers?

11 A. The way I brake?

12 Q. Um-hum.

13 A. People who came out in that general time frame, yeah, some.  
14 Others don't. It's a personal thing how people -- it's just like  
15 when you stop at a station, you know, some people stop at point A  
16 at one station and some people stop at point B at one station.  
17 You know, it's really personal choice.

18 Q. Okay.

19 A. Although you're supposed to make a 12-pound initial  
20 reduction.

21 Q. Okay. And where does that occur, the 12-pound initial  
22 reduction?

23 A. Coming into the station?

24 Q. Yeah. About what --

25 A. About four or five cars away.

1 Q. Okay.

2 A. But it -- you know, it's interesting. Every car is  
3 different. You know, if you make a 12-pound reduction on one car,  
4 it'll give you, you know, what, 15 pounds, 12 pounds brake  
5 cylinder. You do the same reduction on a different car it'll give  
6 you way more. I don't know if that's a thing with the brake valve  
7 or just the timing, how much you put it there.

8 Q. Okay. And you --

9 A. They are finicky, if that's -- if I can use that word.

10 Q. Okay. You typically operate five passenger car train?

11 A. 1618, my train in the morning is a four-car train normally.  
12 For the past 2 weeks we've been using a three-car set.

13 Q. Okay. Do you -- that final 800 yards, do you alter your  
14 stopping operations if it's between three-car and four-car?

15 A. No.

16 Q. So the -- where you start initiating braking four or five car  
17 lengths is the same for both trains?

18 A. Um-hum, generally. I'm not going to say it's the exact  
19 point.

20 Q. Okay.

21 A. I mean, there's some individuals out there who pride  
22 themselves in stopping and braking at the same point. You know,  
23 actually, when they -- when you come out, they teach you put down  
24 braking points, and I don't do that because your braking point  
25 depends on your speed. And yeah, I understand the terminal is 10

1 miles an hour, and generally you're going to be around the same  
2 area. But basically, what I'm saying is I don't -- when I'm  
3 coming into the terminal, I don't look for that one pole that's  
4 holding up the roof and say, okay, that's my braking point, that's  
5 where I put it on. That's not -- you know, generally I'll be in  
6 that four or five-car area.

7 Q. Okay. You talked about entering Track 11, I think. Have you  
8 ever entered Track 5?

9 A. Yes.

10 Q. Is there any difference between the two, in terms of  
11 strategy?

12 A. No. The only difference would be outside the shed, where the  
13 switches are in different locations. So when you're coming into  
14 Track 11, depending on your lineup, you might have a longer  
15 straight shot into 11, whereas the switches outside 5 and 6 are  
16 not too far outside the shed.

17 Q. Okay. But in terms of where you --

18 A. Speed-wise, you wouldn't have to adjust, no.

19 Q. Okay. And the distance where you initiate the braking --

20 A. Wouldn't change.

21 Q. Okay. Is there anything particular about Track 5 that's more  
22 challenging than other tracks?

23 A. No. Just at certain times of the year, the sun is right  
24 behind you. And the way the roof is built -- so the terminal was  
25 built in 1907, so steam trains. So the way the roof was built was

1 to let the steam exhaust out. So right above the train are --  
2 it's an open canopy. So at certain times of the year, it just  
3 allows the sun to come right down in your face.

4 So during those times of the year, you really can't see the  
5 end of the block, or the end of the track. So you have to come in  
6 slower. And it's interesting, because about a quarter of the car  
7 away, that's when the sun is out of your eyes, because the rest of  
8 the terminal roof and all, and that's when you can see the block.

9 Q. Okay.

10 A. That's the only thing that would be challenging in coming  
11 into these terminal tracks.

12 Q. Okay. Have you heard of any co-workers, colleagues, fellow  
13 engineers who have had issues with that terminal, coming in and  
14 safely stopping?

15 A. Yeah, it's happened -- in hitting the block or --

16 Q. Yeah, hitting the block to some --

17 A. Things like that have happened in the past.

18 Q. All right.

19 A. I mean, not to this extent. Sure.

20 Q. Right. Do you have any insight about the circumstances and  
21 why it may have happened?

22 A. Well, sometime -- one time I know about, the conductor was on  
23 the wrong track and the engineer was on a different track and --

24 Q. Okay.

25 A. It's usually, it's happened to a couple passenger trains in

1 the past 28 years. You know, just a bump. But the biggest times  
2 it's happened were yard moves, I think.

3 Q. Okay. Have you found the equipment that you operate  
4 reliable?

5 A. Mechanically?

6 Q. Um-hum.

7 A. Not always.

8 Q. Okay. What are some of the issues that you're suggesting?

9 A. You have something, what they used to call DCILA (ph.) stats.  
10 I don't know what they call them now, but they're part of the  
11 slip-side system of the -- basically it's an antilock brake  
12 system. Technically it turns out to be a bad sensor.

13 So to give you an indication, you're coming down the track,  
14 you're making a station stop, and when you get to down about 5  
15 miles an hour, for some reason the sensor will kick in. And it's  
16 -- when it does this, it's standard. I don't know why it does it.  
17 It really behooves me. But the sensor will kick in, meaning the  
18 antilock brake system comes on. Your brake cylinder gauge will be  
19 down to zero. And sometimes it does that for 2 seconds, sometimes  
20 it does it for a second.

21 But the reason it annoys me is because jostles the train  
22 around and it makes you look like you don't know what the heck  
23 you're doing, you know, you're a poor engineer, you know, train-  
24 handling wise. And I actually take pride in what I do and I don't  
25 want that person getting off in Hoboken looking at me saying that



1 guy doesn't know what he's doing.

2 Q. Okay.

3 A. And in that situation, those trains, when they do that -- and  
4 they're quite rapid around the property, they do that at every  
5 stop. So --

6 Q. Okay.

7 A. Now, do I know if it's just the wheel set underneath me or  
8 other -- I know it's the wheel set underneath me because the brake  
9 cylinder gauge is going to zero in that case. But I'm not sure if  
10 it's also in other sets as well, in that consist.

11 Q. Okay. Do you ever experience or heard of situations where  
12 trains accelerate unexpectedly?

13 A. Yes.

14 Q. Can you talk about those, please?

15 A. I don't know the specifics, but we had at least one incident  
16 in the past where the engine was actually shoving and the throttle  
17 was not -- or the throttle was in idle. Ask me what the actual  
18 reason for that was at that time, I don't know.

19 Q. Okay.

20 A. But it has happened in the past.

21 Q. Great. Okay. Thank you.

22 BY MR. VEDDER:

23 Q. Patrick Vedder, FRA. Steve, when you leave the yard, what  
24 type of brake test are you doing, class-wise?

25 A. It was a Class IA.

1 Q. You guys do a full Class IA really?

2 A. Oh, I'm sorry. We do an on/off.

3 Q. Oh, so a Class II. Okay. So mechanical does the one, they  
4 do --

5 A. Yes. I'm sorry.

6 Q. All right. No problem. Just curious.

7 After you make your initial 12-pound reduction when you're  
8 taking those bites, those little reductions, do you have an  
9 estimate of how many pounds you're making of those reductions?  
10 Are they, like, 3 pounds, 5 pounds, 6 pounds? Do you know? Do  
11 you have any idea?

12 A. To get to the 12?

13 Q. No, no, no. Once you're at your 12 and you're coming in,  
14 you're talking about making those little reductions. How much of  
15 -- do you have any idea of pound-wise what those little reductions  
16 are? Just a ballpark guess.

17 A. Two, 3, 4 pounds. I don't know.

18 Q. Okay. So you're making --

19 A. Because I'll be honest with you, I do use the gauges, but I  
20 run by feel.

21 Q. Sure. Okay. Yeah, just -- and then the other question I had  
22 was the track speed we discussed is 10 miles an hour coming into  
23 the terminal, into the shed.

24 A. Right.

25 Q. Are you usually at 10 or are you usually around, like, 7 or 8

1 or 6 or 5? I mean, what's the actual speed you're usually coming  
2 in at?

3 A. Ten, 11.

4 Q. Ten, 11? Okay.

5 A. I mean, you got to understand, we have some speedometers --  
6 these are electronic speedometers based on a sensor on the wheel,  
7 and a lot of them don't necessarily maintain a steady 10 or steady  
8 9.

9 Q. Okay.

10 A. You know, sometimes they'll go from 9 to 12, from -- so I  
11 mean, generally, the cab cars are pretty good. They're steady.  
12 Most of the times you'll see -- I'll call it a wavering  
13 speedometer -- is GP40s and possible other, you know, other  
14 engines. It's usually the engines.

15 Q. Okay. Thank you.

16 BY MR. PARKIN:

17 Q. Bruce Parkin, P-a-r-k-i-n, FRA. Hi, Steve.

18 A. Hi.

19 Q. You've been an engineer, a locomotive engineer for 28 years?

20 A. I actually started out as a conductor.

21 Q. Oh, okay.

22 A. So I was a qualified conductor and then I transferred to the  
23 engineer training program.

24 Q. Okay.

25 A. I've been with the company for 28 years.

1 Q. Twenty-eight years. And you're very familiar with Hoboken  
2 Terminal?

3 A. I'd like to think so.

4 Q. Okay. On an overcast day, such as what occurred on Thursday,  
5 the 29th, on a day similar to that, if you were coming into Track  
6 5, at what point coming into the shed would you be able to see the  
7 bumping block and then there's a dwarf signal that --

8 A. On an overcast day?

9 Q. Yes.

10 A. Or, like, just like the day on Thursday?

11 Q. Yes. Yes.

12 A. Immediately.

13 Q. Okay. So and that's -- I forgot what you said. It's --

14 A. Well, actually, if you're coming into Track 5, once you  
15 basically clear the switches and you're just about to hit the  
16 train shed, you can see the block.

17 Q. Okay.

18 A. Unless it's a little bright out and there might be a little  
19 shadow. But once you get into the train shed, you can see the  
20 block.

21 Q. And I think you said that's somewhere around 800 feet, you  
22 thought?

23 A. Yeah, because you can fit six cars and an engine under the  
24 shed, so each car is about 110.

25 Q. Okay. And you stated you typically start to brake about

1 four --

2 A. Four to five cars.

3 Q. -- four to five car lengths away. And that's, according to  
4 New Jersey Transit rules, you're supposed to come in not power-  
5 braking; is that correct?

6 A. Correct.

7 Q. And just using straight air, not using the EP brake at all?

8 A. You're not allowed -- correct. You're not allowed to use the  
9 EP coming up to a stop signal or the block. I'm sorry, what was  
10 the, before that you said?

11 Q. Oh, you're, so you're not using --

12 A. Power-braking.

13 Q. -- you're not power-braking and you're not using the EP  
14 brake, so it's basically what we would consider straight air  
15 you're coming in on?

16 A. Right. And to be honest with you, the only equipment we can  
17 now only power-brake physically on now is if you have a GP40 on  
18 the back. The rest of the equipment we have, if you take -- I  
19 believe it's about 10 pounds of brake cylinder, it's -- power cut  
20 out.

21 Q. Okay. And that's the -- so when you were initially went  
22 through training, that's the way you're trained to approach  
23 Hoboken Station and the bumping block; is that inaccurate?

24 A. Without EP, yes.

25 Q. Yes. Okay. Now, what would happen if an engineer was

1 approaching Hoboken Terminal and waited until two car lengths at  
2 10 miles an hour, waited until they got approximately two car  
3 lengths from the bumping block and then started to apply their  
4 brakes? In your estimation, with your experience --

5 A. In my estimation, you would have to take a bigger  
6 application. I brake earlier to try to guarantee better train  
7 handling. I'm not one that flies into stations, as they call it  
8 out here, stand them up/sit them down kind of thing. I do not run  
9 a train that way. And to be honest with you, the way the time  
10 schedule is, there's no need to fly into stations and brake late  
11 and stop. So if the longer you wait to make a reduction, the  
12 bigger application you're going to have to make.

13 That didn't come out right. The longer you wait to get to  
14 the block, the bigger application you're going to have to make.

15 Q. On the brakes?

16 A. Yes.

17 Q. For the brake? Okay. That would typically be felt by the  
18 crew members in the back and, I would imagine, the passengers  
19 would feel that more than an engineer like yourself, who brakes  
20 four to five cars prior?

21 A. Yeah. To give you a good explanation, I think, of what I'm  
22 talking about, if you make a good 8 to 10 to 12-pound reduction --  
23 not reduction, excuse me -- brake cylinder application, because  
24 it's easier for me to say it that way, that's enough to put the  
25 brakes on without really jostling people around in the train.

1 Really anything more than that, anything more than 10 to 12 pounds  
2 of brake cylinder on the train, you're going to kind of startle --  
3 I don't know how to say it -- you're going to jostle the train  
4 just a bit.

5 Q. So if an engineer was to come in at 10 miles an hour and  
6 waited two car lengths from the bumping block to start to apply  
7 the brakes, would that be considered coming in heavy?

8 A. I think so. But you know, you also got to understand, all  
9 the -- this stuff out here is just like a car. Cars aren't the  
10 same. Everything's different. So my three-car train or four-car  
11 train is not going to operate the same as that three or four-car  
12 train. You got two different engines. You know, this one might  
13 have tread brakes, that engine, this one's going to have tread  
14 brakes or maybe disc brakes, or the cars -- it's just, it's just  
15 like cars. They don't operate the same. So it takes you a good  
16 three station stops to figure out how your train actually  
17 operates, in my experience.

18 Q. In order to give the passengers --

19 A. A smoother ride, in my case.

20 Q. -- a smoother ride, the braking at four to five car lengths  
21 would be typically the better technique to use coming into the  
22 station?

23 A. I can't say it's a better technique. It's the technique I  
24 use.

25 Q. Okay.

1 A. What works for me doesn't necessarily work for somebody else.

2 Q. Okay.

3 A. Sorry.

4 Q. Now you said earlier about conditions that might cause the  
5 brakes to release, and you mentioned DCILA stat sensors?

6 A. Um-hum.

7 Q. In a situation like that, where the sensor did trip, would  
8 the brakes release momentarily and come back on or would they  
9 release and stay released?

10 A. No. They release and come back on.

11 Q. Okay. And that -- go ahead.

12 A. No, go ahead.

13 Q. And that happens very quickly?

14 A. One, 2 seconds. They're not -- it's not a standard faux pas.  
15 So it's one, 2 seconds --

16 Q. Okay.

17 A. -- where the brake cylinder goes to zero and then the  
18 cylinder comes back up.

19 Q. Okay. I have no other questions right now. Thank you.

20 BY DR. WEBSTER:

21 Q. This is Dr. Nicholas Webster. As we were thinking about  
22 this, the operator of the train, the accident train, we talked to  
23 him and the -- his last recollection is performing some actions  
24 at, I believe, the entry into the train, into the --

25 A. Terminal?



1 Q. -- into the terminal. Could you estimate how long a train  
2 entering the terminal at a normal speed would take to stop?

3 A. Three, 4, 5 seconds.

4 Q. Okay.

5 A. I don't know. Maybe 5, 10 seconds.

6 Q. Okay.

7 A. I'm not a good judge of time and -- I was never Einstein.

8 Q. Okay. Assuming that he's done -- everything he said he did,  
9 if he takes no action on the brakes from -- no additional action  
10 on the brakes, what is going to happen to that train?

11 A. No additional action after what? Or no action?

12 Q. No -- after he entered -- no action. He's entered, he's not  
13 touching -- he stopped touching anything.

14 A. Okay.

15 Q. What will happen if he moves no levers at that time?

16 A. If he's coming into the terminal at 10 miles an hour, he's  
17 going to hit the block, if that's what you're asking.

18 Q. What's going to happen to the -- is this train going to speed  
19 up? Is it going to continue to slow down? What's going to happen  
20 to the motion of that train?

21 A. Oh. It's fairly level, but slightly downgrade because, you  
22 know, the terminal is built right above the river. So there is a  
23 very slight downgrade. In other words, if the train was sitting  
24 there and somebody did not put a hand brake on after everybody got  
25 off, and for some reason the brakes bled off, that train would

1 roll back and hit the block. So it is a slight downgrade at some  
2 point.

3 But what would happen if he didn't put the brakes on, the  
4 inertia of the engine and the weight of the engine behind would  
5 keep pushing the train. It wouldn't increase the speed,  
6 generally, it would just keep rolling.

7 Q. Okay. That's -- yeah, that's all I have. Thank you.

8 A. Thanks.

9 BY MR. FANNON:

10 Q. Randy Fannon, BLET. When we interviewed the engineer  
11 yesterday, he said that he operated with the controls with both  
12 hands. Do you operate with both hands, one hand?

13 A. You're going to laugh at this. I actually use two hands. My  
14 hand is on the throttle, and because there are a lot of crossings  
15 on my Pascack Valley Line that I operate, I actually have my two  
16 fingers on the horn and I keep my thumb on the reverser lever  
17 because it is so long, the handle itself on the lever, that it is  
18 possible where you can just almost inadvertently grab it and move  
19 it. So I actually keep my hand, my thumb, on the reverser lever,  
20 and it just became a habit, so that's how I do it now.

21 Q. Okay. Speaking of inadvertently, after some discussion --  
22 can you accidentally cut the locomotive or the control, the brake  
23 controls out? I think it was brought up that the cut-in and cut-  
24 out is right beside the brake?

25 A. Yes. When the train is stopped you can, because I've done

1 it. I actually went to hit the -- oh, I forget what I was -- oh,  
2 sander or something. But we were stopped in Pearl River Station  
3 -- and this was a few years back -- but I don't know what the heck  
4 I was thinking at the time, but I went and went to hit the button  
5 and stupidly I hit the out button and put the train in emergency.

6 Q. Do you know if it can be done while in motion?

7 A. I do not know.

8 Q. Okay. You kind of referenced this, but does all the brake  
9 applications apply the same? Today's a cab car, tomorrow's  
10 locomotive, a different cab car the next day --

11 A. No. I mean, you have different brake valves and -- are you  
12 talking all the equipment we have here?

13 Q. Well, just some of the differences. Highlight some of the  
14 differences is what I'm going at. Because if you put a little  
15 spurt on today, you might get 4 pounds on this equipment. You put  
16 a little, like you said, a little blast on and you might get 8?

17 A. Yeah. It's my opinion that they are different, yes, that  
18 there is a difference. That, in other words, I'll say if you put  
19 1 second of application on cab car 6036, you might get 8 pound,  
20 but if you put 1 second of reduction on cab car 6057, you might  
21 get a different reduction.

22 Q. And with the trains being different sizes, I think you -- on  
23 the story that you've portrayed today, you're on a fast express  
24 and you normally had four cars and you're now with three in the  
25 locomotive. Does that change -- when you're coasting into the

1 station, extra passenger weight, locomotive weight, does any of  
2 that change the velocity?

3 A. If it does, there's no great indication to me, no.

4 Q. Okay.

5 A. In other words, like I think I mentioned before, I don't see  
6 really a big difference in where I'm going to start braking the  
7 train with a car difference.

8 Q. Okay.

9 A. Now, I'm not --

10 Q. And with the passengers being -- like on Thursday, if the  
11 magnitude of the passengers were in the first two cars, on a  
12 downhill grade, will that weight change --

13 A. In my opinion, no.

14 Q. Okay.

15 A. But I was never good at physics.

16 Q. Last question, when you're coming into the station --

17 A. Hoboken?

18 Q. Yes, at Hoboken Terminal, you're coming into the platform,  
19 you're at the end, is there anything there that could distract  
20 you?

21 A. Sure. There's people walking around, there's mechanical,  
22 there's -- it's the world. It's --

23 Q. So there's a lot of action going on?

24 A. Yes.

25 Q. Especially at rush hour?

1 A. Oh, certainly.

2 Q. And then could there be distractions behind you?

3 A. There could be. If somebody banging on the door, that  
4 doesn't really distract me. But people could bang on the door or  
5 inadvertently knock into the door, but --

6 Q. Rail buffs standing, looking over your shoulder?

7 A. Yeah, that doesn't easily distract me. But if they're  
8 standing over your shoulder, they're standing next to you because  
9 the door is closed and there's usually something on the window, or  
10 it's shaded or blacked out.

11 Q. Okay. Thank you.

12 BY MR. BATES:

13 Q. William Bates, SMART UTU. I only have one question. Has  
14 anything changed on the line that you work from Spring Valley to  
15 Hoboken, have they had any speed changes recently?

16 A. Yeah. I mentioned that earlier. So from Pascack Junction,  
17 they -- Pascack Junction in, because of a couple curves, 30-mile-  
18 an-hour difference to the maximum speed, they lowered the -- they  
19 changed the signals to comply with the new rules.

20 So basically from Pascack Junction in, once you get on the  
21 Bergen County line, it's a 70-mile-an-hour track. You've now  
22 lowered it to 45 miles an hour. So effectively, from Pascack  
23 Junction to Hoboken Terminal, your speed is no greater than 45  
24 miles an hour, unless, once you get east of the private crossing  
25 by West Secaucus, and if you can get up to 60 at that point before

1 you get to Secaucus, you're doing pretty good.

2 Q. So the speed used to be 70 and now it's 45 in those areas?

3 A. Yes. So you went from a train to basically the Toonerville  
4 Trolley, yes.

5 MR. BATES: Okay. All right. That's all the questions I  
6 had.

7 BY MR. MATTISON:

8 Q. Okay. This is Fred Mattison, Jersey Transit. Steve, when --  
9 you talked about when you go to depart the yard, you do a standing  
10 brake test, the Class II brake test?

11 A. Um-hum.

12 Q. You went into detail that you do it with your EP off and the  
13 EP on?

14 A. Yes.

15 Q. Can you explain why?

16 A. Because the rule specifies you're supposed to without the EP.

17 Q. Do you know the theory behind the rule or do you just know  
18 that that's what the rule says to do?

19 A. Well, EP is using electric.

20 Q. Yeah.

21 A. So you don't know exactly what your electric system is doing.

22 Q. Okay.

23 A. So you got to see what your straight air is doing.

24 Q. Okay. Is there another brake test you do after --

25 A. Do the running brake test.

1 Q. Can you explain that process to us, please?

2 A. Um-hum. A 12-pound reduction, at least, to get down at least  
3 3 miles an hour.

4 Q. Okay. Do you do that with the locomotive traction power  
5 applied or in idle?

6 A. Depends on --

7 Q. What you do.

8 A. It depends -- well, it depends on what engine you have.

9 Q. Okay. Let's say you had four Comets and a GP40 on the hind  
10 end. What would be your process for that?

11 A. I'd do it with the traction applied.

12 Q. Okay. The process that Jersey Transit has in place for the  
13 running brake test, would you be able to significantly tell if  
14 your brakes are functional or not through that running brake test?

15 A. Sure.

16 Q. Okay. And if you didn't, what would you do? What would you  
17 do?

18 A. If I didn't what?

19 Q. If your brake --

20 A. If I determined that the brakes weren't working properly?

21 Q. If your brakes weren't as effective as you think they should  
22 be, what would you do?

23 A. I'd inspect the train.

24 Q. Okay.

25 A. Depending on where I was. If I'm still in the yard, I'm

1 going to notify the mechanical.

2 Q. Okay. All right. Let's get to the end of the line in  
3 Hoboken. We talked about the braking process. Coming in, you put  
4 your -- you apply your brakes and you feel it out as you're coming  
5 in towards the bumping block. You said you don't use EP?

6 A. Um-um.

7 Q. What happens if you make a misjudgment and you have a little  
8 too much brake on and you're going to stop shorter than you wanted  
9 to from the bumping block, what would your process be?

10 A. Depending on where I am in the depot?

11 Q. Yes.

12 A. So if I'm at the six-car mark or five-car mark in the depot,  
13 I would probably release it and go after it again. And I'd do it  
14 right away. If I was any sooner than that, I'd let her sit where  
15 she is, where she stops.

16 Q. Okay. You would just stop short?

17 A. Uh-huh.

18 Q. Okay. Do you have a break on your job at all? Do you have,  
19 like, a --

20 A. Sure.

21 Q. -- you work one round trip, or one train in and then you sit  
22 for one?

23 A. Yes, I do.

24 Q. Okay. I'm not (indiscernible). Someday I'll have your  
25 seniority. It'll be a long time until then.



1           Do you sit in the break room and talk about train handling  
2 with other engineers at all?

3 A.   The locker room lawyers? No, I try not to get into brake --  
4 train handling with the locker room lawyers, no.

5 Q.   What if an engineer junior to you came up and he said, hey, I  
6 have a question about train handling. Have you ever had --

7 A.   Sure, I would discuss it with him. Sure.

8 Q.   Have you ever had a conversation with an engineer, like, say  
9 a junior man, a new engineer, about how to approach the bumping  
10 block?

11 A.   I don't know if we've ever had that specific conversation,  
12 no.

13 Q.   Or about train handling general?

14 A.   My biggest lesson to people, if I'm teaching something or if  
15 I'm trying to explain something -- it kind of doesn't apply now,  
16 but when we had our Comet I's where we didn't have disc brakes --  
17 and I really still think it applies now, but when I was  
18 instructing, I would have them cut out the -- excuse me -- the  
19 dynamic brake to show them what it really means to have to stop a  
20 train. Because the more gizmos and gadgets they give us to help  
21 us stop, it takes away the engineer in all of us. It makes people  
22 complacent. So I tell people, you know, you should really learn  
23 how to stop a train without all the gizmos and stuff so you know  
24 what it's really like, especially this time of year in the fall,  
25 because fall is crunch time when the leaves come out, and it's not

1 a fun situation.

2 Q. In your experience, and you've been here a long time, but  
3 most recently, let's say within the past 5 years, have you  
4 observed or participated in other engineers' discussing train  
5 handling process, either in Hoboken or outside of the terminal on  
6 various parts of the Hoboken --

7 A. That specific process?

8 Q. Or just in general, talking about train handling, what they  
9 do or how they handle certain situations?

10 A. If it is, it's usually after something happened or somebody  
11 was caught doing something or -- because at that point it's  
12 usually something that's contentious and everybody is debating the  
13 merits on whether it's right or wrong.

14 Q. But in general, without an incident, engineers usually don't  
15 discuss different train handling techniques as casual  
16 conversation?

17 A. No, not normally. We're beyond that.

18 Q. Do you have any idea why? It is your craft. Do you have any  
19 idea why engineers don't talk train handling a whole lot?

20 A. Because it's your job. You do it all day long and -- I mean,  
21 some people want to talk that all day. That's fine. I mean, do  
22 we sit there and spend 20 minutes talking something? Like I said,  
23 only if there was a situation and there's contention or it's  
24 contentious of what the issue is, we'll sit there and discuss it.  
25 As normal daily activity, do you sit there and discuss railroad?

1 No. It's not that we hate it, it's just we've been there, done  
2 it.

3 Q. Do you think that's a safe assessment to say that about all  
4 the seniority brackets of the engineers, new engineers, senior  
5 engineers, middle-of-the-road engineer, basically, just in  
6 general?

7 A. That they don't discuss it?

8 Q. Yeah. Yes.

9 A. I generally see where if you get a newer employee, a newer  
10 engineer, they might discuss it, but they don't sit there and have  
11 an actual debate about it. I mean, it's not -- it doesn't become  
12 a debate. You know, somebody might ask a question and it'll just  
13 go back and forth maybe for a minute.

14 Q. Okay. All right. Have you ever ridden the head end of  
15 another train into Hoboken that power-braking is occurring, just  
16 as -- talking with an engineer? Have you ever observed it while  
17 another engineer is doing it?

18 A. Technically, I'm not -- or truthfully, I'm not sitting there  
19 watching what the guy is doing. I'm watching out front, watching  
20 the signals. Do people do it? I would assume some do.

21 Q. Okay. Do you have -- can you explain to us, even though you  
22 said you don't do it, what you think power-braking into Hoboken  
23 Terminal would be?

24 A. What do you mean what it would be?

25 Q. Like, what an engineer who is power-braking, explain to us

1 what a locomotive engineer who is power-braking into Hoboken is  
2 doing.

3 A. In my theory, he probably took too much air and now he's just  
4 trying to push himself up a little.

5 Q. Okay.

6 A. But at one time, power-braking used to be legal.

7 Q. Okay.

8 A. It was in the airbrake book that you were allowed to power-  
9 brake.

10 Q. If an engineer is power-braking, how much power from the  
11 locomotive is he applying to the train? How much -- what throttle  
12 position is --

13 A. That's up to the engineer.

14 Q. All right. So it would be completely --

15 A. That's up to the situation I guess he's doing.

16 Q. All right.

17 A. There's no set power. I mean, that's -- if the guy's doing  
18 it, he's doing it to do what he wants to do, so -- maybe he's in  
19 throttle 1, maybe he's in throttle 2. I don't know.

20 Q. Okay. Do you think an engineer would ever be in the full  
21 power coming into a bumper by power-braking?

22 A. Hell, no.

23 Q. Okay. Very good. If you have a defect with your train, can  
24 you --

25 A. What kind of defect?

1 Q. A defect. Just what would be the reporting process for that?  
2 Minor or major, either one.

3 A. Conductor needs to put it on his form, but generally I like  
4 to call the mechanical desk.

5 Q. Now, do you think it's -- when you report a defect, how fast  
6 do you think New Jersey Transit takes into account that defect and  
7 repairs it? In your experience, if you had a defect that you  
8 reported?

9 A. It depends on where you are and what it is, if you really  
10 want to know the truth.

11 Q. That's kind of why we're here.

12 A. Well, I understand that. No, things don't always get fixed.

13 Q. Do you ever write anything on a record or whatever to report  
14 a defect?

15 A. No, that's the conductor's job.

16 Q. Okay. Do you ever report anything to conductor?

17 A. Sure I do.

18 Q. Okay. Have you ever reported the same defect on a piece of  
19 equipment multiple days in a row?

20 A. I believe I have, and there's a couple times where I've  
21 reported it multiple weeks in a row.

22 Q. Okay. That's all I have.

23 MR. BUCHER: We'll go around one last time. I have no more  
24 myself.

25 BY DR. JENNER:

1 Q. Yeah, if -- this is Steve Jenner. I heard that you were  
2 with, you mentioned, New Jersey Transit 28 years, started off as a  
3 qualified conductor, started off --

4 A. Well, I learned to be a qualified conductor, yes.

5 Q. You became a qualified conductor?

6 A. Yes.

7 Q. How long were you a conductor?

8 A. Three years.

9 Q. From what year to what year?

10 A. Oh, God. I got married in 1988, so I was here in 1989.

11 Q. I'm sorry?

12 A. February '89; 1989.

13 Q. Feb. '89 until?

14 A. As a conductor?

15 Q. Yes.

16 A. Well, 3 years, so I guess about '92.

17 Q. '92? And as a qualified engineer?

18 A. I'm not sure about the exact qualification date, but after  
19 '92.

20 Q. And until present?

21 A. Yes, sir.

22 Q. Great. Thanks.

23 BY MR. VEDDER:

24 Q. Patrick Vedder, FRA. What type of engine do you typically  
25 have on your 1618?

1 A. It varies. It's a rotating pool. To be specific, what  
2 consist Train 1616 has today, 9 times out of 10 I have tomorrow.

3 Q. Okay.

4 A. So in other words, that's how that specific --

5 Q. And you said earlier the engine type doesn't usually dictate  
6 your braking into the station?

7 A. No, not generally.

8 Q. Okay.

9 A. I don't think it affects anything that much. I really don't.

10 BY MR. PARKIN:

11 Q. Bruce Parkin, FRA. Steve, are you now or have you ever been  
12 an instructor for student trainees?

13 A. Yes, I have.

14 Q. Okay. Are you currently --

15 A. No.

16 Q. -- used as a trainer?

17 A. No. We were -- I won't get into that.

18 Q. So in the past as a OJT, on-the-job training instructor for  
19 student engineers, the techniques that you described earlier of  
20 braking coming into Hoboken, like, four to five cars prior, is  
21 that what you generally teach students when they're with you?

22 A. I would say yes, but I also tell -- I also used to tell  
23 students, listen, this is the way I do it, but guess what? When  
24 you get promoted and when you start train handling, you're going  
25 to do it the way you do it. Because what happens is an engineer

1 trainee goes with a variety of engineers. We're not all the same.  
2 We teach different ways. And you tell the student, listen, I'm  
3 going to teach you this way, the way I do it. This guy is going  
4 to teach you this way. He's going to teach you that way. And  
5 you're, unfortunately, going to have to sit there and learn, mesh,  
6 figure out how you want to do it, as long as it's within the rules  
7 and regulations. So do I teach my method? Yeah, I do.

8 Q. Okay. Thank you. And then in the years that you've worked  
9 for NJT, do you know of or have you heard of situations where an  
10 engineer who applied the brakes and either the brakes did not  
11 apply or they took a longer time than normal to apply, with using  
12 the Comet control cars?

13 A. Well, that's a very vague question, because every car we've  
14 had were Comet cars. So the Comet I's we had are Comet cars, but  
15 they're totally different braking system, for all intents and  
16 purposes, than what we have now.

17 Q. On the Comet V. Let me correct that.

18 A. Okay.

19 Q. On the Comet V control cars?

20 A. Okay. So difficulty getting air brakes onto the --

21 Q. Yes.

22 A. -- the wheels, the --

23 Q. Yes. Difficulty with when you applied the brakes, that  
24 either they didn't apply or they applied late? That --

25 A. Yeah, I know what you're saying. I'm just thinking. I'm



1 sorry. I'd have to say generally, no, I don't think so.

2 MR. PARKIN: Okay. Thank you. That's all I have.

3 BY MR. FANNON:

4 Q. Just a couple, Steve. Randy Fannon. Indicators on the  
5 outside of the cars, what -- what do they tell, either the  
6 employees or the people? What do the lights --

7 A. Depends on which indicators you're looking at. So in the  
8 front, by the engineer's cab, you'll have a brake light, which is  
9 blue, and then you'll have a white light, which indicates that the  
10 cab's single system is activated, it's on.

11 Q. And if the brakes are applied?

12 A. There's another indicator back by the west, by the B end of  
13 the coach, of each coach, there's a red light. Means the door is  
14 -- or a door is open somewhere on that vehicle. There is a orange  
15 light, or sometimes it looks yellow, might look yellow, which  
16 indicates that the brakes are applied to some extent on that car.  
17 And there's a green light, which indicates that the brakes are  
18 released.

19 Q. Okay. And --

20 MR. BUCHER: I'm going to take a break.

21 (Off the record.)

22 (On the record.)

23 MR. BUCHER: Back on. We're back on. Okay. This is Dave  
24 Bucher. We're back. And --

25 MR. FANNON: Randy Fannon. No more questions.

1 MR. BATES: Oh, Will Bates. No questions.

2 UNIDENTIFIED SPEAKER: I have no more questions.

3 MR. BUCHER: Okay. Unless I see --

4 DR. WEBSTER: This is --

5 MR. BUCHER: You have one more question?

6 BY DR. WEBSTER:

7 Q. Yeah. This is Dr. Nicholas Webster. If I was to fall  
8 over --

9 A. If you were to fall over? Is that what you said?

10 Q. Fall over. I'm sitting forward and I become unresponsive,  
11 I've got my hand on the brake lever and I pull it back, what's  
12 going to happen to the train?

13 A. You pull the brake lever back?

14 Q. Yeah. It's just -- it comes back towards me.

15 A. Depends on how far you go. If you go all the way to release.

16 Q. Into release?

17 A. Uh-huh.

18 Q. And if I fall all the way forward and --

19 A. Once again, depending on how far you go, either handle off,  
20 which will draw the brakes all the way down and make you stop --

21 Q. Okay.

22 A. -- or if you go to emergency, which is the furthest you can  
23 go, it's going to instantly make you stop.

24 Q. Okay. Thank you. That's all I wanted to know.

25 A. You're welcome.

1           MR. BUCHER: Okay. No more questions, concludes the  
2 interview of Mr. Hamer.

3           (Whereupon, the interview was concluded.)  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF:           NEW JERSEY TRANSIT TRAIN #1614  
                                  ACCIDENT AT HOBOKEN TERMINAL  
                                  AT HOBOKEN, NEW JERSEY  
                                  ON SEPTEMBER 29, 2016  
                                  Interview of Stephen Hamer

DOCKET NUMBER:           DCA16MR011

PLACE:                      Weehawken, New Jersey

DATE:                        October 2, 2016

was held according to the record, and that this is the original,  
complete, true and accurate transcript which has been transcribed  
to the best of my skill and ability.

---

Karen A. Stockhausen  
Transcriber