

UNITED STATES OF AMERICA
NATIONAL TRANSPORTATION SAFETY BOARD
OFFICE OF MARINE SAFETY

**SS NORWAY ENGINEERING GROUP
MAJOR MARINE ACCIDENT
DCA 03 MM 032
INVESTIGATIVE INTERVIEWS**

INVESTIGATIVE INTERVIEW OF:
PER SOPP, FIELD SERVICE MANAGER
Caterpillar Diesel

~~Friday~~ Thursday, June ~~6~~12, 2003

In Attendance:

TOM ROTH-ROFFY, NTSB
BRIAN CURTIS, NTSB
MICHEL LAMBERT, BUREAU OF VERITAS
TERRY STEINFORD, USCG
KEN OLSEN, USCG
JOHN RILEY, NCL CONSULTANT
KEVIN HISLOP, BAHAMAS AUTHORITY
CHRIS OELSCHLEGEL, USCG

P R O C E E D I N G S

1
2 MR. ROTH-ROFFY: The National Transportation
3 Safety Board is a Federal Government agency charged
4 with investigating transportation accidents in the
5 United States. We -- we do all modes of
6 transportation, aviation, railroad, highway, marine,
7 pipeline.

8 Anyway, I'm an employee of the Office of
9 Marine Safety in Washington, D.C., and we're here to
10 investigate the accident that occurred aboard the SS
11 Norway on May 25th, 2003, and the reason we've asked
12 you to come by is because we think you might have some
13 information that might assist us in our investigation.

14 Our investigation is a safety investigation,
15 not a legal investigation. The function of our -- the
16 purpose of our investigation is to determine the cause
17 of the accident, if we can, and then to make
18 recommendations to agencies or persons or companies
19 aimed at preventing similar future accidents.

20 Once again, our -- our investigation is
21 strictly a safety investigation, not a legal
22 investigation. We have no interest in assigning blame,
23 liabilities, or rights of any person or party or agency
24 or company.

25 So, with that, I'd like each person in the
26 room to please introduce themselves to you so we'll
27 know who's here.

28 MR. CURTIS: Brian Curtis with the NTSB,
29 Engineering Accident Investigator.

30 MR. LAMBERT: Michel Lambert from Bureau
31 Veritas.

32 MR. STEINFORD: Terry Steinfeld, Coast Guard,
33 Marine Safety Office, Miami.

34 MR. OLSEN: Ken Olsen, Coast Guard
35 Headquarters.

36 MR. OELSCHLEGEL: Chris Oelschlegel, Coast
37 Guard Headquarters.

38 MR. HISLOP: Kevin Hislop, representing the
39 Bahamas Maritime Authority.

40 MR. RILEY: John Riley, independent surveyor
41 for NCL.

42 MR. ROTH-ROFFY: Okay. Mr. Sopp, during the
43 interview, if at any time you need to take a break for
44 whatever reason, just let me know and we'll -- we'll,
45 you know, stop and take, you know, a break.

46 MR. SOPP: Okay.

47 MR. ROTH-ROFFY: So, let me begin by just
48 asking you your -- your background, where -- you know,
49 where you became involved in the -- in the marine

1 industry and -- and if you would, just kind of lay out
2 your career for us, you know, who you worked for, in
3 what capacity, and what sort of jobs you've held.

4 MR. SOPP: I started sailing at sea back in
5 1959. Training school, on sailing trips, and then
6 sailed on marine ships, took my engineering, second
7 engineering and first engineering degree, and sailed
8 with many companies. I started with Chevron Oil back
9 in '71 and I stayed with them for almost -- well, 11
10 years, close to. During that time I was there, I was
11 doing engineering in new building construction,
12 supervising, sailing as an engineer, and then I quit
13 there back in 1981, and then I came to NCL, started
14 from the SS Norway as first engineer, steam, because I
15 had long steam experience, and then sailed on the
16 Norway for close to a year, started as a support
17 engineer with NCL in July 1982 and then stayed with
18 them until August 1999. That's basically the -- I was
19 a port engineer for the whole time, these 18 years, I
20 was there, except for the one first year where I was
21 sailing.

22 MR. ROTH-ROFFY: I'm sorry. I missed the
23 company that you started sailing with and that was in
24 1971. You started with who?

25 MR. SOPP: Chevron Oil Company.

26 MR. ROTH-ROFFY: Okay.

27 MR. SOPP: And I did -- I worked for Chevron
28 Oil for close to 10 -- between 10 and 11 years, and
29 during that time, did everything from sailing to
30 supervising of new building construction.

31 MR. ROTH-ROFFY: Okay.

32 MR. SOPP: Living in Japan part of the time.

33 MR. ROTH-ROFFY: And during those 10 or 11
34 years with Chevron, you sailed on -- principally on
35 steam ships?

36 MR. SOPP: Tankers. No, not all steam. We
37 have some motor ships as well. But I would say 90
38 percent of the time on steam ships.

39 MR. ROTH-ROFFY: Okay. And since leaving NCL
40 in August of '99, could you describe your --

41 MR. SOPP: I started to work with Caterpillar
42 as a service engineer for repair of diesel engines,
43 marine and pumping stations, and I'm basically getting
44 all the claims from the customers and taking care of
45 the claims and sending out people to do repair and
46 surveys and whatever they need to do. We cover in
47 Canada, North America, and South America.

48 MR. ROTH-ROFFY: And is that your current
49 position?

1 MR. SOPP: That's my current position.
2 MR. ROTH-ROFFY: Okay. During your time with
3 Norwegian Cruise Lines, you say you started in July '82
4 --
5 MR. SOPP: Hm-hmm.
6 MR. ROTH-ROFFY: -- till '99, were you the --
7 the primary port engineer on the -- on the Norway?
8 MR. SOPP: Yeah. I was the only port
9 engineer on the Norway for that time. I had people
10 above me, but that was one of my primary jobs. I had
11 other ships as well to take care of, but that was one
12 of them.
13 MR. ROTH-ROFFY: Could you name those other
14 ships?
15 MR. SOPP: Oh, I did Summerbird. I did the
16 Starbird. I did the Skybird. I did Norwegian Majesty,
17 Norwegian Crown. Might have been more, but I -- that's
18 what I recall at the moment.
19 MR. ROTH-ROFFY: And -- but the Norway was
20 your -- your primary --
21 MR. SOPP: Yeah.
22 MR. ROTH-ROFFY: -- ship?
23 MR. SOPP: That was -- took most of my time.
24 Yeah.
25 MR. ROTH-ROFFY: Okay. And could you
26 describe your duties as a port engineer with -- with
27 NCL on -- on the Norway? What --
28 MR. SOPP: Well, my duty on the Norway was
29 everything from propulsion to carpets, I guess, and I
30 had to help them out with any problems they had, write
31 the specification for drydocking, day-to-day problems,
32 whatever came up, I was the one that they talked to.
33 Ship was going here to Miami, so I was on board every
34 Saturday or Sunday, all these trips.
35 MR. ROTH-ROFFY: Okay.
36 MR. SOPP: And there wasn't many that I was
37 not there.
38 MR. ROTH-ROFFY: And during that time, did
39 you have any assistants to assist you with the work
40 that you were doing on Norway?
41 MR. SOPP: Not really that I can recall. I
42 had -- I had -- at the beginning, we had senior vice
43 president that just took care of the Norway, but he was
44 my immediate boss. He's dead now, but he was there
45 from '81 until '86, maybe.
46 MR. ROTH-ROFFY: What was his name?
47 MR. SOPP: His name was Leif Borresen. He
48 was a civil engineer on Norwegian. Worked for the
49 Underwriters for some years before he came to Norwegian

1 Cruise Lines.
2 MR. ROTH-ROFFY: And after Mr. Leif Borresen,
3 who was your supervisor?
4 MR. SOPP: After that, it was Kam Trollerud.
5 K-A-M. You probably know the spelling. T-R-O-L-L-E-R-
6 U-D, Trollerud. And he was my immediate supervisor all
7 the way until I was fired.
8 MR. ROTH-ROFFY: And what was Kam Trollerud
9 --
10 MR. SOPP: Trollerud.
11 MR. ROTH-ROFFY: Trollerud.
12 MR. SOPP: Yeah. His position was
13 superintendent. That was -- he was above all the --
14 all the port engineers. There was like three other
15 port engineers.
16 MR. ROTH-ROFFY: Do you recall what his title
17 of his job was?
18 THE WITNESS: Superintendent.
19 MR. ROTH-ROFFY: Superintendent.
20 MR. SOPP: And his immediate supervisor was
21 Mr. Sven Dahl, senior vice president for the
22 operations, ship operations.
23 MR. ROTH-ROFFY: Could you spell that last
24 name? Sven?
25 MR. SOPP: Dahl, D-H- -- D-A-H-L.
26 MR. ROTH-ROFFY: Okay. And you were -- your
27 title was port engineer or superintendent?
28 MR. SOPP: Port engineer.
29 MR. ROTH-ROFFY: The title superintendent, is
30 that --
31 MR. SOPP: Well, they changed it later
32 afterwards, but it's --
33 MR. ROTH-ROFFY: Okay.
34 MR. SOPP: It was just -- just titles. It
35 was -- it was like four -- four port engineers and then
36 there was one superintendent.
37 MR. ROTH-ROFFY: And was there a VP of
38 Technical Operations at that time?
39 MR. SOPP: Well, Mr. Dahl, he was VP both of
40 Technical and -- and Maritime and whatever else.
41 MR. ROTH-ROFFY: Okay.
42 MR. SOPP: Yeah.
43 MR. ROTH-ROFFY: Okay. I think we've got
44 probably enough on your background.
45 Anybody have any -- want any clarifications
46 on anything that's been mentioned?
47 (No response)
48 MR. ROTH-ROFFY: Okay. I guess now what I'd
49 like to ask you about is -- is your experience with the

1 boilers, you know, from the time you started, you know,
2 the sorts of things you've done on the boilers and
3 observations and concerns. It's kind of an open-ended
4 question, but if you could.

5 MR. SOPP: Because it started all the way
6 from the major black-outs. They had -- before I came,
7 just before I came, they had a major black-out and they
8 -- they had pumps into the boiler and operated a
9 descaling agent into the boilers and that's extremely
10 not good, I can tell you, and suddenly all the pipes on
11 one boiler were just like -- it was leaking all over,
12 and this acid is very, very destructive to steel,
13 mainly come from the high temperature, high pressure.
14 That was one -- one of the things which we had to redo
15 that boiler. That was Number 24.

16 And then, in '82, we had the massive fire in
17 the forward engine room, and we went in drydock for
18 three months, and during that time, we retubed three
19 boilers. It was probably 23, 21, 22 and 23, I believe
20 it was. I can't really recall now, but I believe it
21 was.

22 MR. ROTH-ROFFY: You believe it was which?
23 Say those numbers again.

24 MR. SOPP: 21, 22 and 23. I think those were
25 the ones that was retubed in '82.

26 Many retubing, that means the gauges, the
27 walls, not the superheaters, and normally not the
28 covers or any of the -- you know, the major structural
29 pipes were changed ever, and then --

30 MR. ROTH-ROFFY: Could you back up? You say
31 there was a fire in '82 in the --

32 MR. SOPP: Yeah. Major fire.

33 MR. ROTH-ROFFY: -- forward engine room. Did
34 that cause the -- was that the reason for the retubing?

35 MR. SOPP: No, no, no.

36 MR. ROTH-ROFFY: The retubing was --

37 MR. SOPP: But then -- then we had to go to
38 drydock, --

39 MR. ROTH-ROFFY: Okay.

40 MR. SOPP: -- and they were going to stay
41 there for three months, and the boilers, you know,
42 they've been in lay-up for seven-eight years before.
43 This was the first drydock after they took the ship
44 over, you know. So, there was a lot of things, that
45 the boilers were not in good condition. The tubes had
46 lots of leaks and lots of stuff happening.

47 I had just come in there, so I didn't really
48 know, I don't know who took the decision or whatever
49 that we should retube these boilers, and it was done,

1 and, you know, it was put back in service after all the
2 regulatory tests and whatever, and we installed the
3 diesel engines at the time because the ship did not
4 have back-up diesel engines. So, you couldn't -- if
5 you had a black-out, you could not start that ship up
6 hardly.

7 MR. ROTH-ROFFY: Where was that work done?
8 Did you say Bremer?

9 MR. SOPP: Bremer.

10 MR. ROTH-ROFFY: Okay.

11 MR. SOPP: Yes. But they installed them, the
12 diesel engines, and then -- then went back in service.
13 We had very, very few problems for quite a few years.
14 There was then -- I don't remember -- a study done on
15 the boilers, and the study was done by Dutche Babcock,
16 I believe, because using a lot of the drydock people,
17 now there was cracks, microcracks in the drums and they
18 were grinding, and then there was a study being done on
19 these microcracks and what caused the microcracks and
20 all of this.

21 Then there is a report about that, NCL and on
22 the ship about it, these things, and this report tells
23 you basically that all this, lighting up the boiler and
24 setting them down, it's very destructive to the
25 material. The welding procedure back in '61, I assume
26 they had problems because the -- next to -- next to the
27 valve in the drums, you had an area where you get all
28 these microcracks, and these microcracks, you could
29 grind them away but they would emerge again after some
30 time, if -- if -- especially if you were lighting up,
31 taking up pressure past, you know, doing this, lighting
32 up, you know.

33 On a time table, you probably shut down the
34 boiler once a year. Here, you do it every year --
35 every week, maybe twice a week. It's very, very bad
36 for the boiler. That's why at one point, I don't
37 remember now when, one of the drums were welded, but
38 that was on 21 boiler.

39 MR. ROTH-ROFFY: That was on 21?

40 MR. SOPP: Yes.

41 MR. ROTH-ROFFY: Do you recall --

42 MR. SOPP: I can't remember if it was -- I
43 have a very strong feeling it was the one that went.
44 That is my -- that it was the -- the one.

45 MR. ROTH-ROFFY: Well, it was 23 that went.

46 MR. SOPP: I mean 23, yeah.

47 MR. ROTH-ROFFY: So, you seem to recall 23
48 was welded?

49 MR. SOPP: 23, yes, yes, and I think that the

1 welding was done and they have it, but I'm not 100
2 percent sure because this is so many years ago.

3 MR. ROTH-ROFFY: You don't recall where the
4 welding was done?

5 MR. SOPP: The welding was done by Dutche
6 Babcock, I believe, and it was done at sea, actually.

7 MR. ROTH-ROFFY: Done at sea?

8 MR. SOPP: Yeah. But BV were present and --
9 and they -- they have the procedure correctly with --
10 with the kneeling and the whole thing. But I -- I
11 don't -- I'm not 100 percent sure when. In that
12 report, it should be somewhere. You should see that.

13 MR. ROTH-ROFFY: And the year? The
14 approximate year? Can you even --

15 MR. SOPP: I'm saying '87 or something like
16 that.

17 MR. ROTH-ROFFY: '87?

18 MR. SOPP: I'm not 100 percent.

19 MR. ROTH-ROFFY: Sure.

20 MR. SOPP: And then the following year, we
21 did inspections, random inspections in the drum to see
22 if there was more cracking. Most of the boilers, there
23 was no really any cracks we could see. There was --
24 the last inspection I was attending on this was we had
25 drydocking in Southampton in 1996, I believe. I think
26 so.

27 MR. ROTH-ROFFY: You said that's the last
28 time you attended a survey of the boilers?

29 MR. SOPP: No, no. That was when we had the
30 -- the crack inspection and the specialists in there to
31 do crack inspections.

32 MR. ROTH-ROFFY: That was the last time that
33 you know that --

34 MR. SOPP: Yeah.

35 MR. ROTH-ROFFY: -- cracks were --

36 MR. SOPP: Yeah. That was done in the crack
37 inspection on it.

38 MR. ROTH-ROFFY: And what was found at that
39 time?

40 MR. SOPP: I can't really remember it. But
41 it should be in BV's papers, I'm quite sure. There was
42 -- no. There was -- I know there was not enough that
43 we would do anything with it. So, it was nothing -- it
44 hadn't gone any further really. So, because in going
45 further, the class would have come and said no, we have
46 to do something with it.

47 MR. ROTH-ROFFY: And you said that was done
48 in Southampton?

49 MR. SOPP: I think it was Southampton in '96.

1 MR. ROTH-ROFFY: And do you recall the
2 company that did the survey or -- by chance?
3 MR. SOPP: No, I can't. I -- I think it was
4 actually done by -- by BV itself. They were in
5 checking. That's what I recall.
6 MR. ROTH-ROFFY: And was there a report
7 written?
8 MR. SOPP: Yes, I think there was a report
9 written.
10 MR. ROTH-ROFFY: I'd like -- I'm sorry. Go
11 ahead.
12 MR. SOPP: Okay. Maybe you want to continue
13 on that line a little bit because I was going further
14 the next --
15 MR. ROTH-ROFFY: Yeah. Actually, I -- I'd
16 actually like to back up --
17 MR. SOPP: Yeah.
18 MR. ROTH-ROFFY: -- even a little bit more.
19 So, you mentioned there was a report that had been
20 written -- a report or a study and you -- you say it
21 was done by Lord Werft?
22 MR. SOPP: No. I think it was Dutche
23 Babcock.
24 MR. ROTH-ROFFY: Dutche Babcock.
25 MR. SOPP: Yeah. I'm -- I'm not 100 percent,
26 but I think it was Dutche Babcock that did the report
27 because they did the crack analysis and they went
28 through and wrote the report.
29 MR. ROTH-ROFFY: Okay. Actually, I'm
30 referring to the one that you said during the drydock,
31 you found lots of microcracks and then a study was done
32 that said lighting off and shutting down was -- was
33 destructive to the boilers. That report was written by
34 Dutche Babcock?
35 MR. SOPP: I believe it was Dutche Babcock.
36 I -- Lloyd Werft were the people. I think they came
37 from Dutche Babcock.
38 MR. ROTH-ROFFY: Okay. And do you recall
39 about what time that -- that report or study was done?
40 MR. SOPP: '86-87. Some time like that.
41 Maybe it was before because I have a feeling Mr.
42 Borresen was still involved in it and he was -- he left
43 in '86, I think. So, maybe it was in '86, and then it
44 was all the way -- this report, it was stressed running
45 up and running down, especially running up of the -- of
46 the turbines. They had to be done very, very carefully
47 to -- to take care of the big variation in pressures
48 and the load of the boiler.
49 MR. ROTH-ROFFY: Okay. So, was the operating

1 procedure for the boilers modified as a result of the
2 -- of the report findings?

3 MR. SOPP: Yes, there was a modified.

4 MR. ROTH-ROFFY: And --

5 MR. SOPP: Not really modified, everybody was
6 told that there is a problem in it. You have to be
7 careful when you're maneuvering. You cannot say to the
8 captains they cannot maneuver because then they -- they
9 -- they were told that this had to be done very
10 carefully.

11 MR. ROTH-ROFFY: Could you get into more
12 details about what they were told that they had to do
13 carefully?

14 MR. SOPP: They -- they were told that --
15 that the maneuvering had to be not -- you couldn't take
16 it from -- from -- and try to do that because it will
17 -- you would have tremendous -- and you know, you have
18 -- you have minimum flow of the boiler for a fixed time
19 at 900 liters or kilos, I don't know what -- in two-
20 three minutes, it does not release it all. That's very
21 bad. That's very stressful for the boilers.

22 MR. ROTH-ROFFY: And were they given guidance
23 regarding starting and stopping in the boilers?

24 MR. SOPP: Oh, yes, yes. Everybody know that
25 has to be done, but in many instances, I know that they
26 lost a boiler for some reason, they had a leak or
27 whatever, and they lost a boiler, and they -- they had
28 light up the boiler and they took it up too fast and it
29 just -- you know, these boilers, the big boilers, you
30 need, I would say, eight hours. Usually they were kept
31 warm, I mean, hand warm, but, you know, to take them
32 up in four hours, I think that's too fast, and I know
33 in certain instances, it was too fast.

34 MR. ROTH-ROFFY: And so, what was the
35 company's guidance to the crew in terms of lighting off
36 and shutting down? Did you give them specific
37 recommendations on --

38 MR. SOPP: No.

39 MR. ROTH-ROFFY: -- time?

40 MR. SOPP: Nothing specific, except for the
41 -- for the -- this study was given to everybody to see.
42 There was nothing specific from -- from the shoreside
43 management or not as far as I can recall were we given
44 anything written specifically, except that it was told
45 that this is not very good. You are limiting the life
46 of the boilers by doing these things too fast.

47 MR. ROTH-ROFFY: At that time, can you tell
48 us who your supervisors were when -- when the study was
49 made?

1 MR. SOPP: When the study was made, that was
2 Mr. Borresen, because he was the one that got the study
3 made.

4 MR. ROTH-ROFFY: And could you spell that
5 last name again?

6 MR. SOPP: B-O-R-R-E-S-E-N. And he passed
7 away a couple of years ago.

8 MR. ROTH-ROFFY: He's deceased. Okay. Do
9 you know if there's anybody else that was -- had been
10 involved in reviewing that study and evaluating the
11 findings?

12 MR. SOPP: Well, the chiefs on the ship was
13 involved, and I was also involved in it, and I cannot
14 recall. It's really a little bit too long. I have to
15 go back and look in papers. I don't have these papers
16 anymore.

17 MR. ROTH-ROFFY: Do you recall who the chiefs
18 were at that time?

19 MR. SOPP: Yeah. Mr. Fossen, F-O-S-S-E-N.
20 He is retired for 12-13 years now.

21 MR. ROTH-ROFFY: Anybody -- the other chief
22 engineer? Do you recall his name?

23 MR. SOPP: At the time, I wonder if Gringstad
24 was there. Gringstad. He was there, that's for sure,
25 but I -- I don't know if he was the chief or assistant
26 chief.

27 MR. ROTH-ROFFY: Okay.

28 MR. SOPP: And Mr. Hammerdold.

29 MR. ROTH-ROFFY: Could you spell that name?

30 MR. SOPP: H-A- -- H-A-M-M-E-R-D-O-L-D.
31 Hammerdold. He's chief on one of the other NCL ships
32 at the moment, the Norwegian Sky. He knew very well
33 about these studies because he used them, and he was
34 very good at looking after them.

35 MR. ROTH-ROFFY: All right. You said after
36 this study, during the following years, you did random
37 inspections.

38 MR. SOPP: Hm-hmm.

39 MR. ROTH-ROFFY: Now, was it -- was it really
40 random or did you have some kind of a sequence that you
41 --

42 MR. SOPP: Every time we went, we had --
43 usually there's drydock, Lloyd Werft came with the
44 people that did the study for us, and they inspected
45 the boilers for us.

46 MR. ROTH-ROFFY: So, every time you're in
47 drydock, you did -- how many boilers would you inspect?
48 All of them or one of them or --

49 MR. SOPP: Well, no. Usually we do a couple

1 of them, and if we found out if there were cracks --
2 there were grindings on most of the drums, I believe,
3 and they could be grinding off a certain number, and
4 then after that, we could not find any more. Then you
5 have to go in and do welding. There was a minimum
6 thickness and that's a calculation you have to do
7 according to the ship.

8 MR. ROTH-ROFFY: So, as a result of some of
9 those inspections, you -- some of the cracks were
10 welded initially. Then afterwards, you started welding
11 or --

12 MR. SOPP: Well, only on one boiler and that
13 was Number 23.

14 MR. ROTH-ROFFY: That's the only one you're
15 aware of that --

16 MR. SOPP: Yeah.

17 MR. ROTH-ROFFY: -- the cracks had been
18 welded?

19 MR. SOPP: Yeah. There might have been more,
20 but I -- I'm -- I don't recall any more than one.

21 MR. ROTH-ROFFY: You say that was around '87?

22 MR. SOPP: Yeah. In that area down there.

23 MR. ROTH-ROFFY: Do you recall any welding on
24 -- on any of the boiler drums in the '90s? In the
25 1990s?

26 MR. SOPP: No, no, no.

27 MR. ROTH-ROFFY: And you said the last time
28 that an inspection was done was in around '96.

29 MR. SOPP: Hm-hmm.

30 MR. ROTH-ROFFY: Subsequent to '96, there
31 were no more inspections of the -- of the boilers in
32 that way?

33 MR. SOPP: Well, I was in one more drydock,
34 and then we did the retubes to two boilers and that was
35 the same, Number 23 boiler, and 22 was done, too, which
36 meant screen tubes and walls and we probably did some
37 economizers as well, I believe so.

38 MR. ROTH-ROFFY:

39 MR. ROTH-ROFFY: And --

40 MR. SOPP: But I don't recall we did any
41 inspections of our drums at this drydock. I don't
42 think so. That was '99.

43 MR. ROTH-ROFFY: Were the floor tubes -- were
44 they addressed? Did these boilers have floor tubes?

45 MR. SOPP: Yeah.

46 MR. ROTH-ROFFY: Right. Were those retubed
47 at that time?

48 MR. SOPP: All the way -- all the way down to
49 the headers.

1 MR. ROTH-ROFFY: Now, you say you don't
2 believe you did any inspections at that time. Was it
3 -- had you changed your policy? Because you say you're
4 doing --

5 MR. SOPP: I don't really -- I don't recall
6 it. The policy was not -- not changed, and then we was
7 always involved in this thing. So, they -- they also
8 -- BV said to inspect more cracks and more cracks.

9 MR. ROTH-ROFFY: You're saying BV would
10 require that you inspect --

11 MR. SOPP: Yes, right.

12 MR. ROTH-ROFFY: -- the boilers? And did you
13 only inspect it when BV told you to do it?

14 MR. SOPP: No, no. We did more than that
15 because in the beginning, BV didn't ask us for nothing.
16 We started the whole thing.

17 MR. ROTH-ROFFY: And so, subsequently, BV put
18 -- put additional requirements on you?

19 MR. SOPP: Yeah. Because they saw what --
20 what the results were, and after we had done this
21 microcrack inspection, you know, which were very
22 through -- it was because this was things we couldn't
23 see with the naked eye and you have to use special
24 instruments to find these things. You couldn't see
25 anything.

26 MR. ROTH-ROFFY: You --

27 MR. SOPP: Around the weld itself, it was
28 about so much on the side of the weld.

29 PARTICIPANT: Could you restate that, please?
30 Was it on the weld?

31 MR. SOPP: It wasn't on the weld itself. It
32 was about half an inch outside the weld.

33 MR. ROTH-ROFFY: So, the repair procedure was
34 to grind that out and then apply another weld?

35 MR. SOPP: Yes, yes. Well, it was grind out
36 a certain and it came to the minimum, then you had to
37 do the weld on it.

38 MR. ROTH-ROFFY: I see. So, --

39 MR. SOPP: So, this procedure of the weld, it
40 took about two weeks to -- to grind it and kneel it and
41 weld it up and then kneel it again.

42 MR. ROTH-ROFFY: So, you say in '96 is the
43 last time you recall that such inspections were done on
44 any boilers, is that correct?

45 MR. SOPP: Yeah. That's -- that's the point
46 in time, yes.

47 MR. ROTH-ROFFY: And -- and the findings in
48 '96 were such that you --

49 MR. SOPP: There was nothing that we felt was

1 urgently requiring anything at the moment.
2 MR. ROTH-ROFFY: Was it decided -- decided at
3 that time to discontinue the --
4 MR. SOPP: No.
5 MR. ROTH-ROFFY: -- periodic --
6 MR. SOPP: No. That had never been decided
7 to discontinue anything.
8 MR. ROTH-ROFFY: I'm sorry. I didn't --
9 MR. SOPP: It was never -- they -- we never
10 decided to discontinue any inspections.
11 MR. ROTH-ROFFY: Okay. But they were not --
12 not done in '96, though?
13 MR. SOPP: No, it was not done, as far as I
14 know.
15 MR. ROTH-ROFFY: Can you explain why they
16 were not done?
17 MR. SOPP: I cannot explain it because I was
18 very busy right -- maybe it's an oversight, maybe it's
19 -- I can't really remember at the moment.
20 MR. ROTH-ROFFY: And what about for
21 subsequent drydocks? I guess you had left the company
22 by that time.
23 MR. SOPP: I don't know. I know they haven't
24 stayed in touch. I don't know.
25 MR. ROTH-ROFFY: So, in '96, did you say who
26 -- who was your supervisor in '96? I'm sorry.
27 MR. SOPP: It was Mr. Kam Trollerud.
28 MR. ROTH-ROFFY: Okay. Do you know if he's
29 still with the company?
30 MR. SOPP: He's not there anymore. He still
31 lives here in Miami, though.
32 MR. ROTH-ROFFY: Do you know who he works
33 for, by chance?
34 MR. SOPP: He works for Llewenhaas Shipyard,
35 German Shipyard, and if you want his phone number, I
36 can get that out for you.
37 MR. ROTH-ROFFY: Sure.
38 MR. SOPP: 305- --
39 MR. ROTH-ROFFY: Actually, let me pause this
40 tape here.
41 MR. SOPP: Right.
42 (Pause)
43 MR. ROTH-ROFFY: Okay. I just paused the
44 tape momentarily to -- to get a phone number for a
45 person.
46 MR. SOPP: Right.
47 MR. ROTH-ROFFY: Actually, I'm going to go
48 ahead and -- and let some of the other investigators
49 ask their questions rather than me.

1 Brian?
2 MR. CURTIS: Brian Curtis.
3 On the -- on the boilers, were there any
4 other -- going back -- any other big areas of concern,
5 aside from these microcracks? Any other big areas?
6 MR. SOPP: A problem with the tubes over the
7 years, you know. That's why they were retubed, and
8 leaking tubes. There were economizers changing. We
9 changed the economizers a couple of times.
10 MR. CURTIS: Pretty much all the boilers or
11 --
12 MR. SOPP: Yeah. Well, there was maybe one
13 left when I -- maybe 24 were left. They had done some
14 of them but not all of them.
15 MR. CURTIS: Regarding hydrostatic pressure
16 tests in the boilers --
17 MR. SOPP: Hm-hmm.
18 MR. CURTIS: -- when you were there, what
19 were the requirements for doing hydrostatic testing?
20 When were they done?
21 MR. SOPP: Well, we had one and a half pounds
22 of boiler pressure, I remember. I think I recall.
23 MR. CURTIS: And do you recall the last time?
24 MR. SOPP: In 1999, when we -- when we had
25 retubed the -- the boilers.
26 MR. CURTIS: And that was one and a half
27 times?
28 MR. SOPP: That's what I recall, because it
29 was done. There was a mistake when they did it with
30 cold water and everybody was very, very upset.
31 MR. CURTIS: At that time?
32 MR. SOPP: Oh, yes. You don't do that with
33 cold water.
34 MR. CURTIS: And by -- would you just explain
35 why you -- you wouldn't do it with cold water?
36 MR. SOPP: Well, that's against everybody in
37 the marine industry's -- it's not good for a boiler.
38 MR. CURTIS: Just for the record, what --
39 what could be the consequences of doing it with cold
40 water?
41 MR. SOPP: Well, I don't want to -- I don't
42 want to play on that line for you.
43 MR. CURTIS: Okay. So, at the time -- at the
44 time of these microcracks were found, all the -- all
45 the chief engineers were aware of the situation?
46 MR. SOPP: Yes.
47 MR. CURTIS: And do you know if they kept a
48 specific log of that to themselves? Were you aware of
49 any reports?

1 MR. SOPP: Well, they have all -- they have
2 all the reports from every drydock, every report on the
3 ship. They should be in their paperwork. The same, we
4 had one file also in the office with all these reports.
5 MR. CURTIS: And those are held in the
6 superintendent's office? The port engineer's office?
7 MR. SOPP: Well, when I was there, we had a
8 special room that all drawings and files were locked up
9 in the room. I don't know what they keep anymore in
10 that space. Everything was kept.
11 MR. CURTIS: And during the process of
12 repairs, if they're plugging tubes, would they make
13 periodic inspections --
14 MR. SOPP: Oh, yeah.
15 MR. CURTIS: -- beyond these?
16 MR. SOPP: Every -- every time the boilers
17 were taken out of service and cleaned and inspected, we
18 show the inspection and, you know, during the
19 operation, you will find out if there's a leak or
20 whatever, you have to prepare something.
21 MR. CURTIS: I'm not sure if this was asked
22 before, but were -- was one drum more troublesome than
23 another drum or --
24 MR. SOPP: Well, not that I really recall. I
25 think there was one boiler which was more -- had more
26 cracks than other boilers. I can recall.
27 MR. CURTIS: And which -- which boiler was
28 that?
29 MR. SOPP: 23.
30 MR. CURTIS: 23?
31 MR. SOPP: I have -- that's -- that's my
32 recollection, but I -- I --
33 MR. CURTIS: I understand.
34 MR. SOPP: I think it is correct, actually.
35 MR. CURTIS: And any -- all the drums, this
36 was on 23?
37 MR. SOPP: No, it wasn't one specific one.
38 MR. CURTIS: Which -- which drum was that?
39 MR. SOPP: I think that was the water header.
40 MR. CURTIS: The water header? That's all I
41 have right now. I'll pass it along to Mr. Lambert.
42 MR. LAMBERT: Yes. Sir, do you remember when
43 you went to shut down the boiler, how many times it
44 takes to have the pressure drop from the working
45 pressure to about two pounds?
46 MR. SOPP: Well, you know, every time, if it
47 was a normal shutdown, they just opened the valve and
48 to take off and they have the vents slightly open and
49 slowly go down. If it goes catastrophic, shutdown. If

1 there was a tube leaking or something, -- but normal,
2 it's some hours before they have the pressure down.
3 They didn't -- they didn't release the pressure and
4 take it right down.
5 MR. LAMBERT: How many -- some hours? You
6 don't remember, not precisely, to know if -- how many
7 times it takes?
8 MR. SOPP: How many times? If we have no
9 problem?
10 MR. LAMBERT: Yes, if there are no problems.
11 MR. SOPP: Yeah. No.
12 MR. LAMBERT: Normally?
13 MR. SOPP: Two-three hours to -- to -- from
14 the shutdown and then the pressure was down and they --
15 because they had a vent open.
16 MR. LAMBERT: Hm-hmm. But you don't remember
17 that.
18 MR. SOPP: Usually, sometimes they -- they
19 just had the vents open for awhile and then they shut
20 it off and then it goes slowly down.
21 MR. LAMBERT: Yeah.
22 MR. SOPP: It was depending a little bit on
23 the situation because the -- sometimes they -- they
24 wanted to boil it all the next day and -- and then you
25 didn't really take the pressure to a totally off. They
26 kept it at a 10-bar pressure or something like that and
27 you could take it up pretty fast.
28 MR. LAMBERT: Just another question. Do you
29 remember the procedure to oxygen content in the water
30 in the boilers?
31 MR. SOPP: Yeah.
32 MR. LAMBERT: Yeah? The tubes?
33 MR. SOPP: Hmm?
34 MR. LAMBERT: The tubes?
35 MR. SOPP: Oh, yeah. The tubes twice a day.
36 MR. LAMBERT: Twice a day for?
37 MR. SOPP: Twice a day, they took boiler
38 water samples.
39 MR. LAMBERT: The boiler. What -- what's --
40 in water of boiler?
41 MR. SOPP: What -- I can't remember right now
42 what -- what it was supposed to be, but that was --
43 this is so many years, that I can't remember, but it is
44 -- it is the standard procedure. That's -- that's what
45 -- like you go to do that, they will tell you right
46 away what you're supposed to have. But I don't
47 remember exactly that right now.
48 MR. LAMBERT: Hmm.
49 MR. SOPP: But all the -- all the tests were

1 done twice daily.
2 MR. LAMBERT: Okay.
3 MR. OLSEN: Hi.
4 MR. SOPP: Hi.
5 MR. OLSEN: Ken Olsen.
6 While we're talking about it, while it's more
7 fresh, and I'm sorry to be redundant, but I need to be
8 very clear on this issue. We can start from the most
9 recent past, the '99 shipyard --
10 MR. SOPP: Hm-hmm.
11 MR. OLSEN: -- and work back in terms of
12 problems that were discovered and who they were
13 communicated with and just work backwards.
14 I have a couple old e-mails that maybe will
15 help --
16 MR. SOPP: Hm-hmm.
17 MR. OLSEN: It's not an e-mail. It's a
18 memorandum.
19 MR. SOPP: Memorandum.
20 MR. ROTH-ROFFY: Okay. The tape is about to
21 finish. So, maybe it would be a good time for you to
22 review some of this while we switch the tape.
23 (End Tape 1, Begin Tape 2)
24 MR. ROTH-ROFFY: Okay. We've just switched
25 over the tape. It's about 5 minutes after 3. We're
26 continuing with Ken Olsen.
27 MR. OLSEN: We -- we have before us two
28 documents. One, a Norwegian Cruise Lines Interoffice
29 Memo from Per Sopp to Sigs Sigablu, and the -- it's
30 just a short introduction to -- to several other pages
31 that detail boiler problems. This document is dated
32 March 16th, 1998.
33 The other document that we have in front of
34 us is a 1987 Drydock Repair Spec, --
35 MR. SOPP: Hm-hmm.
36 MR. OLSEN: -- beginning with the Bates
37 Number 000117. These have been provided to Mr. Sopp
38 for review just as a memory-jogger.
39 Back to the question, and the question is:
40 could you kindly go slowly from the most recent past
41 backwards and then from about 1999 and discuss what
42 knowledge you had about the cracks and whom else you
43 might have discussed those issues with?
44 MR. SOPP: Everybody in Technical Operations,
45 Mr. Sven Dahl, Mr. Kam Trollerud. They know about
46 these things. Mr. Borresen that started it the first
47 time. So, that was known. I think everybody that was
48 -- all the chief engineers.
49 MR. OLSEN: On --

1 MR. SOPP: And captains.
2 MR. OLSEN: On this vessel or on other
3 vessels?
4 MR. SOPP: On this vessel.
5 MR. OLSEN: All right. Chief engineers and
6 captains, and how did the captains -- why were the
7 captains informed about this information?
8 MR. SOPP: Because they had to review it all
9 for the operation of the vessel and maneuvering.
10 MR. OLSEN: And this was in around the 1999
11 time frame, is that correct?
12 MR. SOPP: Well, you know, it started back in
13 the '80s some time.
14 MR. OLSEN: Okay. But all the chief
15 engineers and captains. Anybody else besides those
16 three persons that you mentioned or four persons that
17 you mentioned in the shore staff?
18 MR. SOPP: No. Only when it comes to money,
19 you know, you have to go and ask for money to do -- to
20 do the repairs. You can't just go and do it.
21 MR. OLSEN: Hm-hmm.
22 MR. SOPP: That's why this is one of these
23 things that comes up on the table before we can get
24 them some money for it.
25 MR. OLSEN: We -- we understand or we have
26 learned through our collection of documents at NCL
27 Headquarters that there has been some proposals to
28 repower the Norway. Was the justification or was the
29 reason for repowering -- did that have anything to do
30 with the conditions of the boiler or was there other
31 reasons?
32 MR. SOPP: No. There was other reasons, as
33 far as I know.
34 MR. OLSEN: Excuse me?
35 MR. SOPP: As far as I know, there was other
36 reasons for that.
37 MR. OLSEN: Yeah. Okay. It wasn't related
38 just to the boiler?
39 MR. SOPP: No.
40 MR. OLSEN: One thing we've learned in our
41 investigation is that the boiler was certified for 70
42 bar working pressure.
43 MR. SOPP: Hm-hmm.
44 MR. OLSEN: And we've learned now that they
45 typically operate around 60 bar.
46 MR. SOPP: 60 bar, yeah.
47 MR. OLSEN: Do you know why that pressure
48 changed?
49 MR. SOPP: Cannot recall that. I remember --

1 I think it was done all the way back when they picked
2 up the boiler in France and they put it into operation.
3 For what reason, I don't know.

4 MR. OLSEN: You indicated that in the
5 shipyard period, the -- the -- the cracks in the welds
6 -- the cracks in the seams were inspected, but you also
7 indicated that they were not necessarily visible to the
8 naked eye.

9 MR. SOPP: Hm-hmm.

10 MR. OLSEN: So, how -- what types of
11 inspections took place over the years?

12 MR. SOPP: They -- they did
13 microphotographing of them.

14 MR. OLSEN: Microphotographing.

15 MR. SOPP: Because I -- I can remember -- not
16 only that, I think they also did x-ray photographing of
17 the welds, but I have seen x-ray photographs somewhere
18 of welds.

19 MR. OLSEN: If we were to look for those x-
20 ray photographs of the welds, where would we find them?

21 MR. SOPP: Should be in the office at NCL for
22 sure.

23 MR. OLSEN: Office at NCL.

24 MR. SOPP: Yeah. Because I don't think they
25 would be -- they might be on the ship.

26 MR. OLSEN: But it was actually like x-ray
27 film?

28 MR. SOPP: Yeah. Long strips, long strips
29 like -- I think this was from the early beginning of
30 the first study, you can say, of the boilers. I can't
31 recall the year it was, but it was before '87.

32 MR. OLSEN: Okay. Can you -- who is the last
33 person ashore that you can associate with those long
34 strips of microfilm?

35 MR. SOPP: Oh, I don't know.

36 MR. OLSEN: No.

37 MR. SOPP: I am probably the only one that
38 remembers.

39 MR. OLSEN: Okay. This was kind of in the
40 '90s that we're -- we're talking, is that --

41 MR. SOPP: No. This was -- the
42 microphotography, that was probably in the '80s.

43 MR. OLSEN: In the '80s. Okay.

44 MR. SOPP: Yeah. Probably in the '80s, yeah.

45 MR. OLSEN: Okay. Was the ship provided any
46 additional equipment to examine these welds when they
47 were not in the yard period or -- or did it always take
48 a technician to do that examination?

49 MR. SOPP: No. It was a technician from

1 specific company. I think it was Dutche Babcock. I
2 believe it was Dutche Babcock, but I'm not 100 percent
3 sure. I mean, there is one -- one man that knows this
4 and that is probably Mr. Satow from -- he used to work
5 for Lloyd Werft before.

6 MR. OLSEN: Could you spell that name,
7 please?

8 MR. SOPP: S-A-T-O- -- S-T-O-W, I think it is
9 -- that's how his name is spelled.

10 MR. OLSEN: And what city is he in?

11 MR. SOPP: Bremerhaugen.

12 MR. OLSEN: Bremerhaugen?

13 MR. SOPP: Yeah.

14 MR. OLSEN: And it was a Lloyd?

15 MR. SOPP: Yeah. He -- I don't know if he's
16 retired today or whatever, but he might be, but Lloyd
17 Werft, they know where he is. He was very much
18 involved in this study.

19 MR. OLSEN: I don't know. Can you explain
20 that?

21 MR. ROTH-ROFFY: Yeah. Sorry. Just a note
22 to Ken. That's the Lloyd Werft fellow that we
23 interviewed along with the seaman's rep last week some
24 time or a couple of weeks ago.

25 MR. OLSEN: Okay. Okay. I'm sorry. I
26 didn't remember that. Thank you.

27 Okay. Let's go back to -- to procedures.
28 Did -- obviously in -- and I'm referring to the
29 interoffice memo of March 16, 1998. Obviously people
30 ashore knew the procedure of lighting off and lighting
31 on boilers and that was somewhat detrimental to the
32 condition of the boilers.

33 MR. SOPP: Right. This was brought all the
34 way up to the president level.

35 MR. OLSEN: All the way up. So, who is
36 Sigablu?

37 MR. SOPP: He was a senior vice president at
38 the time. He was only with NCL for a short time, maybe
39 two years or so.

40 MR. OLSEN: And -- and then, who was the
41 president at that time?

42 MR. SOPP: In '98? They had so many, that I
43 don't remember.

44 MR. OLSEN: Okay. Did -- as it went up, did
45 it go across to other vice presidents? Did they know
46 that?

47 MR. SOPP: I assume they knew. Probably Mr.
48 Lamar Kohler would know. Probably because he was
49 sitting on the finances.

1 MR. OLSEN: And his -- he was -- could you
2 give me his --
3 MR. SOPP: Lamar Kohler. He is probably vice
4 president, Finance, at the moment, also.
5 MR. OLSEN: Okay. Your -- your memorandum
6 only talks about stresses to tubes. Were these other
7 --
8 MR. SOPP: Well, stresses to drums and
9 everything.
10 MR. OLSEN: Yeah. Was there discussion of
11 stresses to drums to these other people?
12 MR. SOPP: Yeah.
13 MR. OLSEN: Yes, there was?
14 MR. SOPP: Yeah.
15 MR. OLSEN: So, you're indicating that there
16 were other discussions beyond just what's indicated
17 here?
18 MR. SOPP: Right, yes.
19 MR. OLSEN: Okay. Was there a time when --
20 when somebody made a decision not to repair or not to
21 replace all the boilers? Was that ever --
22 MR. SOPP: No, it wasn't discussed about
23 replacing the boiler. It was more discussion about
24 doing the proper -- you know, we had that -- this time,
25 there was a lot of boiler tube failures, and also the
26 way the boilers were operating and the schedules that
27 we had for shutting down and starting up and shutting
28 down and starting up.
29 MR. OLSEN: Could you -- could you tell us
30 why they chose to shut down the third boiler instead of
31 leaving on three boilers with fewer burners? Why did
32 they shut -- always -- why did they have a tendency to
33 shut down that third boiler? Could you tell us why?
34 MR. SOPP: Saving fuel.
35 MR. OLSEN: Saving fuel. Now, with respect
36 to saving fuel, do chief engineers have a bonus
37 program, incentive program?
38 MR. SOPP: No. As long as I was there, they
39 had no incentive program. We have nothing. I never
40 got bonus ever from NCL.
41 MR. OLSEN: Hm-hmm. Okay. Okay.
42 MR. SOPP: Nobody got it. There was -- the
43 captains and the chief engineers got bonuses for -- but
44 they got it for different merits, not saving fuel or
45 whatever.
46 MR. OLSEN: Was -- was it for overall
47 operating budget or was it for something else?
48 MR. SOPP: Yes.
49 MR. OLSEN: Staying within a budget?

1 MR. SOPP: Yeah. Right.
2 MR. OLSEN: Could the fuel costs have
3 contributed to that budget or is it not excluded?
4 MR. SOPP: It could have. I -- I cannot say
5 that for sure.
6 MR. OLSEN: Okay.
7 MR. SOPP: I -- I shouldn't speculate on it.
8 MR. OLSEN: Who -- who could answer that
9 question for sure?
10 MR. SOPP: Today, I don't know. There is
11 nobody left.
12 MR. OLSEN: Okay.
13 MR. SOPP: That's the problem. There is
14 nobody left to tell you about it. Maybe Sven Dahl.
15 That's the only one I can say.
16 MR. OLSEN: Going back, you said earlier
17 something along the lines that when the vessel entered
18 the yard period, a -- a typical procedure was to have
19 those seams inspected.
20 MR. SOPP: Hm-hmm.
21 MR. OLSEN: Is that correct?
22 MR. SOPP: Right.
23 MR. OLSEN: Okay. In that regard, can you
24 tell us when that procedure may have been stopped? Was
25 it -- am I correct in saying that they didn't do it in
26 '99?
27 MR. SOPP: Yeah. That's the only time I
28 recall that we had not done it, but I'm not 100 percent
29 sure because I cannot really remember because it was so
30 many things going on at the time. We installed three
31 new diesel engines at the same time. We retubed two
32 boilers. I don't remember every detail.
33 MR. OLSEN: Okay. Could you tell us who
34 might know -- know of that inspection in yard periods
35 after 1999?
36 MR. SOPP: After 1999, it must be Mr.
37 Greenstaad, the only one I know of, because he is there
38 at the moment. I don't know how long he have been
39 there, but I just -- I believe he's the one.
40 MR. OLSEN: Is -- is this type of issue
41 something that would be forgotten by shoreside
42 personnel or --
43 MR. SOPP: Not things like this, it doesn't
44 get -- I don't think so. Mr. Greenstaad, he was also
45 there back in the -- in the -- all of the '80s, and he
46 knew very well about these cracks and the microcracks
47 and whatever because he was involved in it from Day 1.
48 MR. OLSEN: What kind of involvement?
49 MR. SOPP: Well, he was the chief engineer,

1 assistant chief engineer, on the vessel probably '88-
2 89, then he went to another vessel.

3 MR. OLSEN: Did you ever see the crew or
4 vendors on board the vessel doing high-pressure
5 welding, either welding within the boiler or welding on
6 high-pressure pipes outside the boiler, steam piping,
7 boiler piping?

8 MR. SOPP: Yeah. I have seen that, but that
9 has been by certified welders, because in the retubing,
10 we did welding and that was done by Harris Pipe and
11 they had also others.

12 MR. OLSEN: Who ashore would develop the
13 policy of lighting off -- of either keeping boilers on
14 or keeping them off?

15 MR. SOPP: It was up to the chief engineer.
16 He was totally in control of the -- of it, as long as
17 he kept it in the -- within the -- he was the chief
18 engineer on the vessel and he could do almost anything
19 he wanted, as long as it was a safe operation.

20 MR. OLSEN: What could occur to a chief
21 engineer if he chose not to secure the third boiler
22 during the part of the run that it wasn't needed?

23 MR. SOPP: I don't really know what because
24 nothing ever -- ever occurred to any of them really.
25 So, -- so, I don't think -- there is nothing that would
26 happen. But anybody, they should save the fuel and try
27 to -- to be as economical as possible. But I don't
28 think there is a written policy about that.

29 MR. OLSEN: I think that's it for now. Thank
30 you very much.

31 MR. SOPP: Okay.

32 MR. OELSCHLEGEL: Chris Oelschlegel, Coast
33 Guard.

34 Let's see. Can you describe what your level
35 of concern was with the boilers, knowing the repairs
36 that had been done to the -- to the fractures or any --
37 any repairs done --

38 MR. SOPP: I was concerned that it's -- as it
39 says in the memo here, that something could really
40 happen if we went up to starting to take some actions
41 down there, and I was basically fighting to get money
42 for these things because there was not money -- money
43 was not easy. The company was almost bankrupt for
44 awhile. Back in '95-96, it was very close to
45 bankruptcy.

46 MR. OELSCHLEGEL: Can you clarify a question
47 here on the -- on the repairs to the drums, the process
48 that was done? I -- there was some reports that
49 indicated that they -- they ground --

1 MR. SOPP: They ground down --

2 MR. OELSCHLEGEL: -- down, and -- but that
3 was -- the report wouldn't go beyond that. Could you
4 describe that?

5 MR. SOPP: They ground it down, the
6 microcracks, and then they tested them for cracks
7 again, and then when you -- you can only grind so much
8 when you -- when you go down more than so many percent
9 of the thickness of the -- of the shell there, then you
10 have to do something, and either you change the boiler
11 or you change -- or the drum or you do something, and
12 then the weld procedure was approved by the Bureau of
13 Veritas to do the welding of the tubes -- of -- of the
14 -- of the drums.

15 MR. OELSCHLEGEL: Okay. And can you describe
16 -- you may have answered this already, but can you
17 describe again, if you did already answer it, how --
18 how the initial microfractures were discovered or
19 found? Because you said they were very difficult.

20 MR. SOPP: They were difficult to see because
21 --

22 MR. OELSCHLEGEL: How were they --

23 MR. SOPP: Because the ship was very old. It
24 was just after they bought the ship, maybe two-three-
25 four years later, and there had been, like I said in
26 the beginning, this incident where they found the --
27 the -- the -- they wanted to do a treatment of acid
28 into the boiler where we had all this tremendous leaks,
29 you know. So, they were kind of worried about that
30 this had -- what happened, when you do this, is that
31 the molecules on there are obviously acid, goes into
32 the steel, expands 10,000 times and you get cracks
33 daily. It goes through the sealant and it's very, very
34 -- we did a study on the thing after that and that's
35 what they were really worried about. That's why we
36 started with checking in the boilers, and then they
37 found these microcracks which had nothing to do with
38 these things, and this had to do probably with the
39 welding procedures back in the, you know, '50s or '60s
40 when they built that ship, and that's what Dutche
41 Babcock said. It's most likely the welding procedures
42 that made these microcracks.

43 MR. OELSCHLEGEL: You said a study that was
44 done after the acid treatment.

45 MR. SOPP: Yeah.

46 MR. OELSCHLEGEL: Was that -- was that a
47 formal study done with a report at the end?

48 MR. SOPP: That was, yeah. Yeah. This was
49 from back in '81-82.

1 MR. OELSCHLEGEL: I see. Okay.
2 MR. SOPP: It happened before I started, but
3 I -- I -- I saw this report afterwards.
4 MR. OELSCHLEGEL: Hm-hmm.
5 MR. SOPP: And that was also from the Lloyd
6 Werft, I believe.
7 MR. OELSCHLEGEL: I see. In your opinion,
8 would it be possible for a chief engineer on the Norway
9 to not know about the condition of the boilers?
10 MR. SOPP: Well, he shouldn't be chief
11 engineer if he doesn't know about the condition. Most
12 of these people that is there and has been there,
13 they've been there a long, long time, and they have
14 gone from third engineer and up, and they know. They
15 know these things.
16 MR. OELSCHLEGEL: Hm-hmm. Are you aware of
17 anyone that was -- that NCL fired or let go because of
18 concerns that they brought up regarding boilers or
19 other engineering equipment?
20 MR. SOPP: No.
21 MR. OELSCHLEGEL: And can you -- last -- one
22 last question. Can you explain to me the restriction,
23 the maneuvering restrictions that were placed --
24 MR. SOPP: I think --
25 MR. OELSCHLEGEL: -- because of -- you said
26 they were because of the boiler, the demands placed on
27 the boiler.
28 MR. SOPP: Right. I think the captains were
29 informed back when this study was done, but how it was
30 passed on from captain to captain, I don't know.
31 MR. OELSCHLEGEL: I see.
32 MR. SOPP: But the captain -- we had a lot of
33 the same captains going on, like Captain Luken. He was
34 there for years and years, and he knew about these
35 restrictions, and I assume that he passed on these
36 problems to everybody. I don't know if they had
37 regular meetings where they discussed these things. I
38 don't know, because I was never in one of those
39 meetings. I was only there the first time when -- when
40 we did the study, and I believe there was also a
41 written memo after the study to the ship where it was
42 told that they should be very careful with the way they
43 took up or they -- they maneuvered and also when they
44 were in a racing speed from after going out to sea.
45 MR. OELSCHLEGEL: I see.
46 MR. SOPP: Because -- because of these
47 cracks.
48 MR. OELSCHLEGEL: I see. And this would have
49 been from the -- this would have -- in other words,

1 this would be --
2 MR. SOPP: This --
3 MR. OELSCHLEGEL: This would potentially be
4 in place today as well?
5 MR. SOPP: I assume so. They should be
6 there.
7 MR. OELSCHLEGEL: Okay.
8 MR. SOPP: But when I left there, there were
9 all of these things.
10 MR. OELSCHLEGEL: That's all I have. Thanks.
11 MR. SOPP: Okay.
12 MR. HISLOP: Kevin Hislop.
13 Would you -- would you agree that these
14 microcracks, where it was noticed, the heat affected
15 them?
16 MR. SOPP: Yeah. I don't know if it was the
17 heat effect. All these microcracks, as far as I could
18 recall, was in -- in the vicinity of the -- of the
19 valves.
20 MR. HISLOP: Yes, you said that was far away
21 from the welds.
22 MR. SOPP: Yeah. Right there. So, they were
23 never -- they were never in the weld itself.
24 MR. HISLOP: No, no. The heat affected it
25 around --
26 MR. SOPP: Yeah.
27 MR. HISLOP: -- the welds?
28 MR. SOPP: Right. Yes. Exactly. Between
29 the cold zone and the hot zone.
30 MR. HISLOP: I see.
31 MR. SOPP: Exactly. That's where they were
32 and that would be -- we're discussing this actually.
33 MR. HISLOP: Okay. Good. In your opinion,
34 in the water headers, --
35 MR. SOPP: Yeah.
36 MR. HISLOP: -- were there any surface cracks
37 or linear indications or -- or pitting or any corrosion
38 that could have been detected by just visual
39 examination?
40 MR. SOPP: Very little. I never saw any --
41 any. I could see in the water headers, there was
42 pittings in the water headers.
43 MR. HISLOP: Hm-hmm.
44 MR. SOPP: But I never saw pittings in the --
45 in the water drum itself, no.
46 MR. HISLOP: Would -- in your opinion, would
47 you say that a good examination of the water headers
48 would entail someone actually getting inside or could
49 they see -- examine the drum in entirety by putting

1 their head inside with a flashlight?
2 MR. SOPP: No. You have to go in.
3 MR. HISLOP: You have to go inside?
4 MR. SOPP: And it's a very, very cramped
5 space. Not everybody can get in there.
6 MR. HISLOP: Would -- okay. Did you ever see
7 in your time anybody entering -- actually getting into
8 them?
9 MR. SOPP: I've been in there myself. Not
10 today, but 15 years ago, I was in there.
11 MR. HISLOP: You went in there?
12 MR. SOPP: Yeah.
13 MR. HISLOP: So, you actually physically went
14 in?
15 MR. SOPP: Yeah.
16 MR. HISLOP: Okay. Did you ever see anybody
17 else?
18 MR. SOPP: Yeah. I seen people in there.
19 Oh, yeah.
20 MR. HISLOP: Any -- any Veritas people?
21 MR. SOPP: Yes. I seen them.
22 MR. HISLOP: They have been inside?
23 MR. SOPP: Oh, yeah.
24 MR. HISLOP: Okay.
25 MR. SOPP: Yeah. All the -- Mr. Moore from
26 the Bureau of Veritas, he was 75 years old and he was
27 in there.
28 MR. HISLOP: Okay. Good. So, you said it's
29 obviously better to get inside there and examine --
30 MR. SOPP: You have to because you cannot see
31 what's inside, no.
32 MR. HISLOP: You said -- was that -- okay.
33 Okay. Fine.
34 MR. SOPP: It's almost impossible to -- to
35 see anything if you don't get into it.
36 MR. HISLOP: Impossible. Thank you.
37 Moving on, it is no secret in this part of
38 South Florida in the marine industry, in the cruise
39 industry, that there have been a significant number of
40 changes within management at NCL.
41 MR. SOPP: Yeah.
42 MR. HISLOP: Could you just briefly just say
43 what that has been attributed to, would you say?
44 MR. SOPP: Well, there was selling was -- I
45 think they were sold. I mean, the company was sold
46 from one company to another company, and I assume they
47 let everybody go.
48 MR. HISLOP: Okay. Okay.
49 MR. SOPP: But I don't know. All the

1 presidents, they were here for one or two years and
2 they were gone. I don't know. I was never on that
3 level.

4 MR. HISLOP: Okay.

5 MR. SOPP: I don't know.

6 MR. HISLOP: Okay. The -- any plugging of
7 water header tubes, any plugs fit in, would that be
8 done by a crew?

9 MR. SOPP: Yes.

10 MR. HISLOP: The crew did the water plugging?

11 MR. SOPP: Yes.

12 MR. HISLOP: They would -- would they -- the
13 welds around the plug, would they do that?

14 MR. SOPP: Not as far as I know, that they --
15 they did --

16 MR. HISLOP: The hammering.

17 MR. SOPP: The hammering, but they might have
18 been done. I don't know for sure.

19 MR. HISLOP: Okay.

20 MR. SOPP: I cannot say.

21 MR. HISLOP: No. Okay. When were you last
22 associated -- do you recollect when you were last on
23 board when the complete survey was carried out by
24 Class?

25 MR. SOPP: I was there in May, May 1999.

26 MR. HISLOP: May 1999.

27 MR. SOPP: That was during lighting up, and
28 then we had --

29 MR. HISLOP: When was the drydock?

30 MR. SOPP: May 1999, April-May '99.

31 MR. HISLOP: Where?

32 MR. SOPP: In Bremerhaugen.

33 MR. HISLOP: In Bremerhaugen. Okay.

34 MR. SOPP: Then immediately after, they had a
35 fire in the -- in the auxiliary turbine room, and I was
36 just back in Miami. I came back again to Barcelona,
37 and then after that, it was also another survey done by
38 BV because of the big fire.

39 MR. HISLOP: But in April-May 1999 in
40 Bremerhaugen, you were on board when the complete
41 survey was done?

42 MR. SOPP: Yes.

43 MR. HISLOP: Everything was up?

44 MR. SOPP: Yes.

45 MR. HISLOP: Number 23, I'm talking about
46 now.

47 MR. SOPP: 23, I don't think was finished
48 when we left Bremerhaugen.

49 MR. HISLOP: Okay.

1 MR. SOPP: Because one of the boilers were
2 not ready and I think 23 was not ready by that point.
3 MR. HISLOP: Okay. But in general, when they
4 did the -- the survey in -- in April-May 1999 in
5 Bremerhaugen, they -- the surveyor did a complete --
6 MR. SOPP: Yes.
7 MR. HISLOP: -- survey with access inside the
8 boiler, the drums --
9 MR. SOPP: Yeah.
10 MR. HISLOP: -- and everything? Okay.
11 MR. SOPP: But one of the boilers was not
12 operating when we left the shipyard. I know that.
13 MR. HISLOP: All right. And finally, you
14 referred to a cold water hydrotest. Who actually
15 carried that out? Was that --
16 MR. SOPP: I think that was done by -- by
17 Bureau Veritas.
18 MR. HISLOP: In Bremerhaugen?
19 MR. SOPP: Right.
20 MR. HISLOP: Okay. Thank you. Thank you
21 very much. I'm finished. No more questions.
22 MR. RILEY: John Riley.
23 Mr. Sopp, I haven't had a chance to see any
24 of the log books yet, but the -- the shutting down and
25 lighting up of the third boiler, --
26 MR. SOPP: Hm-hmm.
27 MR. RILEY: -- was -- would this be routinely
28 entered in the engine room log book?
29 MR. SOPP: Yeah, yeah.
30 MR. RILEY: How about when they had problems
31 with sort of -- you described it as a catastrophic
32 stoppage for tube failures.
33 MR. SOPP: Yeah.
34 MR. RILEY: That would be in the log books?
35 MR. SOPP: That would be in the log books.
36 MR. RILEY: The occasions when you're in port
37 or Bremerhaugen and there are internal examinations of
38 the header and the drums, would that sort of item be
39 also entered in the log book?
40 MR. SOPP: In the end, I don't know if it was
41 in the end log book. It's -- because in the end, we
42 got the complete report from the surveyors and I think
43 that report, you couldn't put all that in the log book.
44 MR. RILEY: No. But --
45 MR. SOPP: It was a complete report.
46 MR. RILEY: But generally speaking -- sorry.
47 MR. SOPP: Yeah. No, that's fine.
48 MR. RILEY: Generally speaking then, any --
49 any repairs to the boiler or any abnormalities, in your

1 experience, would have been put in the log book by the
2 operating engineers?

3 MR. SOPP: They will put in they shut it down
4 because of certain things or they started it up, but
5 they wouldn't put it in the log book what was done with
6 the boiler because it's too much and there is no space
7 to put that in. There is a -- they have a working --
8 like a workbook where they put all the maintenance and
9 work that has been done on the boilers and all -- and
10 any other equipment on the ship, and I think that they
11 have a computer system.

12 MR. RILEY: All right. But in your time,
13 though, they also had a workbook?

14 MR. SOPP: Yeah.

15 MR. RILEY: For the engine room?

16 MR. SOPP: Yeah.

17 MR. RILEY: Do you know offhand who kept
18 that?

19 MR. SOPP: It was usually kept by the -- I
20 think it was the assistant chief engineer that had the
21 log book or other senior first engineer.

22 MR. RILEY: Thank you.

23 MR. SOPP: One of the guys.

24 MR. RILEY: Right. When you have the boiler
25 survey, particularly a complete survey, did you usually
26 accompany the BV surveyor?

27 MR. SOPP: I usually was there during
28 drydocking. I was either doing it myself or I had the
29 chief engineer to do it.

30 MR. RILEY: Do you remember offhand how long
31 the BV surveyor would typically take to review the log
32 book with the chief engineer or review the workbook
33 with the engineers?

34 MR. SOPP: He could -- he could be there for
35 -- from Miami and go to St. Thomas like two-three days
36 and do the surveys and review all the paperwork and see
37 and do his inspections.

38 MR. RILEY: So, the BV surveyors did
39 routinely examine the log books --

40 MR. SOPP: Oh, yes.

41 MR. RILEY: -- to see the operating
42 conditions and --

43 MR. SOPP: Oh, yes.

44 MR. RILEY: Thank you. When you were
45 responsible for the Norway, did you have direct contact
46 with the representatives of Drew, Hammeroid, who were
47 supplying the -- the boiler chemicals?

48 MR. SOPP: Yes.

49 MR. RILEY: The -- did they attend the vessel

1 every week? You mentioned not many Saturdays and
2 Sundays.

3 MR. SOPP: They were there, I will say, every
4 week. They could be maybe once in a blue moon they
5 were not there, but I would say every week, they were
6 there. They had a contract to do that, so they -- and
7 I saw them there all the time.

8 MR. RILEY: So, were you the chief liaison
9 then with -- with the Drew --

10 MR. SOPP: Yeah. Because I worked with them
11 for years and years. It was different people, but I
12 still worked with them.

13 MR. RILEY: Yes.

14 MR. SOPP: I mean, we would never change
15 chemical company because we felt more -- we didn't like
16 to change chemical company mostly because the people
17 were very well routinely knowing what to do, what
18 chemicals they were using because we had seen disasters
19 with changing and different chemicals being used.

20 MR. RILEY: Of the individuals that you met
21 with at Drew, Hammeroid, and you worked with regularly,
22 had any of them sailed aboard the Norway?

23 MR. SOPP: No. But they have several of them
24 that were steam engineers, very good capable people.

25 MR. RILEY: And experienced with main boilers
26 --

27 MR. SOPP: Right.

28 MR. RILEY: -- and turbines? So, they knew
29 --

30 MR. SOPP: Right.

31 MR. RILEY: They knew what was going on --

32 MR. SOPP: Oh, yes, yes.

33 MR. RILEY: -- in the engine room?

34 MR. SOPP: Yes. One of them, he's no longer
35 there, he's at Ashland and his name is Dam Challenger,
36 he knows them very well.

37 MR. RILEY: Could you please spell that?

38 MR. SOPP: I don't know Dam, and I think it's
39 C-H-L-L-E-M-G-E-R, Challenger or Challenger.

40 MR. RILEY: Challenger.

41 MR. SOPP: Yeah. Something like that. He's
42 -- he's very, very -- everybody knows him in the -- at
43 Drew.

44 MR. RILEY: And he -- he was personally
45 responsible for the Norway?

46 MR. SOPP: When he was here in Miami, he was
47 personally responsible. He sailed with the Norway
48 frequently and -- and trained the engineers in the
49 chemical treatments of the boilers.

1 MR. RILEY: How long ago was that?
2 MR. SOPP: Back in the '80s.
3 MR. RILEY: Back in the '80s.
4 MR. SOPP: Maybe early '90s as well. He's
5 still with Ashland which is chemicals.
6 MR. RILEY: Right. At the time you were
7 responsible for the Norway, what chemical, please, were
8 you using for oxygen scavenging, if you -- if you
9 remember?
10 MR. SOPP: I don't remember where we -- where
11 we pumped it in.
12 MR. RILEY: Yeah. No, no. What -- what
13 chemical you were using, if you remember?
14 MR. SOPP: I can't remember.
15 MR. RILEY: You -- do you remember anything
16 at all about chemicals and changes of chemicals --
17 MR. SOPP: I remember using hydrazine in the
18 beginning, but I think hydrazine then -- I don't think
19 we no longer used that anymore because it was coming
20 through, so we changed it to something else, but I
21 don't remember the name at the moment.
22 MR. RILEY: That's fine. Do you remember,
23 was this towards the end of your attendance of the
24 Norway or sort of in the mid-'90s or --
25 MR. SOPP: We used hydrazine at least up to
26 '88 or something like that, maybe '90, and then after
27 that, I can't really remember the name of the chemical.
28 MR. RILEY: But you -- but you do recall that
29 another chemical was substituted?
30 MR. SOPP: Yeah. Plus I believe hydrazine
31 was not -- not sold anymore.
32 MR. RILEY: Understood. If I mention the
33 name Amarzene, does that ring a bell?
34 MR. SOPP: Yes.
35 MR. RILEY: Does that ring a bell?
36 MR. SOPP: Yes. Amarzene, yeah.
37 MR. RILEY: Now, is that the chemical that
38 was substituted or is that another name for hydrazine,
39 if you remember?
40 MR. SOPP: I -- I cannot remember. No, I
41 don't.
42 MR. RILEY: Hm-hmm.
43 MR. SOPP: If I remember, I would tell you,
44 but I don't know. Just speculating.
45 MR. RILEY: Thank you.
46 MR. SOPP: The name rings a bell, but I don't
47 remember.
48 MR. RILEY: Just if I may just switch the
49 subject very slightly, during the period when you were

1 -- excuse me -- when you were responsible for the
2 Norway, do you remember any discussion about the
3 arrangements for the sliding feet of the header and of
4 the drum?

5 MR. SOPP: Oh, yes. That they were to be
6 greased weekly and checked up and so that was one of
7 the main things.

8 MR. RILEY: Now, at the moment I mentioned
9 sliding feet, you reacted as though it was something
10 you remembered.

11 MR. SOPP: Oh, yes.

12 MR. RILEY: Can you tell us why it's --

13 MR. SOPP: Well, because it -- if -- if you
14 have feets that doesn't -- that are frozen and you
15 light up the boiler, it will -- you will have something
16 seriously happening. That is, you know, this was one
17 of the first things I learned when I was an engineer.

18 MR. RILEY: Right.

19 MR. SOPP: You have to take care of your
20 sliding feets.

21 MR. RILEY: Do you recall anything in
22 particular about the sliding feet ever being a problem
23 on the Norway?

24 MR. SOPP: No, not that I recall.

25 MR. RILEY: Thank you.

26 MR. SOPP: But we discussed it at many --
27 because I was working in that, and I said, "Hey, are
28 you doing something about the feets?" I was looking to
29 see if they were greased and --

30 MR. RILEY: And you would personally have a
31 look from time to time?

32 MR. SOPP: I would walk through the engine
33 room every day.

34 MR. RILEY: Thank you. That's all I have.

35 MR. STEINFORD: This is Terry Steinfeld.

36 Just going back, I believe you said you
37 became the port engineer in July 1982 and you were the
38 first engineer before that on board. Was that
39 continuous or was there a gap in there?

40 MR. SOPP: No. I was on vacation for a few
41 months in between.

42 MR. STEINFORD: Okay. Do you recall if the
43 ship was drydocked in 1982?

44 MR. SOPP: Yeah. We were in drydock from
45 April until July or the end of June or something.

46 MR. STEINFORD: Okay. And so, you would have
47 been the first engineer or the port engineer for that
48 drydock, correct?

49 MR. SOPP: I was the first engineer for the

1 drydocking, yeah.
2 MR. STEINFORD: Do you recall if any cracks
3 were found in the drums or headers at that time?
4 MR. SOPP: No.
5 MR. STEINFORD: Okay.
6 MR. SOPP: I don't. I wasn't really involved
7 with the boilers during the drydocking.
8 MR. STEINFORD: Okay. How about any later
9 drydockings? What's the first drydock you can recall
10 where any cracks were found in the drums or headers?
11 MR. SOPP: I wonder if it was '84.
12 MR. STEINFORD: '84?
13 MR. SOPP: I wonder if it was '84, but I'm
14 not 100 percent sure.
15 MR. STEINFORD: Okay.
16 MR. SOPP: Or if it was not in drydock at
17 all, it was something we found when we started with the
18 study and this study was done during normal operation,
19 I think.
20 MR. STEINFORD: Okay. Do you recall a
21 drydocking by Lloyd Werft in 1987 where cracks were
22 found in the drums or headers?
23 MR. SOPP: I believe so.
24 MR. STEINFORD: Okay. Do you recall if any
25 welded repairs were done then?
26 MR. SOPP: That's when I think it was, yes,
27 but not in drydock. I think it was done after drydock.
28 MR. STEINFORD: Okay. So, maybe -- what was
29 the sequence? How did that happen?
30 MR. SOPP: Because I -- I kind of recall it
31 was done and then some time later, during when the ship
32 was operating, it was welded.
33 MR. STEINFORD: When you say operating, would
34 that be operating out of Miami?
35 MR. SOPP: Yeah.
36 MR. STEINFORD: Okay. So, would that have
37 been done while the ship was in service on a regular
38 voyage?
39 MR. SOPP: Right. Yeah.
40 MR. STEINFORD: Okay. And who would have
41 done that work?
42 MR. SOPP: Dutche Babcock.
43 MR. STEINFORD: Okay. And do you recall if a
44 BV surveyor attended on board while that work was being
45 done?
46 MR. SOPP: He was there, but I can't go into
47 recall, but I -- I'm -- I know he was there.
48 MR. STEINFORD: And do you recall any
49 approvals by BV of the procedures to be done?

1 MR. SOPP: I don't recall exactly the
2 procedure, but I know there was procedure and BV was
3 involved in it, but I don't really remember that.
4 MR. STEINFORD: Okay.
5 MR. SOPP: Any assignment or anything.
6 MR. STEINFORD: All right. You mentioned
7 dealing with Mr. Moore --
8 MR. SOPP: Yeah.
9 MR. STEINFORD: -- from --
10 MR. SOPP: Right.
11 MR. STEINFORD: Andrew Moore?
12 MR. SOPP: Andrew Moore, yes.
13 MR. STEINFORD: Okay. Is there any other
14 surveyors involved with the Norway in the 1980s?
15 MR. SOPP: No. I don't know. I think Andrew
16 Moore, he retired in '92 or '93. It must have been
17 only Mr. Moore or when we were in Germany, it could
18 have been German Bureau of Veritas from the Hamburg
19 office.
20 MR. STEINFORD: Okay. So, while the ship was
21 operating out of Miami, to your recollection, --
22 MR. SOPP: Right. Mr. Moore --
23 MR. STEINFORD: -- Mr. Moore was the only
24 surveyor?
25 MR. SOPP: Yeah.
26 MR. STEINFORD: Okay. Again, looking back to
27 1987 when the weld repair was done, do you recall if he
28 rode the ship during that repair or just visited during
29 the port call?
30 MR. SOPP: I am not -- I cannot really
31 remember if he rode or not. That, I cannot -- but I
32 believe he did, but --
33 MR. STEINFORD: Okay.
34 MR. SOPP: -- it's too much time.
35 MR. STEINFORD: Do you ever recall writing
36 yourself or seeing a drydock or shipyard specification
37 specifically that looked for cracks?
38 MR. SOPP: I think so. I think so, yes, but
39 I don't have it. I think I have written several times
40 actually.
41 MR. STEINFORD: Okay. Well, what I was
42 getting at was rather than simply saying open for
43 inspection, did the specs specifically say --
44 MR. SOPP: I think it was --
45 MR. STEINFORD: -- a reference to cracks?
46 MR. SOPP: You know, it might even be in the
47 drydock spec because it might have been done directly
48 with Lloyd Werft afterwards, but I think it has been
49 mentioned with cracks or the crack inspection, also.

1 MR. STEINFORD: Okay. Other than the drydock
2 or shipyard period, would any of the drums or headers
3 be opened for any purpose?
4 MR. SOPP: Not if it was not required by
5 anybody or it was a specific BV requirement or
6 whatever, no.
7 MR. STEINFORD: So, in other words, the
8 ship's crew's not going to routinely dump the water and
9 open the boiler?
10 MR. SOPP: Well, you open the boiler, but we
11 would take out the internal or the steam drum and you
12 inspect the water and just put film in it and see.
13 MR. STEINFORD: Okay. Well, how about
14 opening the lower drums?
15 MR. SOPP: They were opened up and checked
16 for if there was mud in there, but that just open up to
17 inspect and closed up again.
18 MR. STEINFORD: And how often would that
19 occur?
20 MR. SOPP: I can't really say, but at least
21 -- at least once a year because we have a 3,000-hour
22 maintenance schedule of the boiler and usually when
23 this was done, it was during the 3,000-hour maintenance
24 schedule.
25 MR. STEINFORD: Do you ever recall any leaks
26 from the drums?
27 MR. SOPP: No.
28 MR. STEINFORD: Okay. That's all I have.
29 MR. ROTH-ROFFY: You mentioned that -- okay.
30 Getting close to the end of the tape, so I'll ask a
31 couple questions, then we'll have to take a break
32 again.
33 You mentioned that a lot of the records that
34 -- on the Norway repairs and reports and whatnot were
35 kept in some kind of a locker -- a lockable room. Do
36 you recall where that room was?
37 MR. SOPP: In NCL's office?
38 MR. ROTH-ROFFY: Yeah. Yeah. Where was it?
39 MR. SOPP: It was in the Ship Operation area
40 and there's a file room.
41 MR. ROTH-ROFFY: Was there a particular file
42 cabinet devoted to Norway?
43 MR. SOPP: No. It was like these sliding
44 files, you know, that you --
45 MR. ROTH-ROFFY: Lateral files?
46 MR. SOPP: Lateral files, yeah, and in there
47 was -- the Norway had its own drawer for the Norway and
48 all the files which I had for the 18 years I was there.
49 Now, some of those files were purged a little bit but

1 only for things that was not operational. Everything
2 that was of interest was in there.

3 MR. ROTH-ROFFY: Was it one particular file
4 cabinet where you kept all of your Norway files or was
5 it spread out over several cabinets or --

6 MR. SOPP: No. It was probably in one -- one
7 row there. That was where it was when I left.

8 MR. ROTH-ROFFY: And did you also keep some
9 files in your office?

10 MR. SOPP: Yeah. There was files in the
11 office but not very much because I -- I was
12 particularly trying to keep all the files in the
13 cabinets, not floating around in the office. But I had
14 things that I worked with day-to-day, they were in the
15 office.

16 MR. ROTH-ROFFY: But your historical records,
17 you kept in this lockable --

18 MR. SOPP: Yes.

19 MR. ROTH-ROFFY: And do you remember what
20 that room was called? Was it Document Room?

21 MR. SOPP: It was the file -- the Drawing and
22 File Room.

23 MR. ROTH-ROFFY: Okay.

24 MR. SOPP: And everybody up there should know
25 where it is.

26 MR. ROTH-ROFFY: Which floor?

27 MR. SOPP: I believe it is on the 6th floor.

28 MR. ROTH-ROFFY: On the 6th floor. Okay.

29 All right. Tell you what, since the tape is about to
30 end, I'm going to go ahead and stop now and we'll take
31 a break.

32 MR. SOPP: Okay. All right.

33 MR. ROTH-ROFFY: Let's take -- go ahead.

34 (Whereupon, a recess was taken.)

35 (End Tape 2, Begin Tape 3)

36 MR. ROTH-ROFFY: Okay. It's Tom Roth-Roffy,
37 and it's about 15 minutes after 4, and we have changed
38 to a new tape, and we are resuming our interview of Mr.
39 Per Sopp.

40 Let's see. My last question was about -- oh,
41 the lockable room that -- that had the documents, --

42 MR. SOPP: Yeah.

43 MR. ROTH-ROFFY: -- and I think you explained
44 pretty well where that was.

45 Regarding the operating procedures of the
46 boilers, there was some concerns expressed about, you
47 know, the way the boilers were being lighted off and
48 shut down frequently, you know, to meet ship schedule,
49 and I believe you stated that the main reason for

1 shutting down one boiler was to save fuel, rather than
2 run three boilers when you didn't need them, if you
3 shut down one boiler, that it would save some fuel.

4 MR. SOPP: There is also other things to run
5 the boilers on very low load. It can make problems,
6 also. You get -- for instance, you superheat the steam
7 to get up to the temperature, you will have problems
8 with that because of the low load of the boiler. So, I
9 -- it is other concerns also involved in these things.

10 MR. ROTH-ROFFY: Beyond low superheat
11 temperature, do you have an idea what other problems
12 would -- would result from lightly-loaded boilers?

13 MR. SOPP: I just know they have problems
14 with the corrosion on turbine blades because of a lot
15 of wet stains, and on one occasion, we had at one point
16 decided to go with less boilers. Also because of this,
17 but also for saving fuel.

18 MR. ROTH-ROFFY: And it seems to me I'd seen
19 something about some report or problems with steam or
20 with water circulation within the boiler. Had there
21 been --

22 MR. SOPP: Yeah. Low circulation during
23 certain times. That's why there is some of the tubes
24 in these boilers have raised the boiler water level and
25 this can have a tendency to load very fast and actually
26 some of them is permanently plugged.

27 MR. ROTH-ROFFY: And the reason they were
28 permanently plugged was?

29 MR. SOPP: Because the circulation was up in
30 this area, and during certain operations, during low
31 loads, you could have problems with the circulation in
32 the boilers, and this is something everybody knew
33 about, that this -- this is a problem. Nothing --
34 nothing that was -- nobody was too concerned about it
35 because we plugged these tubes right away and we knew
36 that they were not going to be used. We knew that they
37 could be in certain load conditions where you have
38 very, very bad circulation in the boiler. There's
39 nothing that would tell you, but we knew it from --
40 from the tube leaks and whatever.

41 MR. ROTH-ROFFY: Was there ever any type of a
42 study that had --

43 MR. SOPP: No.

44 MR. ROTH-ROFFY: -- analyzed the circulation
45 of the boilers?

46 MR. SOPP: I don't think so. There might
47 have been something in the early, early '80s, but
48 because I have read something. But it could have been
49 from old French papers because it was over something

1 that came from -- they had problems with -- during that
2 time with the SS France, the circulation in many corner
3 areas.

4 MR. ROTH-ROFFY: And these circulation
5 problems were in some way related to low load
6 operation?

7 MR. SOPP: Yeah. It was -- that came from a
8 low load operation, yes. This -- this low load
9 operation was basically in port. That's where we had
10 the biggest problem when you were at a load, let's say,
11 800 kilos an hour or something like that.

12 PARTICIPANT: How many?

13 MR. SOPP: 800 kilos an hour.

14 MR. ROTH-ROFFY: You said -- sorry. Would
15 that be steam or fuel --

16 MR. SOPP: Fuel. Fuel.

17 MR. ROTH-ROFFY: -- flow rate?

18 MR. SOPP: Fuel flow rate. Actually, we
19 didn't like to be much below a thousand kilos an hour.
20 We'd like to be in that area. It was much more stable
21 flames and everything.

22 MR. ROTH-ROFFY: Now, couldn't the flame
23 stability be made better with decreasing the number of
24 burners? Instead of, you know, four burners, go down
25 to three or two burners?

26 MR. SOPP: They did, but still it was not
27 always good because you could get optimizing steam that
28 was wet and then you could blow out the whole thing
29 sometimes. It could happen. Well, you know, except if
30 it was only two-three burners in, but still we didn't
31 like it.

32 MR. ROTH-ROFFY: And how about the operating
33 procedures as far as cooling down the boiler or
34 shutting it off and -- and reducing the pressure?

35 MR. SOPP: Well, you know, you shut it down,
36 then you will open up the vents first and you shut it
37 down, and then you have the vent open for 5-10 minutes,
38 and then you can shut it down, and then you let it just
39 cool down slowly.

40 MR. ROTH-ROFFY: We've heard that --

41 MR. SOPP: There's many ways to do that.

42 MR. ROTH-ROFFY: We've heard that the way
43 they do it now and have been doing it for years is that
44 they would shut it -- shut it down and open up the vent
45 for a period of time and open up all the drains and
46 everything would be left open until it went down to,
47 you know, to zero or basically below pressure.

48 MR. SOPP: Yeah. Right.

49 MR. ROTH-ROFFY: Is that your recollection?

1 MR. SOPP: Yeah. It was, but depending a
2 little bit on the circumstances, but for a normal
3 shutdown, yeah, and then they kept the pressure, and if
4 they wanted it on very soon, they kept the pressure on
5 for awhile. Shuts everything down a little later on.
6 MR. ROTH-ROFFY: And what about the four
7 strap fan? Would they leave that running during the
8 cool-down period or would they shut it off or you don't
9 know?

10 MR. SOPP: Shut it off.
11 MR. ROTH-ROFFY: They would shut it off, --
12 MR. SOPP: Yeah.
13 MR. ROTH-ROFFY: -- as far as you know?
14 MR. SOPP: Yeah.
15 MR. ROTH-ROFFY: Would there be any reason to
16 leave the four strap fan running during a cool-down
17 period?

18 MR. SOPP: Well, they don't turn it off
19 immediately, but for some time, they shut it off.
20 MR. ROTH-ROFFY: After about how long?
21 MR. SOPP: Couple of hours.
22 MR. ROTH-ROFFY: Couple of hours.
23 MR. SOPP: Yeah. I think they don't cool it
24 off too fast.
25 MR. ROTH-ROFFY: Would there be any reason to
26 -- to -- to leave it on beyond a couple of hours after
27 shutting it off that you know of?
28 MR. SOPP: Just to keep the -- cool down the
29 boiler. I don't know if they should -- why they should
30 have it on more. Not for any particular reason, no.
31 MR. ROTH-ROFFY: Do you know why the -- the
32 crew would not just close all the vents and drains
33 after a period of time, maybe an hour or something, and
34 just try to retain that steam as a matter of practice?
35 MR. SOPP: As a matter of practice. There's
36 many different practices. You can read it in the
37 French manuals on these boilers. They fire up these
38 boilers with shut valves, you know, shut drain valves,
39 which to me is a very, very dangerous practice to do,
40 but they fill up the superheater totally full with
41 water, and then they close all the drains and then they
42 let it drop, and to me, I wouldn't do it, but that's --
43 that was in the -- if you go in the French instruction
44 books and read it, you will see that this is the
45 practice.
46 So, what is the correct one? You can discuss
47 it, but --
48 MR. ROTH-ROFFY: Okay. So, as far as you
49 know, the way the boilers were operated, they would

1 open up all the -- they would -- they would basically
2 continuously vent it until the pressure was reduced to
3 zero?

4 MR. SOPP: Yeah. To a certain point,
5 depending on how, when we wanted it back on line again,
6 or if they wanted to cool it totally down, maybe they
7 would let it go down after certain hours, a few hours,
8 and then let it go down.

9 MR. ROTH-ROFFY: Would there be a reason to
10 cool it all the way down if --

11 MR. SOPP: Yeah. For maintenance, for
12 instance.

13 MR. ROTH-ROFFY: If there were no maintenance
14 scheduled and -- and they -- even if they needed it in
15 a couple of days, they planned to light off, would
16 there be a reason to bring it all the way down by
17 venting it continuously?

18 MR. SOPP: No, not really, but the pressure
19 would fall off by itself, you know, after a few hours,
20 three-four-five hours.

21 MR. ROTH-ROFFY: Even if you were to close
22 all the valves and all the vents, --

23 MR. SOPP: Yeah.

24 MR. ROTH-ROFFY: -- the pressure would still
25 continue to fall?

26 MR. SOPP: Well, fall, and after some time,
27 it will eventually be nothing.

28 MR. ROTH-ROFFY: All right.

29 MR. SOPP: Then it cools off.

30 MR. ROTH-ROFFY: Was there ever any study
31 done to -- to estimate the amount of fuel saving that
32 might be accomplished through shutting off one boiler
33 as opposed to three?

34 MR. SOPP: Well, I think if we have it just
35 by ourselves, you know, looking at it and we could see
36 what an official study --

37 MR. ROTH-ROFFY: So, --

38 MR. SOPP: -- would --

39 MR. ROTH-ROFFY: But you did -- at some
40 point, you did do some kind of a test to see if there
41 would be a fuel saving? Informal test of some kind?

42 MR. SOPP: We did this testing, yes.

43 MR. ROTH-ROFFY: Do you recall about how much
44 fuel savings were -- were --

45 MR. SOPP: No, I don't know.

46 MR. ROTH-ROFFY: -- made? But it was
47 definitely a fuel savings to --

48 MR. SOPP: Oh, yeah. It's a fuel saving.
49 But I don't know if it was -- there were so many other

1 ways you could save fuel, how you run the turbine
2 generators, how you run the diesel. It was so many
3 ways. We were always looking for ways, you know. You
4 could see they were running through turbo generators,
5 and I was asking why do you run two turbos? Well, in
6 case one trips off, we have a safety. We have diesels.
7 Why don't you have the diesels? You know, they can
8 sleep good at night. That was one of the reasons.
9 They didn't have to be woken up in the middle of the
10 night with something. It was not a safety concern
11 because there's so much built-in safety on the system,
12 the generators and everything, that everybody likes to
13 sleep well at night. So, that's why we have to push a
14 little bit about the fuel economy as well -- they
15 didn't push too much actually. We just told them that
16 be careful. Nobody was ever reprimanded for ever using
17 too much fuel.

18 MR. ROTH-ROFFY: You may have already
19 answered this question, I apologize for asking it
20 again, but the microcrack problem that was discovered,
21 was it strictly in one area around the weld seams or
22 was it more of a generalized?

23 MR. SOPP: No. As far as I remember, it was
24 only around the weld seams.

25 MR. ROTH-ROFFY: And was it the longitudinal
26 weld seams as well as the --

27 MR. SOPP: I think it was both.

28 MR. ROTH-ROFFY: Okay.

29 MR. SOPP: I believe it was both.

30 MR. ROTH-ROFFY: And you mentioned that you
31 had established some kind of a practice to go in and
32 periodically inspect the boilers. Was there ever any
33 kind of a memo or directive that was ever formalized
34 this process that -- of going in periodically?

35 MR. SOPP: I -- I can't recall it now. I
36 don't know.

37 MR. ROTH-ROFFY: Was -- was it your own
38 practice to do that or was it your boss's practice that
39 they told you to do that?

40 MR. SOPP: Not my boss's practice, no.

41 MR. ROTH-ROFFY: I'm sorry?

42 MR. SOPP: Not my boss's.

43 MR. ROTH-ROFFY: It was your own practice?

44 MR. SOPP: Yeah.

45 MR. ROTH-ROFFY: You had decided that, you
46 know, based on your assessment of --

47 MR. SOPP: Yeah. From what I was seeing
48 because my bosses was never in there.

49 MR. ROTH-ROFFY: Okay. And did you ever pass

1 your concerns on to anybody or recommendation that
2 these boilers periodically be looked at, you know, to
3 --

4 MR. SOPP: Yeah. We discussed this among the
5 engineers and myself, yes. Chiefs, yes, and the chiefs
6 reminded me, also, at the time, they were also very
7 concerned.

8 MR. ROTH-ROFFY: They would remind you
9 sometimes to -- to go in and inspect them?

10 MR. SOPP: No, not to inspect them, but about
11 all these problems, the leaks and whatever, and then I
12 had to go up and fight for money to do something.
13 Actually, this was a constant problem. Almost every
14 week, I had meetings.

15 MR. ROTH-ROFFY: Almost every week, you had
16 meetings with the chief engineers?

17 MR. SOPP: Hm-hmm.

18 MR. ROTH-ROFFY: And you discussed generally
19 problems on the ship?

20 MR. SOPP: I mean, we discussed the week's
21 problems and then we always discussed boilers and what
22 was going on with the main topics, usually, because it
23 was always something, one way or another, another
24 problem.

25 MR. ROTH-ROFFY: But specifically the problem
26 with cracks, was that always --

27 MR. SOPP: Cracks -- cracks were very little
28 because that was -- we didn't really have any
29 catastrophic failures.

30 MR. ROTH-ROFFY: Right.

31 MR. SOPP: We had more with the tube
32 failures. But that was what was closest to us all the
33 time, although in the back of the head, the microcracks
34 was always there.

35 MR. ROTH-ROFFY: So, the problem with -- with
36 a lot of tube failures, what did you attribute that to?

37 MR. SOPP: Wear and tear, I would say.

38 MR. ROTH-ROFFY: Did you consider that the
39 tube -- the rate of tube failures was excessive for a
40 boiler of that type?

41 MR. SOPP: No. Not for the -- not for the --
42 always it had done -- starts and stops on the boilers.

43 I think -- I think the boiler can almost go
44 indefinitely if you don't light it up and shut it off.
45 I think the biggest thing for a boiler is -- the worst
46 thing for a boiler is to shut it down and start it up
47 again intermittently or all the time. It's the worst
48 thing that can happen and you could see this with all
49 the starts and stops we had there. It was really bad.

1 MR. ROTH-ROFFY: So, the starts and stops,
2 the frequent starts and stops were mainly causing tube
3 failures and related --

4 MR. SOPP: Right.

5 MR. ROTH-ROFFY: -- problems like that?

6 MR. SOPP: And these are -- had to do --
7 because of the vessel and the speed you had to go and
8 you had to be there early in the morning and we left
9 St. Thomas late, you know, and suddenly you had to go
10 from cold ship almost to 22 knots in half an hour, and
11 this was a lot of operational things that caused all
12 these rapid start-ups and things, because the
13 engineers, they were very well aware of most of these
14 things. They were very conscious of it.

15 MR. ROTH-ROFFY: Do you recall if Mr. Steinar
16 Sjøhaug was -- was involved with -- with these sorts --
17 or discussions with these problems with operating
18 concerns and cracks?

19 MR. SOPP: No, sir. I was not on the ship
20 really when he was there. I know him from long back.
21 He was there for a short time and then he disappeared
22 again. So, I -- I really haven't seen or haven't had
23 him sailing for me on -- on the steam ship. He worked
24 on some of the other vessels where I knew him, but
25 Norway not much.

26 MR. ROTH-ROFFY: So, I don't know if you know
27 who's on the crew -- on the ship now, but is there
28 anybody currently assigned to Norway that -- that, you
29 know, has a knowledge of the history of the boilers'
30 problems?

31 MR. SOPP: Probably, yes. I don't know
32 really who it is at the moment, but like Dan Fleseland
33 is one of the first engineers. He's very good guy and
34 he knows probably a lot about it.

35 MR. ROTH-ROFFY: How about Mr. Anvik? Do you
36 know him?

37 MR. SOPP: Bjoern Anvik. Yeah. I'm quite
38 sure he knows because he has been there so many years,
39 that he knows the whole story about it, and then, also,
40 Mr. Hammerdold, chief engineer on the Sky, is very into
41 the whole story because he was very concerned about a
42 lot of these things.

43 MR. ROTH-ROFFY: Okay. A little slightly
44 different topic. Who was responsible for supervising
45 or overseeing the chief engineer, his -- his
46 performance or work?

47 MR. SOPP: Well, I was one of them, and then
48 it was my boss and his boss, but he answered directly
49 to me actually.

1 MR. ROTH-ROFFY: So, in fact, you could give
2 him direction on -- on how to operate the ship?
3 Because I think you said earlier that he kind of had a
4 lot of freedom.

5 MR. SOPP: Yeah. He had a lot of freedom,
6 but he answered -- he's the chief engineer and we
7 regarded him as the man that can operate the vessel in
8 a safe manner and we don't put any restriction on him
9 as long as he do the things correctly. You know, not
10 everything is a written book, you know.

11 MR. ROTH-ROFFY: Sure.

12 MR. SOPP: It's a lot of use your common
13 sense.

14 MR. ROTH-ROFFY: General -- general good
15 marine practices?

16 MR. SOPP: Yes, exactly. You know, you can
17 see that's why you have this book, the fancy book,
18 fancy stuff is not for nothing because you had a big
19 book in there.

20 MR. ROTH-ROFFY: Oh, right, sure.

21 MR. SOPP: The procedures. It's -- it's a
22 good literature for a new engineer, but for anything
23 else, no.

24 MR. ROTH-ROFFY: Did you actually prepare an
25 evaluation of the chief engineers?

26 MR. SOPP: No.

27 MR. ROTH-ROFFY: Do you know who would have
28 done that?

29 MR. SOPP: I don't know if it was really done
30 at all. I think that was done by the Personnel
31 Department at NCL. But we discussed -- we had meetings
32 about all the crew members or the officers with the
33 Personnel Department. So, we -- and we also had
34 meetings between -- you know, might be a chief engineer
35 and question him the kind of work a little bit. So, we
36 discussed this, but we didn't make evaluations like I'm
37 doing in my present job, the American way of evaluation
38 which takes all week. No, we don't do that. We didn't
39 do that.

40 MR. ROTH-ROFFY: Did you ever have occasion
41 to have a chief engineer relieved for poor performance?

42 MR. SOPP: No. Those chief engineers that
43 was promoted to chief engineers, they had many years.
44 We knew them very well. So, it was well thought of
45 before they were -- would become chief engineers.

46 MR. ROTH-ROFFY: Before, I was asking you
47 about who else might have known about, you know,
48 historical problems with the boilers.

49 MR. SOPP: Hm-hmm.

1 MR. ROTH-ROFFY: A couple of second engineers
2 on there. Would they have been knowledgeable about it?
3 For example, Mr. Nicolaisen? Do you recall him ever -
4 -

5 MR. SOPP: Yeah. Nicolaisen probably would
6 know something about it. I believe so.

7 MR. ROTH-ROFFY: Do you recall ever having a
8 discussion with him or --

9 MR. SOPP: Not really him because he was in a
10 different unit. He might have been present at some of
11 the discussion but not with him at all, no.

12 MR. ROTH-ROFFY: Yeah.

13 MR. SOPP: I think all of the old engineers
14 that was there for a lot of years, they knew about
15 these problems, at least those that have been there
16 from 1990 and onward. I think a lot of them were in
17 there from 1990 and before actually.

18 MR. ROTH-ROFFY: Who at NCL was -- would
19 usually, if anybody, would look at the log books and
20 the records of the crew of the ship to -- to, you know,
21 see that things were being properly logged and
22 maintained?

23 MR. SOPP: I did it. I didn't sign it or
24 anything. The captain signed it, I think weekly or
25 every day or I don't know, but I think it was weekly,
26 he signed it.

27 MR. ROTH-ROFFY: He would sign what?

28 MR. SOPP: The log book.

29 MR. ROTH-ROFFY: The engine log book?

30 MR. SOPP: Yeah.

31 MR. ROTH-ROFFY: And you would -- you said
32 you would look at it periodically, randomly?

33 MR. SOPP: Every time I was in the control
34 room, I went to the log book and it was almost weekly.
35 I would say -- I would say almost every day.

36 MR. ROTH-ROFFY: Was here anybody else in
37 shoreside management who would look at the -- the log
38 books?

39 MR. ROTH-ROFFY: I don't know.

40 MR. ROTH-ROFFY: Was there a policy or a
41 requirement for the -- for the ship to return the logs
42 to shoreside for -- for review or --

43 MR. SOPP: No. They sent the weekly sheets,
44 they sent maybe whatever, how many hours they have on
45 the boilers, how many hours that we were running this
46 boiler, that boiler, turbo jets, main turbines, and --
47 and water consumption, fuel consumption, and stuff like
48 this. A sheet went weekly, and that was what I really
49 required to have from them. From this sheet, I could

1 basically figure out if we had any stops on the boilers
2 or whatever, and I would make little remarks. All of
3 those papers were in my office.

4 MR. ROTH-ROFFY: And these weekly reports
5 they gave you, that included the work that had been
6 done, repair work?

7 MR. SOPP: Repair work, no, no. Work we
8 discussed when I had my meetings every Saturday with
9 them, and then we discussed what had happened the last
10 week and about -- I can't recall, but I also got some
11 -- for a period of time, they sent me work, what was
12 done. I said I don't want to know what all these
13 pieces of pipe here have been changing. I'm more
14 interested in specifics, like problems with turbines
15 and boilers and stuff like that. So, I said narrow it
16 down to specifics and we discuss it, but they had to
17 keep record on the ship on everything they do.

18 MR. ROTH-ROFFY: And that was record -- where
19 was that record kept?

20 MR. SOPP: Senior first engineer, I guess he
21 had the book for the records.

22 MR. ROTH-ROFFY: And did you ever look at
23 that record book?

24 MR. SOPP: Oh, yeah.

25 MR. ROTH-ROFFY: Okay. What about AMOS? Who
26 -- who looked after AMOS?

27 MR. SOPP: That was -- AMOS. Yeah. This was
28 back -- it wasn't much. We had a little bit AMOS, but
29 most of the maintenance was there, but we didn't get
30 much of it because it was a lot of errors in the
31 maintenance on this AMOS system. So, I was on board.
32 I looked at it and saw what was done on it, but what is
33 written in there and what is done in the review, I --
34 it's not always said that it is done. So, I looked at
35 it in a skeptical eye because it was in the computer
36 system.

37 MR. ROTH-ROFFY: And when was AMOS put on the
38 ship, on the Norway?

39 MR. SOPP: Probably in -- AMOS actually was
40 very early. Probably came in in the '80s some time.

41 MR. ROTH-ROFFY: Mid or late or early?

42 MR. SOPP: Mid. Mid to late '80s, yeah.
43 '86-87.

44 MR. ROTH-ROFFY: So, you would sometimes look
45 at AMOS but really didn't put much --

46 MR. SOPP: I didn't --

47 MR. ROTH-ROFFY: -- credence --

48 MR. SOPP: I didn't have -- I didn't have a
49 screen, so I could go into it from my office because it

1 was in the early '80s of the computer, and it wasn't as
2 easy as now. So, I -- I went in and I looked at the
3 papers, you know, and I went through the papers and
4 looked at what was done. It was not as easy as it is
5 today. But you can -- we have this weekly meeting
6 where we go much more over what was happening than what
7 I found in the papers. You could sit for two-three
8 hours every Saturday morning and talk with the chief
9 engineer discussing problems, and then similarly other
10 engineers might show up. The electricians would be
11 there usually.

12 MR. ROTH-ROFFY: How about the staff chief or
13 the first chief? Would they be involved in it?

14 MR. SOPP: Yeah. They were also involved in
15 it, yeah. Staff chiefs usually were there, and then
16 maybe staff captain usually came once in awhile.

17 MR. ROTH-ROFFY: Was there anybody else in
18 the office at NCL that would look at the AMOS document
19 or the AMOS records and computer files?

20 MR. SOPP: No.

21 MR. ROTH-ROFFY: So, it was mainly just a
22 tool for the engineer on board to --

23 MR. SOPP: To see, but that was what it was
24 made for also, and then after we -- you know, when we
25 started the safety system, you know, the management
26 system, we had to -- they changed it a little bit, so
27 it was more a reporting tool, but that was -- that
28 happened later.

29 MR. ROTH-ROFFY: All right. I think I'm
30 going to let Brian ask a couple.

31 Thank you.

32 MR. CURTIS: Brian Curtis.

33 Per, regarding the Class survey areas, who
34 would have been aware of the surveys of the problems
35 involving the cracks?

36 MR. SOPP: Mr. Moore. He was aware of it.
37 McBride, I assume he's also aware of it. Yeah. He's
38 aware of it. McBride. Because they -- they -- those
39 were the two guys I dealt with 99 percent of the time.
40 I did have occasional surveys from -- from Hamburg or
41 from -- I think from South Africa, we had one one time,
42 and then they were also interested in the -- in the
43 cracking thing. So, they were bringing it up always.

44 MR. CURTIS: Mr. McBride was a surveyor?

45 MR. SOPP: Yeah.

46 MR. CURTIS: And the other -- the other name?
47 Can you get that? Moray?

48 MR. SOPP: Mr. Moore.

49 MR. CURTIS: Moore?

1 MR. SOPP: What was his first name? Andrew
2 Moore.
3 MR. CURTIS: Okay.
4 MR. SOPP: He's still alive but he's very
5 old. I met him two months ago actually.
6 MR. CURTIS: Okay.
7 MR. SOPP: But he has a good memory.
8 MR. CURTIS: And the other survey, Mr.
9 Hofseth, does he have any familiarity with this
10 problem?
11 MR. SOPP: No. We didn't use him very much
12 when I was there because it -- it was a little bit
13 conflict of interest because he had been working with
14 NCL. So, he was very seldom -- it was only an
15 emergency, Hofseth came on an NCL ship. It was Mr. --
16 what did I say? Moore and --
17 MR. CURTIS: McBride.
18 MR. SOPP: McBride, yes. McBride.
19 MR. CURTIS: I just have one more question.
20 In your opinion, what organization, be it the owners,
21 Class, or any others you want to identify, would be
22 ultimately responsible for assuring that the problems,
23 such as these on the boiler, are properly identified,
24 repaired and documented?
25 MR. SOPP: The owner and the Class together.
26 That's what I would say. I think the owner is just as
27 responsible as the Class. You can't just say either.
28 It's a shared problem.
29 MR. CURTIS: Thank you. Thank you very much.
30 That's it.
31 MR. OLSEN: I've got a couple questions.
32 Have you -- during your involvement with the Norway,
33 have you ever become aware of any bypassing of safety
34 systems associated with the boiler?
35 MR. SOPP: No.
36 MR. OLSEN: Okay. You know, part of this
37 investigation and our investigation procedures is to
38 gain a perspective of NCL and the organization in
39 general.
40 MR. SOPP: Hm-hmm.
41 MR. OLSEN: So, in this regard, I'm asking if
42 -- if you ever -- are you aware of any other important
43 engineering-related or maintenance-related issues that
44 we should be concerned about?
45 MR. SOPP: At the moment, no. I would tell
46 you if I really had something, but I have to think
47 about it, but there's nothing really that I have.
48 MR. OLSEN: Okay.
49 MR. SOPP: The only thing that really

1 concerned me is the cracks in the boilers. That has
2 concerned me for some time. The rest on the Norway, I
3 don't think so. There is concerns with other things,
4 with the machinery there, yes.

5 MR. OLSEN: Hm-hmm.

6 MR. SOPP: Like the condensers, condensers
7 are in real poor condition. Maybe some of the valve
8 systems, steam valve systems, probably very outdated
9 and hard to maintain. The condensers have been a
10 concern.

11 MR. OLSEN: Okay. You indicated that
12 maneuvering was an issue. So, is it correct then that
13 masters -- let me -- let me cancel that question
14 because you already asked it -- answered it.

15 I -- I guess I just need to understand one
16 more time that when we talk about shipboard engineering
17 personnel concerns about the boiler and stresses, we're
18 not only focusing on tube failures but we're as well
19 acknowledging problems with these microcracks?

20 MR. SOPP: Hm-hmm.

21 MR. OLSEN: Is that correct?

22 MR. SOPP: Can you rephrase it or --

23 MR. OLSEN: I'm sorry. When -- when the
24 engineers were worried about stresses on board the
25 vessel, they were not only worried about -- were they
26 not only worried about tube failures but also the
27 microcracking?

28 MR. SOPP: In general, they were more
29 concerned about the tube failures.

30 MR. OLSEN: Hm-hmm.

31 MR. SOPP: They were not so much concerned
32 about the cracks because these cracks had never been
33 more than any reports on paper. Nobody or very few of
34 us received them.

35 MR. OLSEN: Hm-hmm.

36 MR. SOPP: So, they were not too concerned
37 about this. I think this is more on a different level
38 we were concerned, although we were -- the reports were
39 there for them to read, but --

40 MR. OLSEN: Yeah.

41 MR. SOPP: -- I don't know if they really
42 understood the -- the urgency of these things.

43 MR. OLSEN: Did -- did you ever speak to Newt
44 Cerebo --

45 MR. SOPP: Yeah.

46 MR. OLSEN: -- about these cracks?

47 MR. SOPP: Yeah. Oh, yeah.

48 MR. OLSEN: Could he tell us more about them?

49 MR. SOPP: Probably, because he had been

1 there a -- he was there a long time, yeah.
2 MR. OLSEN: Okay. Do you know where he lives
3 now?
4 MR. SOPP: He lives in Drumser in Norway.
5 MR. OLSEN: Drumser?
6 MR. SOPP: Northern Norway.
7 MR. OLSEN: Okay.
8 MR. SOPP: He has a car repair shop somewhere
9 up there, but I'm not in contact with him, but I just
10 know I've heard about him.
11 MR. OLSEN: Yeah.
12 MR. SOPP: Really, he -- he was very much
13 involved in that, yes. So, -- so, he was one of those,
14 and Mr. Hammerdold.
15 MR. OLSEN: Haverwahl.
16 MR. SOPP: Hammerdold, H-A-M-M-E-R-D-O-L-D.
17 Hammerdold.
18 MR. OLSEN: And where does Mr. Hammerdold
19 live?
20 MR. SOPP: He's the chief engineer on the
21 Norwegian Sky, probably on the ship at the moment.
22 MR. OLSEN: Could I have the list, please?
23 This doesn't really give the senior engineers.
24 MR. SOPP: No. It's not a complete list.
25 MR. OLSEN: Yeah.
26 MR. SOPP: That is -- that doesn't give you
27 the --
28 (Pause to review document)
29 MR. OLSEN: This doesn't really help me right
30 now.
31 Did -- an engineer named Dan Fleseland, do
32 you know if he would --
33 MR. SOPP: No, I don't know him.
34 MR. OLSEN: Okay.
35 MR. SOPP: I never knew him.
36 MR. OLSEN: How about Anvik?
37 MR. SOPP: Anvik?
38 MR. OLSEN: Yeah.
39 MR. SOPP: I know him, yeah.
40 MR. OLSEN: And would he know about these
41 issues?
42 MR. SOPP: Yeah.
43 MR. OLSEN: Yeah.
44 MR. SOPP: Yeah. Anvik had been there so
45 many years, that he should know about these issues.
46 MR. OLSEN: Okay. We've interviewed a number
47 of people since we've been here, --
48 MR. SOPP: Hm-hmm.
49 MR. OLSEN: -- and -- and every time -- every

1 time we ask about cracks, we've got no knowledge of the
2 crack. Could you tell us why?
3 MR. SOPP: That's very strange to me. All
4 the older ones that been there before 1990, they should
5 know about the cracks.
6 MR. OLSEN: Yeah. Okay.
7 MR. SOPP: So, that's very strange.
8 MR. OLSEN: Thank you. That's all the
9 questions I have.
10 MR. OELSCHLEGEL: I just have one question.
11 MR. SOPP: Okay.
12 MR. OELSCHLEGEL: Any -- any concerns, let's
13 say, that you have a chief engineer and he has a
14 concern with a piece of machinery.
15 MR. SOPP: Yeah.
16 MR. OELSCHLEGEL: He has, say, a safety
17 concern or just some -- and he -- as port engineer, he
18 would tell you about it and then you would have to
19 decide what to do, if you thought it was important or
20 not important, and then you talked about money.
21 MR. SOPP: I would go to my superior and
22 discuss it. First, I have to tell them about it and
23 then I have to put it on paper and --
24 MR. OELSCHLEGEL: Okay. Along those lines,
25 was there ever something that you thought was very
26 important on the engineering side of the house that you
27 brought to the attention of the company management and
28 they said we disagree, we don't think this needs to be
29 done?
30 MR. SOPP: Well, probably, because they
31 probably never put it on paper, but they just said,
32 well, this will not be done. You will not get money
33 for it.
34 MR. OELSCHLEGEL: Hm-hmm.
35 MR. SOPP: So, when I -- when I put my list
36 up for -- for drydock, what I want to do in drydock,
37 they would say no, this will not be done, so there is
38 no money for this, and there'd be no explanation more
39 than that. So, there's nothing on the paper on it.
40 MR. OELSCHLEGEL: Okay.
41 MR. SOPP: So, this happened, you know,
42 sometimes it was probably not that necessary, but there
43 was other items which was very necessary.
44 MR. OELSCHLEGEL: So, --
45 MR. SOPP: Although the company was not when
46 it came to safety, they were not holding back on safety
47 issues really.
48 MR. OELSCHLEGEL: Okay.
49 MR. SOPP: But I don't know if they really

1 understood the urgency of some of these things. They
2 thought about it more like, well, an investment in
3 upgrading the machinery and are we really going to do
4 this now and so maybe it was some that we didn't
5 explain ourselves good enough maybe, although you saw
6 my memo in here. I think I explained some of that
7 pretty good. If they won't listen to that, then there
8 is not much one can do.

9 MR. OELSCHLEGEL: All right. That's --
10 that's all I have. Thanks very much.

11 MR. SOPP: Okay.

12 MR. HISLOP: Kevin Hislop. Just three. As
13 port engineer, were you ever aware of any discussions
14 regarding -- that existed regarding change in class for
15 the Norway?

16 MR. SOPP: Yeah. Several times.

17 MR. HISLOP: Okay.

18 MR. SOPP: They wanted to go to BV several
19 times but nothing happened really.

20 MR. HISLOP: Okay.

21 MR. SOPP: It came to going out and getting
22 bids and I guess -- I was never really involved in the
23 whole scenario.

24 MR. HISLOP: Thank you. You said earlier
25 that Andrew Moore, you know, --

26 MR. SOPP: Hm-hmm.

27 MR. HISLOP: -- despite his age, you saw him
28 go into the --

29 MR. SOPP: Yes, yes.

30 MR. HISLOP: -- water drums. He got in
31 there. Can you ever recollect seeing in the course of
32 surveys or -- or hearing about Mr. McBride ever entered
33 into these water drums?

34 MR. SOPP: Oh, yes. Yeah.

35 MR. HISLOP: He did?

36 MR. SOPP: Yes.

37 MR. HISLOP: Okay. Now, if you were still
38 working for NCL as a port engineer, --

39 MR. SOPP: Right.

40 MR. HISLOP: -- what would you -- what would
41 be your confidence level right now today in the other
42 three boilers? In other words, what would you
43 recommend?

44 MR. SOPP: It's very hard to say because I
45 don't know what has been done the last four years. I
46 have no idea.

47 MR. HISLOP: Okay.

48 MR. SOPP: If I had the day-to-day feeling
49 what was happening, yes. I have no idea.

1 MR. HISLOP: But in the light of the incident
2 that occurred on the 23, would you make some
3 recommendations?
4 MR. SOPP: I would be very careful before I
5 go out with any further operation on this ship.
6 MR. HISLOP: An inspection and examination?
7 MR. SOPP: Yeah. You'd have to do that, yes,
8 but it's -- they have almost -- was it the same when
9 the water's on them, very close to each other. So, --
10 and the times for lighting up is almost identical. So,
11 they have -- the stress level is basically the same on
12 all the boilers.
13 MR. HISLOP: Okay.
14 MR. SOPP: So, I would be very careful, but I
15 -- I assume that this has been -- I mean, it will be
16 tested and everything will be tested. So that, I can
17 understand if people are not willing to -- or want to
18 do -- I would -- I wouldn't be feeling comfortable
19 going down there and lighting up these boilers again.
20 MR. HISLOP: Okay.
21 MR. SOPP: No.
22 MR. HISLOP: Thank you. No more questions.
23 MR. RILEY: John Riley.
24 One loose end, please. You mentioned the
25 evaporator cleaning acid getting in --
26 MR. SOPP: Yeah. Right.
27 MR. RILEY: -- to which boiler again was it,
28 please?
29 MR. SOPP: 24.
30 MR. RILEY: It was 24.
31 MR. SOPP: Yeah.
32 MR. RILEY: And you referred to a study. Was
33 that --
34 MR. SOPP: We done a study after that
35 because, you know, suddenly at night, I read in this
36 report acid was pumped in instead of, I think it was
37 going to be inject phosphate into the boiler and they
38 took the drum standing next to it and they pumped this
39 in, and it started to smell like ammonia down there,
40 strong ammonia smell in the engine room, and then
41 shortly afterwards, it started to like -- all of it,
42 the whole furnace area was exposed and the tubes and
43 all of it.
44 MR. RILEY: You referred to a study.
45 MR. SOPP: It was done as --
46 MR. RILEY: Who -- who by, please? Was that
47 Drew -- did Drew, Hammeroid do that study?
48 MR. SOPP: I think Drew was involved in it,
49 yes. But I -- I don't -- I'm not 100 percent sure, but

1 I -- Drew was there and Drew did the study on it or
2 gave a report on it.
3 MR. RILEY: And approximately when was this
4 again?
5 MR. SOPP: Late '81 or mid-'81.
6 MR. RILEY: Thank you. That's all.
7 MR. SOPP: No. It must have been before
8 middle of '81 because I started there in July of '81,
9 and this was -- I think it happened in May of '81
10 actually.
11 MR. RILEY: Thank you.
12 MR. ROTH-ROFFY: Tom Roth-Roffy. Just to
13 follow up on Kevin's question about the discussions
14 about change of class. You said you were not involved
15 in those discussions. Can you recall who might have
16 been involved in those discussions?
17 MR. SOPP: Yes. Sven Dahl. He was the
18 senior vice president.
19 MR. ROTH-ROFFY: And do you have any idea why
20 they might have been considering that?
21 MR. SOPP: I think it was more -- I don't
22 really know for sure, but I heard it was something with
23 money. It was -- one class was less expensive than the
24 other one, but I don't know for sure.
25 MR. ROTH-ROFFY: Okay. That's all I have.
26 Anybody else?
27 (No response)
28 MR. ROTH-ROFFY: Ken Olsen?
29 MR. OLSEN: No, no more questions at this
30 time.
31 MR. SOPP: Okay.
32 MR. ROTH-ROFFY: Okay. I think we've made it
33 before the end of the tape. It's about 5:00 and
34 that'll conclude our interview of Mr. Per Sopp.
35 Thank you very much, sir, for coming down to
36 see us.
37 MR. SOPP: Thank you.
38 (Whereupon, at 5:00 p.m., the Investigative
39 Interview of Per Sop, Field Service Manager,
40 Caterpillar Diesel, was concluded.)
41
42
43
44
45
46
47
48
49

1
2
3