

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

* * * * *

Investigation of: *

ENBRIDGE OIL SPILL
MARSHALL, MICHIGAN

*
*
* Docket No.: DCA-10-MP-007
*
*

* * * * *

Interview of: DARIN PARSONS

Crowne
Edmonton,

Plaza Hotel
Canada

Friday
December

17, 2010

The above-captioned matter convened, pursuant to notice.

BEFORE: MATTHEW NICHOLSON
Investigator-in-Charge

APPEARANCES:

MATTHEW NICHOLSON, Investigator-in-Charge
National Transportation Safety Board
Office of Railroad, Pipeline, and
Hazardous Materials Investigations

[REDACTED]

RAVINDRA CHHATRE, Accident Investigator
National Transportation Safety Board
Office of Railroad, Pipeline, and
Hazardous Materials Investigations

[REDACTED]

BRIAN PIERZINA, Engineer

[REDACTED]

JAY JOHNSON, Senior Compliance Specialist
Enbridge Energy Company, Inc.

[REDACTED]

KAREN BUTLER, Supervisor of Accident Investigation

[REDACTED]

CURT GOESON, Control Center Supervisor

[REDACTED]

| <u>ITEM</u> | <u>I N D E X</u> | <u>PAGE</u> |
|----------------------------|------------------|-------------|
| Interview of Darin Parsons | | |
| By Ms. Butler | | 7 |
| By Mr. Johnson | | 19 |
| By Ms. Butler | | 20 |
| By Mr. Pierzina | | 28 |
| By Mr. Chhatre | | 30 |
| By Mr. Nicholson | | 48 |
| By Mr. Johnson | | 49 |
| By Mr. Nicholson | | 50 |
| By Mr. Chhatre | | 65 |
| By Mr. Nicholson | | 65 |
| By Mr. Johnson | | 72 |
| By Mr. Nicholson | | 73 |
| By Ms. Butler | | 81 |
| By Mr. Nicholson | | 83 |
| By Mr. Johnson | | 92 |
| By Mr. Nicholson | | 93 |
| By Mr. Johnson | | 97 |
| By Ms. Butler | | 98 |
| By Mr. Nicholson | | 100 |
| By Ms. Butler | | 106 |

| <u>ITEM</u> | <u>I N D E X</u> | <u>PAGE</u> |
|----------------------------|------------------|-------------|
| Interview of Darin Parsons | | |
| By | Mr. Johnson | 107 |
| By | Ms. Butler | 108 |
| By | Mr. Pierzina | 121 |
| By | Mr. Chhatre | 123 |
| By | Mr. Johnson | 124 |
| By | Mr. Chhatre | 125 |
| By | Mr. Nicholson | 129 |
| By | Ms. Butler | 140 |

I N T E R V I E W

1
2 MR. NICHOLSON: Good morning. Today is Friday,
3 December 17th, 2010. My name is Matthew Nicholson, and I am an
4 investigator with the National Transportation Safety Board in
5 Washington, D.C.

6 We are currently in Edmonton, Canada, at the Crown Plaza
7 Hotel. We are meeting in regards to the plant-wide spill in
8 Marshall, Michigan, that occurred on the 25th of July 2010.

9 This is Case Number DCA-10-MP-007.

10 Before we begin, Darin, I'd like you to state your full
11 name and whether we have the permission to record this interview.

12 MR. PARSONS: My name is Darin Parsons, D-a-r-i-n
13 P-a-r-s-o-n-s, and you do have permission --

14 MR. NICHOLSON: Okay.

15 MR. PARSONS: -- to record this conversation.

16 MR. NICHOLSON: Also, if you'd like, you are permitted
17 to have one other person present during these interviews. This is
18 a person of your choice, friend, family, supervisor, nobody at
19 all. Please confirm for the record whom you have chosen to be
20 that person?

21 MR. PARSONS: I've chosen Mr. Curt Goeson to attend.

22 MR. NICHOLSON: Okay. At this point I think we'll go
23 around the room. We'll have each person introduce themselves.
24 State your name, spelling of your name, the organization you
25 represent, your title, and business email or phone number that we

1 can reach you at. I'll start. We'll go to my left.

2 My name is Matthew Nicholson, M-a-t-t-h-e-w
3 N-i-c-h-o-l-s-o-n. I'm with the NTSB in Washington, D.C. I am an
4 investigator, and my contact information is

5 [REDACTED]

6 MR. CHHATRE: My name is Ravie Chhatre. That's spelled
7 R-a-v-i-n-d-r-a, last name Chhatre, C, Charlie, h, Harry, h,
8 Harry, a, apple, t, Tom, r, Robert, e, Edwards. I'm accident
9 investigator with National Transportation Safety Board,
10 Washington, D.C. My email is [REDACTED], and I'm
11 here to assist IIC Matt Nicholson.

12 MR. PIERZINA: And I'm Brian Pierzina, an engineer with
13 the PHMSA [REDACTED]. That's B-r-i-a-n
14 P-i-e-r-z-i-n-a, and my email is [REDACTED].

15 MR. NICHOLSON: Go to you, Darin.

16 MR. PARSONS: Oh. My name is Darin Parsons, D-a-r-i-n
17 P-a-r-s-o-n-s. I'm with Enbridge Pipelines as a shift lead.

18 MR. JOHNSON: And Jay Johnson, Senior Compliance
19 Specialist in the Pipeline Safety Compliance Group for Enbridge in
20 [REDACTED], [REDACTED] and that's [REDACTED]

21 [REDACTED]

22 MS. BUTLER: I'm Karen Butler with the [REDACTED]
23 [REDACTED]. I'm the supervisor over accident
24 investigations. My email address is Karen, [REDACTED],

25 [REDACTED]

1 MR. NICHOLSON: Okay. And, Darin, I don't think we got
2 contact information from you on the record.

3 MR. PARSONS: No, sorry. My email address is
4 [REDACTED]. That's [REDACTED]
5 [REDACTED].

6 MR. NICHOLSON: Okay. Thank you.

7 Karen, at this time, we don't have Curt in the room if
8 you'd like to go ahead and ask your questions.

9 MS. BUTLER: Okay.

10 INTERVIEW OF DARIN PARSONS

11 BY MS. BUTLER:

12 Q. Darin, I just need to explain to you what this is about
13 to start off with and that is we're going to be asking you some
14 general questions about supervision and leadership, maybe a little
15 bit about your roles and responsibilities, a little bit about what
16 a shift lead does. And we want you to have the freedom to answer
17 that without your supervisor in your room. And it's my
18 understanding that you do report directly to Curt, right?

19 A. That is correct.

20 Q. Okay. Now, just so you have a matter of process and
21 that you're clear about that, should you say anything that could
22 be viewed later as being sensitive to your job position or like if
23 you were to say something as leadership and you're worried about
24 being held accountable for that or in some way penalized for that,
25 we do have the option of redacting part of the transcript, and

1 what I mean by that is we don't take it out, but we make it so
2 it's not visible. All right?

3 A. Okay.

4 Q. Okay. So, the other question I would ask -- I would
5 say, or ask you and let you know is that if you have any concerns
6 about Jay being in the room as an Enbridge representative, you're
7 free to let us know at this time.

8 A. No, no reservations.

9 Q. Okay. All right. So, with that we'll just start out
10 with a couple of questions.

11 Do you view the MBS analysts as experts in hydraulics?

12 A. No.

13 Q. What do you view the MBS analysts as?

14 A. Well, I guess from a shift lead perspective, each
15 analyst obviously brings something different to the table, and
16 based on their years of experience whether they've been in the
17 control center or have directly just become, came into the MBS
18 analyst role. But to answer your question, Karen, their role
19 there is to monitor the volume in balance on your line and you
20 notify us of what they find when we do receive an alarm.

21 Q. Okay. So, what do you view your responsibility in the
22 control room as?

23 A. As a shift lead in regards to an MBS alarm, Karen?

24 Q. Actually, let's just say --

25 A. Or --

1 Q. -- in general.

2 A. In general? Okay. My rule, the way I view it as a
3 shift lead I'm there to first and foremost be a people leader to
4 the operators in the room and then also provide support where
5 needed, whether that's technical support, whether that's, I guess
6 support as a leader with personal issues or anything that is
7 involved in the control center.

8 Q. Okay. And have you operated 6B before? You may have
9 told us previously, I've just forgotten.

10 A. No, I haven't.

11 Q. Okay. And when an MBS alarm does come in, what is your
12 understanding of how the procedures should work?

13 A. My understanding of the procedure, when we receive a MBS
14 alarm, the operator is to notify the shift leads. The shift leads
15 would quickly view the trends that are available to us through the
16 MBS system and from our side of things. If it doesn't look like
17 it's recovering, we are to notify the MBS analyst and they are to
18 review it from their end.

19 Q. Okay. So, if an MBS analyst comes back with the
20 diagnosis of column separation or the indication of column
21 separation, what would you do with that, traditionally?

22 A. If the diagnosis is column separation? Then we --

23 Q. Right.

24 A. We would calculate, try to calculate the volume on how
25 much it would take to put the column back together.

1 Q. Is that something you would have done prior to Marshall
2 as well as after?

3 A. You mean like, I'm sorry, months before or like
4 traditionally?

5 Q. Yes.

6 A. Yes.

7 Q. Okay. All right. So, regarding technical information,
8 what training have they given to you to technically perform in
9 your position?

10 A. There was no formal training in our position as shift
11 leads for our position. A lot of the training and experience came
12 from operating terminals and pipelines prior to.

13 Q. So, since normally we would know a little bit more going
14 into an interview, and I apologize for not recognizing whether
15 your background was terminals or pipeline, could you give me a
16 little history on your background?

17 A. Sure. Predominantly, my experience would be terminals.
18 I spent four or five years on a terminal system with some small
19 pipelines attached to the system, very small, and I spent a year
20 operating gas facilities, more pipelines, not terminals. And then
21 I moved over to pipelines for a year, Enbridge pipelines for a
22 year and operated there.

23 Q. And as a shift lead you do rotate, right, between
24 pipeline and terminals, or --

25 A. That's correct.

1 Q. Okay. All right. Regarding your supervision, when you
2 needed technical support in various aspects, do you feel that when
3 you go to your supervision for that technical support you receive
4 it?

5 A. I, personally, Karen, haven't really gone to our
6 supervisors for technical support. We really rely on each other
7 for support, and when I say each other, I mean the other shift
8 leads, as well as our technical analysts during our admins, or
9 sorry, on our admin staff, you know, if we needed any technical
10 support we would go to them.

11 Q. Okay. So, do you consider certain operators in the room
12 part of your technical support as well?

13 A. Yes, I do.

14 Q. Are there certain operators on certain shifts that you
15 consider aces or that you would frequently go to with a question?

16 A. Yes, I do.

17 Q. Can you tell me who they are?

18 A. Oh, off the top of my head I can -- Dean Cavsant is one.
19 He's very strong.

20 MR. NICHOLSON: Can we get the spelling on that, Darin?

21 MR. PARSONS: Dean, D-e-a-n, Cavsant, C-a-v-s-a-n-t.

22 Oh, putting me on the spot here. I can't, yeah, I --

23 BY MS. BUTLER:

24 Q. That's okay. If that --

25 A. I don't -- I think every shift, Karen, just to answer

1 that, every shift would, you know who would be your technically
2 stronger operators and you would tend to lean on them.

3 Q. Okay. Do you think there's a common characteristic with
4 those type of people?

5 A. Yes.

6 Q. And what do you think that common characteristic is?

7 A. Thorough.

8 Q. Okay. So, does thorough mean to you that they check
9 into all the details?

10 A. Yeah. They --

11 Q. Okay.

12 A. They, I guess they don't stop learning.

13 Q. Okay. So, if they were to have a typical shutdown and
14 an MBS alarm of five minutes and then that cleared, would they
15 traditionally go farther, or does it just depend on the pipeline
16 they're on?

17 A. That's hard to answer, I guess, Karen, because, you
18 know, we don't typically see them operate and watch what they do
19 after say an MBS alarm.

20 Q. Okay.

21 A. I could suspect or, you know, that they would go
22 farther, but, you know, that's all speculation.

23 Q. That's fine.

24 MR. NICHOLSON: Karen, I'm going to jump in here. Are
25 you finished with questions that might be sensitive to Curt's

1 presence?

2 MS. BUTLER: No, headed into it.

3 BY MS. BUTLER:

4 Q. So, based on what happened on that particular Marshall
5 event, were there significant changes in the control room?

6 A. Sorry, say that again, Karen.

7 Q. Based on what happened in Marshall, as of Marshall, have
8 there been significant changes in the control room?

9 A. To be honest I can't comment on that, Karen. I've been
10 removed from the control center since the incident in Marshall.

11 Q. Okay.

12 A. So, I haven't been a part of that since --

13 Q. Okay. How was that explained to you?

14 A. How -- why I'd been removed?

15 Q. Right.

16 A. I'd been removed just for investigative purposes.

17 Q. Okay. And do you know, was there any investigation at
18 all that happened prior to you being removed?

19 A. Not that I'm aware of, no.

20 Q. Okay. Regarding your particular job, do you perform
21 performance reviews?

22 A. Yes, I do.

23 Q. Okay. And on your performance review, what are some
24 metrics that you look at to evaluate the controllers that report
25 to you or you would be asked to evaluate?

1 A. We would look at a range of things and I guess from a
2 high level we'd break it down to what they do, and that would be
3 more of the technical work. Their, you know, their performance
4 and how they do, and that would be their personality, their
5 response, their, whether they're positive or negative in the
6 control center, you know. Are they supportive of Enbridge values,
7 those types of things.

8 Q. Okay. And how are you evaluated? On what metrics are
9 you evaluated?

10 A. I would believe I'm evaluated the same way based on
11 technical skills and, or, sorry, based on my what and my how. And
12 my what and my how would probably be different than what an
13 operator has for theirs.

14 Q. Okay. Are there categories in those what and hows?

15 A. Yeah, there's just competencies that we go through, you
16 know. It's your job profile. Is it your technical skills,
17 communication skills?

18 Q. Are those weighted differently?

19 A. No.

20 Q. Okay. So, each one would have equal value in as far as
21 your overall rating.

22 A. Yes.

23 Q. Okay. And do those feed into a bonus structure?

24 A. Yes, they would.

25 Q. Okay. And with that then I think that we have all but

1 one question where we can bring Curt back in the room, okay?

2 A. Sure.

3 Q. Take a deep breath. And that would be regarding
4 supervisory changes or shift lead changes, is there anything that
5 you recommended as an enhancement or that you think would say take
6 the control room to the next level?

7 A. I think from a shift lead enhancement, having, I guess
8 having more of a defined role. I really find that it was, and to
9 this day is still clouded to some extent as to what our actual
10 position is. The job in years past was very technical, and the
11 job as I understand it is more, or less technical and more people
12 orientated, more coaching, and I really feel that you need a very
13 strong balance between the technical role as well as the people
14 role and having the shift lead perform both roles is very, I
15 guess, hard to do.

16 Q. Is workload a part of that?

17 A. Absolutely.

18 Q. Okay. So, are you overloaded?

19 A. Yes.

20 Q. Okay. Based on what you've just said about shift leads
21 being a live coach and it's my understanding that several
22 controllers are no longer in the control room as well, are you
23 guys kept together on common projects, those of you that are not
24 in the control room any longer?

25 A. No, we're not.

1 Q. Is anybody being your live coach now?

2 A. I guess it would be Curt. If I have anything to talk
3 to, I talk to Curt about it, as my supervisor.

4 Q. Okay. Have you been asked to continue your role as live
5 coaching through this difficult time for the other controllers?

6 A. No.

7 Q. Okay.

8 MS. BUTLER: I'm done with my supervisory. So, you can
9 bring Curt back in.

10 BY MS. BUTLER:

11 Q. Thank you very much.

12 A. Thanks, Karen.

13 MR. JOHNSON: And Curt is on his way over and we can
14 continue along as long as Darin is okay with that.

15 MR. PARSONS: I'm fine.

16 MR. JOHNSON: Okay.

17 MR. PARSONS: I'm comfortable.

18 MR. NICHOLSON: You can proceed, Karen, you've got 20
19 minutes.

20 MS. BUTLER: Okay, you want me to continue, or --

21 MR. NICHOLSON: Yes, go right ahead, why don't you?

22 MS. BUTLER: Okay.

23 BY MS. BUTLER:

24 Q. So, regarding things that happened on Marshall in that
25 particular day, is there anything that you would tell us should be

1 implemented, because our overall goal is to make sure that the
2 public is safer as a result of this investigation, but also to
3 make sure that you as controllers and shift leads are put in a
4 position to have greater success as a result of this
5 investigation.

6 So, is there anything that comes to mind that you would
7 I guess only say, you know, if we had implemented this or if we
8 had changed the specific aspect of what we do could have helped
9 the situation on that day? Meaning by helped that you could have
10 recognized a leak in a quicker fashion?

11 A. That's a tough one to answer because obviously there was
12 several things that probably didn't go as it should and, yeah, I,
13 you know, to make any recommendations or changes, I think there
14 was -- communication comes to mind. I think just a lack of
15 communication, you know, whether it was from the field or from
16 external parties that happened to receive phone calls or whether
17 it was internal, communication really comes to mind for me.

18 Q. Okay. Is there anything else that --

19 MR. NICHOLSON: Karen, I'm going to interrupt for a
20 second. Curt is in the room. I want to get him on tape if we
21 could.

22 MS. BUTLER: Great.

23 MR. NICHOLSON: Curt, can you introduce yourself?

24 MR. GOESON: I'm Curt Goeson, control center supervisor,
25 Enbridge Pipelines, Contact Information. Curt, C-u-r-t, dot

1 Goeson, G-o-e-s-o-n, @ enbridge.com.

2 MR. NICHOLSON: Okay. Thank you. Go ahead Karen.

3 BY MS. BUTLER:

4 Q. Okay. So, in communication, just working to improve
5 that, I take it from your answer you meant both external and
6 internal.

7 A. Yes.

8 Q. Is there anything else that comes to mind that, you
9 know, when we look at hazards and barriers, you try to put up a
10 barrier for every recognized hazard so to speak so that they can't
11 slip through and accumulate in an accident. So, from that
12 perspective, what else do you think could have been put in or
13 could be implemented as a barrier to prevent what happened from
14 happening again?

15 A. Well, I think just looking at it now, you know, I guess
16 more clear checklist or, you know, something to look at. I mean
17 we have procedures, we have -- and they're there for a reason.
18 However, you know, almost a formal checklist would certainly help.

19 Q. Do you mean between shifts or do you mean between shifts
20 and other ways, too, or --

21 A. No, I think in general every shift or, you know, much
22 like a procedure. I think having something in place where, you
23 know, have you checked this, have you checked that, you know, when
24 you do receive an MBS alarm or when you suspect a leak or when you
25 encounter an issue or anomaly on your pipeline, having that

1 checklist, you know, a very detailed, thorough checklist.

2 Q. Okay. So, could that translate to more detailed
3 procedures, or is that an incorrect interpretation of what you
4 might just have said?

5 A. No, it would be more detailed procedures.

6 Q. Okay. And anything else come to mind before we change
7 topic areas.

8 MR. JOHNSON: Maybe let me ask something, Karen, and it
9 goes right into your questioning that I didn't quite understand of
10 Darin.

11 BY MR. JOHNSON:

12 Q. As you said better communications internal and external,
13 I'm just curious as what do you mean by external?

14 A. I think just the communication, you know, another
15 pipeline company received phone calls in regards to --

16 Q. Oh.

17 A. -- an order call and yet they weren't calling us or
18 other pipelines in the vicinity saying that we were receiving an
19 order call. So --

20 Q. Yeah, I think that we would kind of all agree with that.

21 A. Right.

22 Q. I just wasn't quite sure what you mean there.

23 A. Yeah.

24 Q. If you, you know, I just, when I said external I didn't
25 know if you meant your station technicians and stuff like that,

1 but that answers the question.

2 MR. JOHNSON: So, go ahead, Karen. Sorry.

3 MS. BUTLER: No, no problem, Jay.

4 BY MS. BUTLER:

5 Q. Along those lines since Jay asked for clarification,
6 we'll just head on that path a little bit. Do you know if in the
7 past you've had better communication between say gas pipelines or
8 liquid pipelines in the area?

9 A. Yes. Yeah.

10 Q. Was it in a similar location that you're aware of?

11 A. Not that I'm aware of, Karen.

12 Q. Okay. That's fine. All right. Is there anything else
13 about the external or internal communications that we could learn
14 from you on in this particular aspect?

15 A. I think when we talk about shift leads and their roles
16 and responsibilities and I think you guys are aware that, you
17 know, each shift lead kind of has their own responsibilities, a
18 given shift, and we do help out and support each other. When
19 things like this happen, I think defining a clear cut leader or
20 someone to take the reigns on that, you know. We, Aaron and
21 myself, we both did bits and pieces of the investigation and
22 looked at it, but I think having one direction and -- I shouldn't
23 say direction, one leader throughout that process, taking over,
24 making sure that, but, and that's strictly from a shift lead
25 perspective.

1 Q. Okay. So, let me see if I can paraphrase that well and
2 I'm just testing my understanding of what you said, okay?

3 A. Sure.

4 Q. Not worried at all with any of the words you used. I
5 just want to make sure that I walk away with a clean understanding
6 of that.

7 I think what you're telling us is when you're doing
8 communications about -- on a significant issue, the more you can
9 keep a same group together as they work through that issue the
10 less chance there is of miscommunication. Is that a fair summary
11 of what you were at, or is there more to the equation than I
12 understood there?

13 A. No, that would be fair, Karen.

14 Q. Okay. All right. So, as the shift lead, do you
15 frequently review pressures and flows?

16 A. Not frequently, no, just when we need to get involved in
17 an incident or, you know, for investigative purposes.

18 Q. Would it have standardly been something when you shut
19 down a pipeline that you look at the pressures associated with
20 that shutdown?

21 A. Not unless the operator got us involved.

22 Q. Okay. And so based on your understanding of how it
23 really works in the control room, when do you think an operator
24 would get you involved on a shutdown?

25 A. If they suspected, you know, something that was

1 abnormal, unexplainable to them.

2 Q. Okay. All right. And did any of that occur on this
3 particular shift for you? Did anybody bring anything like that to
4 your attention?

5 A. After the startup, the first startup.

6 Q. After the first startup. Can you talk me through that
7 event?

8 A. After the first startup we, when I say we, Aaron Zimmell
9 and I, received a phone call from one of the operators, Mr. Tim
10 Chubb, saying that they had tried starting up, or they were
11 starting up the line and received a ten minute MBS alarm and that
12 he was at his ten minutes and that's my first knowledge of
13 anything that was abnormal that night.

14 Q. Did you have any information from the previous shift
15 handed to you?

16 A. No.

17 Q. Okay. So, you weren't aware of all of the column
18 separations that had occurred at the shutdown prior to your shift?

19 A. That's correct.

20 Q. Okay. Is liquid fraction display something you would
21 traditionally review when you come in and try to get acclimated?

22 A. No.

23 Q. Okay. What do you do when you first come in on shift to
24 kind of get a feel for all the pipelines or terminals in the room?

25 A. We just take a rundown from the other shift lead that

1 was on the shift previous and they would just highlight -- usually
2 we write down this information on a piece of paper of the, some of
3 the things that went on that shift and we would just review it
4 verbally and if things had to be explained using our SCADA system,
5 then we would go through that.

6 Q. Has the liquid fraction display ever really been
7 explained to you?

8 A. Not -- no.

9 Q. Do you traditionally use it as a tool at all?

10 A. I don't.

11 Q. Okay. All right. So, if I understand this right, the
12 previous shift lead didn't really pass you any information on the
13 fact that the shutdown had an MBS alarm after it. So, when you
14 would go to the next shift, did you pass on issues associated with
15 MBS alarms?

16 A. Yes, I did.

17 Q. Okay. Now, if an MBS alarm had come in and cleared,
18 would you have traditionally passed that on to your next shift
19 lead?

20 A. Traditionally, no.

21 Q. Okay. Is that something that has changed now?

22 A. I'm not aware of --

23 Q. Okay.

24 A. -- any changes right now, Karen.

25 Q. All right. That was unfair. Sorry, I forgot. All

1 right. The priority associated with alarms, have you ever had any
2 input into whether a particular alarm is a priority 4 or priority
3 8 or --

4 A. I'm not too sure I understand what you're referring to.
5 Like the severity of a type of alarm we receive?

6 Q. When you get an alarm, you know, it'll say beside the
7 alarm descriptor as it comes in the cue --

8 A. Yeah.

9 Q. You know, it'll say F8, F4, F7, F6.

10 A. Yeah.

11 Q. So, have you ever had any input into how those
12 particular alarms are categorized?

13 A. No.

14 Q. Okay. Have you ever had any input into when a string of
15 words comes in, I call that the descriptor for a particular alarm
16 or event, have you ever had any input into what's said in that
17 text?

18 A. Only from -- only on terminals.

19 Q. Okay. All right. Have you ever noticed any time
20 discrepancy? And I'm going to explain that. The time discrepancy
21 I'm specifically talking about would be where say you have an
22 event or an alarm that shows up and it has a time stamp but you
23 didn't necessarily see it at that time stamp. And what I mean by
24 see it is I don't mean that you just didn't have a chance to look
25 at it, I meant that say a color change on another screen or the

1 fact that it was displayed at all in the alarm cue didn't seem to
2 coincide with the timing on that time stamp.

3 A. No, Karen.

4 Q. Have you ever seen -- you traditionally watch any starts
5 or stops free of the operators?

6 A. Yes, not only -- I only will view a startup if I know
7 that there was something wrong or if I was involved with it, I
8 would typically go, but in general on any given day when they're,
9 when the mainline operators are starting and stopping their lines,
10 I don't typically follow it.

11 Q. Okay. Have you noticed in the past anything in those
12 events that you did do where say the console operator might send a
13 command that something in the field had already happened, like,
14 for example, a unit had shut down on those sections that they had
15 send a stop command from the console at almost the same time?

16 A. No, I have never seen it unfold real time, but looking
17 back at previous incidents or when we're doing investigations,
18 I've seen it.

19 Q. Okay. So, can you think of an investigation where you
20 did see it?

21 A. No, Karen.

22 Q. Okay. All right. All right. So, have you noticed on
23 your particular shift as the shift lead, anything that would say
24 in the alarm cue system, might say our track (ph.) too busy to
25 process?

1 A. No.

2 Q. Okay. Have you traditionally seen alarms in the alarm
3 cue that say things like, I'm thinking about the LPM system and it
4 might say that it had invalid pressures?

5 A. No. You know, typically, Karen, the shift leads won't
6 be viewing the alarm displays. So, we wouldn't be receiving that.
7 The operators would be receiving those, but --

8 Q. Okay.

9 A. But I have -- was never informed of any of those --

10 Q. Okay.

11 A. -- those type of words.

12 Q. So, an operator didn't traditionally bring those to your
13 attention.

14 A. No.

15 Q. Okay. All right. Do you know, has an operator every
16 brought to your attention that he's had to reboot a particular
17 system?

18 A. Yes.

19 Q. Okay. Have you had to reboot systems?

20 A. Yes, I have.

21 Q. Do you know what causes that?

22 A. Not specifically. I know it's just one of those things
23 where a system just needs to be rebooted just to kind of refresh.
24 No technical explanation given from SCADA or anything on that, but
25 it's one of those things where they just need to be refreshed.

1 Q. Okay. And have you ever been given any guidance on
2 under what circumstances or when you should be entering any
3 changes to pressure allowable limits?

4 A. The only time that I'm aware of of when we change our
5 pressure allowables --

6 Q. Um-hum.

7 A. -- is when there's nothing happening on the lines. So,
8 no pumps are being started. The line is not being started up.
9 And it's, you know, you have the time, you have the resources to
10 do it without impact.

11 Q. Okay. So, do you think that's something that's been
12 commonly understood between shift leads, or do you have any
13 knowledge of that?

14 A. I think it's commonly understood by the shift leads.

15 Q. Okay. All right. So, based on, I think the information
16 that you've provided, and I greatly appreciate it, there's really
17 only one other question I have, and that would be on the internal
18 investigation, were you interviewed by Enbridge in the internal
19 investigation?

20 A. Yes, I was.

21 Q. Okay. And was that transcribed, to your knowledge, or
22 recorded?

23 A. I believe it was recorded.

24 Q. Okay. Now, I think that's all I have. Thank you very
25 much.

1 A. Thanks, Karen.

2 MR. NICHOLSON: Brian, do you want --

3 MR. PIERZINA: Yep, you bet.

4 BY MR. PIERZINA:

5 Q. Just to back up, Darin, a little bit, you had mentioned
6 that if call on separation -- if you have a call on separation,
7 you try to calculate a volume to put it back together, how often
8 would you do that? Give me a sense for how often you might have
9 to do that.

10 A. Maybe once or twice every couple of weeks.

11 Q. Okay. So --

12 A. Yeah, like from a column separation usually the
13 operators would have calculated that, but as a shift lead, we
14 typically wouldn't get involved with the calculations of --

15 Q. Okay. So, that's something the operators, you would
16 expect most operators do.

17 A. Yeah.

18 Q. And if one was unsure, you might help him.

19 A. Absolutely.

20 Q. Okay. And also just to back up a little bit, on a shift
21 change, so if you're taking the F&CC end of the control center,
22 you do your rundown with the person that was doing the F&CC, is
23 that how that works?

24 A. Yes.

25 Q. So, in your shift change going on from Sunday night to,

1 or Sunday afternoon to Monday, or Sunday night, you probably
2 wouldn't have talked anything about the line 6B shutdown, right,
3 because that was the other --

4 A. That's correct.

5 Q. -- shift lead's. Okay. Who was the shift lead you took
6 pass down from?

7 A. Hollister Ewing (ph.).

8 Q. Okay. I don't know the right way to ask this question,
9 but from your understanding if an MBS alarm clears, does that mean
10 that the problem has gone away?

11 A. In my understanding, if the MBS alarm clear, it is
12 because it's explained. So, it, like so in the model, so if it
13 can calculate pressure or flow on a line, that it's accounted for.

14 Q. Okay. So, basically, if the model doesn't detect an
15 imbalance, then it's okay.

16 A. That's correct.

17 Q. All right. So, does it say anything about why the alarm
18 began in your mind?

19 A. Something on the model -- there's an imbalance on the
20 system and that's why the alarm does come in.

21 Q. Okay.

22 A. So, something has to trigger that. So, whether it's a
23 pressure, a flow, something has caused that alarm. So, that's my
24 view of it is, you know, what has happened on that system. It is
25 alarmed and then view it.

1 Q. Okay. Thanks. Were there any coincidental alarms or
2 issues going on that you were dealing with beyond the 6B restart
3 issue?

4 A. With 6B in particular?

5 Q. Oh, no, just --

6 A. In general.

7 Q. -- in general, you know, with all the other consoles
8 and --

9 A. Not that I'm aware of, no.

10 Q. Nothing that you're --

11 MR. PIERZINA: All right. I think I'll pass it on.

12 MR. NICHOLSON: Okay. Ravie.

13 BY MR. CHHATRE:

14 Q. On the day of the accident, how was your workload or
15 classify that to your other days.

16 A. The workload of my shift that night was fairly light.

17 Q. As you mentioned previous, Lee did not tell you there
18 was a mass balance alarm and it cleared out, but then you also
19 mentioned that when mass balance alarm clears out, you wouldn't be
20 passing that out to your next person either.

21 A. No.

22 Q. Is that pretty standard procedure or somehow practice
23 commonly expected?

24 A. Yeah. Quite often we wouldn't, you know, we would hear
25 that it cleared and we'd just leave it after that.

1 Q. So, what kind of information will be passed on the next
2 lead?

3 A. Did I pass on?

4 Q. No, I say what kind of information is --

5 A. Oh.

6 Q. -- passed on?

7 A. Just, I guess with technical, any technical things that
8 went on, whether there was certain instructions for pipelines that
9 we needed to follow for the night, whether there's a peg run or we
10 were tracking a batch, sampling requests; just small things that
11 needed to be passed on that's just kind of gone higher than the
12 operator level, just had more awareness. Things like that.
13 Anything that was abnormal that went on, whether there was an
14 older call or anything like that, we'd pass that information.

15 Q. Now, mass balance alarms, are they common or they are --
16 do you consider kind of an abnormal?

17 A. They're common.

18 Q. And as a lead, how familiar you are with like the lines
19 or the operators reporting to you are working on, are responsible
20 for.

21 A. I'm sorry, how familiar am I with the lines that --

22 Q. Your staff or your operators are responsible for.

23 A. Yeah. How familiar am I with those lines?

24 Q. Yes.

25 A. I'm familiar with two of the lines that I had operated.

1 Actually, sorry, three of the lines, but the other lines
2 themselves I'm not familiar with it from a technical standpoint.
3 I don't know all the stations on the pipelines. I don't know the
4 elevation profile of all the pipelines. That would be my --

5 Q. In your opinion, what is the cause for the mass balance
6 alarms?

7 A. In my opinion, an MBS alarm is the imbalance of your
8 volume in and out of your line.

9 Q. And what would cause that in your opinion?

10 A. What can cause that? It could be -- you may not be
11 getting the volume in and the volume out --

12 Q. So, that's --

13 A. It can be a leak. It could be a transmitter problem,
14 whether it's --

15 Q. Um-hum.

16 A. -- a transmitter, it could be like a pressure
17 transmitter. It could be --

18 Q. So --

19 A. -- a full transmitter.

20 Q. Equipment was bad is that was you're saying?

21 A. Pardon me?

22 Q. Equipment was bad?

23 A. Yeah, equipment. Yeah, equipment failure. It could be
24 the wrong density.

25 Q. Equipment failure meaning the signals you are getting

1 are inaccurate or -- I'm sorry.

2 A. Yeah.

3 Q. I didn't quite get what -- how equipment failure can
4 cause the mass balance. I'd like to understand that.

5 A. So, say if your MBS system uses a certain pressure
6 transmitter somewhere on your line and that pressure transmitter
7 fails due to -- it's too cold or it just happens to fail.

8 Q. Okay.

9 A. Then the transmitter no longer is part of the MBS
10 balance and then it would trigger an alarm.

11 Q. So, would you consider that like a false alarm?
12 Actually you don't have a --

13 A. Right. After investigation you find out the transmitter
14 is out and, yeah, that would be a false alarm.

15 Q. All right. What else would trigger it?

16 A. It could be a leak. It could be equipment failure. It
17 could be the density temperatures of --

18 Q. Okay.

19 A. -- your line. So, another transmitter, I guess.

20 Q. Okay.

21 A. If it fails, if the wrong density is entered. It could
22 be DRA, drag reducing agent.

23 Q. Reducing, okay.

24 A. I mean that could affect it and give you an MBS alarm.

25 Q. And who is expected to investigate that and tell you

1 what's causing the mass balance?

2 A. I would expect the MBS analyst to be able to explain
3 what the cause is and if it was a pressure, then we could get
4 involved with the investigation.

5 Q. So, in your mind, the role of the -- I guess the MBS
6 analyst is to investigate and find out what's causing the alarm
7 that you have seen on the console.

8 A. Right. So, what, yeah. Yes.

9 Q. The reason I asked you that again because we were told
10 by the analyst that we -- that basically they're only asked if the
11 model is working or the model is not working.

12 A. Okay.

13 Q. Is root cause for the alarm, does that cause in the
14 model would be in your opinion or is that more investigation than
15 just model working.

16 A. I'm sorry, say that again Rav.

17 Q. Okay. You said you, in your opinion --

18 A. Yeah.

19 Q. -- you expect the --

20 A. Analyst.

21 Q. -- analyst to investigate the cause for the mass balance
22 alarm.

23 A. Yeah.

24 Q. Like equipment failure or leak or drag --

25 A. Yeah.

1 Q. -- (indiscernible), I guess more or less whatever the
2 reason may be or the transfusers (ph.), that kind of stuff, and
3 you expect, in your opinion, the lead, you expect that the mass
4 balance analyst would investigate that and tell you that all is
5 good, bad, and the cause for it.

6 A. That's right. And if it was --

7 Q. And --

8 A. If it was a pressure problem or if they couldn't explain
9 it, we would get involved further to investigate.

10 Q. Okay. And would you consider that investigation as part
11 of telling them the model is working or the model is not working?
12 In your opinion when analyst come --

13 A. Yeah.

14 Q. -- to you and tells you that, well, model is working,
15 what does that mean to you?

16 A. If the model is working, then it, yeah, I guess I'm not
17 too sure what --

18 Q. Well, I'm just repeat that.

19 A. Yes. Yeah.

20 Q. Because that I was told yesterday --

21 A. Right.

22 Q. -- that all the analysts consider their
23 responsibility as --

24 A. Right.

25 Q. -- when the --

1 A. Whether to say --

2 Q. -- mass balance alarm comes --

3 A. -- it's working or not.

4 Q. -- here and this, everything else --

5 A. Yeah.

6 Q. -- is the operator's responsibility. What I hear you
7 telling me as a lead --

8 A. Yeah.

9 Q. -- that you expect the mass balance analyst to come and
10 tell you when you contact them, hey, I'm getting mass balance
11 alarm.

12 A. Yeah.

13 Q. You would expect the specialist to come back and tell
14 you, look, if a failure is causing it or no it looks like
15 (indiscernible) or maybe some transfusers are a problem.

16 A. Right.

17 Q. And so I'm seeing that as a disconnect. I just want to
18 make sure --

19 A. Yeah. No, that's --

20 Q. -- that I understand --

21 A. That's the way I've always approached that position.

22 MR. GOESON: May I?

23 MR. NICHOLSON: Curt has a comment to make. Go ahead,
24 Curt. Just speak up.

25 MR. GOESON: You're referencing changes that have been

1 implemented in the communication since Darin has been gone.

2 MR. CHHATRE: No, I was not -- the people I talked to do
3 not know what changes have been made. So, I'm not familiar with
4 the changes that --

5 MR. NICHOLSON: Be more -- the changes that are made
6 are --

7 MR. GOESON: The request to minimize the amount of
8 information coming from the MBS analyst, whether the model is
9 working or not, were implemented post 6B.

10 MR. CHHATRE: Okay. But I'm --

11 MR. GOESON: Post incident.

12 MR. NICHOLSON: But I'll add to that your procedure
13 reads, and I believe --

14 MR. GOESON: Absolutely.

15 MR. NICHOLSON: -- it's the same procedure that was in
16 place on the 25th that the analyst just simply calls the alarm
17 valid or invalid, right? I mean nowhere in your procedure --

18 MR. GOESON: The alarm --

19 MR. NICHOLSON: -- does it say he'll offer more than
20 just the --

21 MR. GOESON: That was the intent, yeah.

22 MR. NICHOLSON: Okay.

23 MR. GOESON: Yeah. What Darin is referencing is how
24 they did it before.

25 MR. CHHATRE: Right. Pre-accident.

1 MR. GOESON: That's all. Yeah.

2 MR. CHHATRE: Yeah, pre-accident. That's where we are
3 focusing right now, pre-accident. And you're telling me post
4 accident that it's clear to the analysts that that's what they're
5 supposed to be doing? They're getting the operators that would
6 cause for the alarm?

7 MR. GOESON: No, just if the model is working or not.

8 MR. CHHATRE: So, that's -- now they are responsible for
9 telling whether the model is working or not. Okay.

10 MR. GOESON: That's the intent, yeah.

11 MR. CHHATRE: Okay.

12 MR. GOESON: I'm sorry.

13 BY MR. CHHATRE:

14 Q. So, in the past, now I'm going back to, I guess, this
15 lack of -- misunderstanding of the expectations, I guess, on both
16 sides. In the past did the analyst come and tell you what's the
17 cause for the alarm was or they never did?

18 A. In the past they did.

19 Q. They did come and tell what caused --

20 A. Not in this incident.

21 Q. No, not this incident.

22 A. But, yeah, but --

23 Q. I'm just saying --

24 A. Yeah, in the past, yeah, they would --

25 Q. In the past.

1 A. -- be able to tell us, yeah, it's a pressure transmitter
2 at this location or it's a flow imbalance, you know. Your volume
3 is calculated here differently than it's calculated here. It
4 looks like this transmitter needs to be calibrated. They'd give
5 you that --

6 Q. Okay.

7 A. -- kind of information.

8 Q. I don't know -- make sure I understand you right. You
9 said they can, but they did, actually, in the past.

10 A. Yeah.

11 Q. Okay. And is, as a lead, do you believe there's the
12 same expectations of the operators? Because some times the
13 operators told of being contacted directly, the specialists.

14 A. Yeah. Sometimes they would contact the specialists
15 directly, but we would still get that information.

16 Q. I understand --

17 A. They would get the same information that I would get.

18 Q. And I guess by calling, what I would recollect, in your
19 opinion as a lead, is the same expectation is the operators that
20 they may be told the reason for the mass balance?

21 A. I would expect the operators to get the same information
22 that --

23 Q. You're lead --

24 A. -- that I would get.

25 Q. The operators.

1 A. Yes.

2 Q. Okay.

3 MR. JOHNSON: So, the question that Ravie, just so I
4 make sure I understood it. You were asking Darin if the
5 information he got from the analyst was what he would think that
6 the analyst would give the operator?

7 MR. CHHATRE: No. What I was asking him is he expects
8 the analysts to tell him the root cause of the mass balance alarm.
9 And the question was, did he expect the same information to go to
10 the operators if and when the operators contact directly --

11 MR. PARSONS: Yes.

12 MR. JOHNSON: Okay.

13 MR. CHHATRE: -- the analysts.

14 MR. JOHNSON: And I --

15 MR. CHHATRE: And the answer was yes.

16 MR. JOHNSON: Thank you.

17 BY MR. CHHATRE:

18 Q. Right?

19 A. Yeah.

20 Q. And how long you have been lead in this particular
21 position?

22 A. Up to the incident itself, two and a half years.

23 Q. Okay. Do you recall getting the mass balance alarms in
24 the Marshall location in the past?

25 A. No.

1 MR. JOHNSON: No you don't recall, or no --

2 MR. PARSONS: No, I don't recall every --

3 BY MR. CHHATRE:

4 Q. Recall. Okay.

5 A. -- getting it --

6 Q. I got that. Okay. He will recall.

7 A. No.

8 Q. Okay. When the incident happened you were told there
9 was a mass balance alarm and it cleared in the shutdown --

10 A. I wasn't --

11 Q. You were not told.

12 A. I wasn't told that.

13 Q. So, the operator did not come back to you and told you
14 that there was a mass balance alarm during the shutdown and it
15 cleared itself.

16 A. Was it the original shutdown?

17 Q. The very first one.

18 A. Yeah, no, I wasn't told that.

19 MR. JOHNSON: He wasn't on that shift.

20 MR. PARSONS: I wasn't on that shift.

21 BY MR. CHHATRE:

22 Q. Oh, I'm sorry. Okay.

23 A. Yeah.

24 Q. My misunderstanding. Now, you consider mass balance
25 alarms as, I guess important or critical and yet you said that is

1 the kind of information that would not be passed on to the next
2 lead. Why was that?

3 A. Because we get a lot of them. So, we get a lot of MBS
4 alarms on startups and shutdowns on many of our lines. So, the
5 ones that can be explained isn't -- they happen daily.

6 Q. Okay.

7 A. So, we don't pass that information. If there was
8 something abnormal that we felt was abnormal or we knew that was
9 abnormal, we would pass that information on, but that typical
10 information just, we just wouldn't pass on because it's more of an
11 operator to operator information, not so much --

12 Q. Not --

13 A. -- a shift lead to shift lead.

14 Q. Shift lead. Okay. When the mass balance alarm is
15 mentioned to you, do you go through all these options that you
16 just mentioned earlier that can cause the alarm? In your mind go
17 through this or do you discuss that with the operator?

18 A. I discuss with both the operator and the analyst --

19 Q. And have they --

20 A. -- and the --

21 Q. -- checked all these possibilities?

22 A. That's correct.

23 Q. And is leak typically mentioned in that process or not?

24 A. Not really, no. Like it's, I mean, I think it's always
25 in the back of your head and you're always referring to it or you

1 think about it, but we're never bringing up is it a leak? Is it a
2 leak, right? Is, you know, how can we explain this is usually the
3 conversation that happens.

4 Q. Okay. Now, when you try to find out the root cause for
5 the mass balance alarm, would you be going through the process of
6 eliminating one at a time like you did a transfuser failure or
7 there is a temperature or there is a drag reducing agent. How --
8 what is the process that you guys eliminate one at a time to find
9 out --

10 A. We don't have a defined process that we actually go like
11 or a checklist --

12 Q. Okay.

13 A. -- or anything like that, but we would just go through
14 it and try to explain it.

15 Q. Go through each and eliminate --

16 A. Yeah, absolutely.

17 Q. -- one at a time? Okay.

18 A. Yeah.

19 Q. And how do you eliminate then the leak as a possibility?

20 A. You can't.

21 Q. Okay. I think you mentioned earlier that you guys don't
22 have input in alarm classification, but who does? If you don't
23 know, you --

24 A. No, I don't know.

25 Q. And nobody questioned as to, hey, you know, who does the

1 classification of the -- did anyone have any discussion with you?

2 A. Yeah, the alarms are already classified. So, you know,
3 they've been implemented prior to. I've been involved with
4 projects where -- I've been involved with classifying certain
5 alarms and severities of certain alarms, and that's from the
6 ground up.

7 Q. Okay.

8 A. So, something that's already been implemented, sure,
9 there's times when you question descriptions in certain alarms or
10 maybe severities, but it's not common.

11 Q. Okay.

12 A. It's, you know, it's been in place for a while and --

13 Q. In your opinion, are the classification, you agree with
14 that they're valid or you have some reservations about some type
15 of classification?

16 A. No, I've been -- I'm okay with classifications.

17 Q. In the mass balance alarms, is topography typically
18 displayed when you look at the root cause for it from the
19 operations viewpoint? You did mention that if (indiscernible)
20 cannot be explained then you assign the operator, or you --

21 A. So, do we see the elevation --

22 Q. Yeah, the --

23 A. -- on --

24 Q. -- routine, root cause investigation for the mass
25 balance alarms?

1 A. Yeah, we would look at them.

2 Q. In your opinion and experience, what causes the mass
3 balance alarms typically?

4 A. Imbalance of --

5 Q. I mean besides the equipment failures and other --

6 A. Yeah. Imbalance of volume in versus volume out.

7 Q. And typically at occurrence of topography locations or
8 certain --

9 A. Yeah, you, yeah, typically, you'll have, you know, not
10 every line, but a lot of lines have certain elevations where based
11 on our certain limits that we have, we have to almost drain the
12 line off in order to prevent any type of overpressure. Yeah,
13 you'd get an MBS alarm because you have column separation.

14 Q. And is there systematic effort done to eliminate that?
15 Let me back up. Can that be eliminated at all by making any
16 changes in operations?

17 A. I don't know typically. Like, I couldn't give you an
18 answer. It would be very general in sense like that, but I think
19 looking at it, obviously pressure allowables are there for a
20 reason, for protection, and if it means draining off a line in
21 order to make sure that you're protecting a certain section of
22 pipeline during a shutdown, you know, it's there for safety
23 reasons.

24 Q. So, I mean I guess you are going back to startup and
25 shutdown.

1 A. Yeah.

2 Q. But the mass balance alarms come only during that time,
3 or are they can happen in operation?

4 A. No, they can, yeah, typically they happen while you're
5 starting up and shutting down.

6 Q. Okay.

7 A. Typically. When you're running the line and steady
8 state you can get them.

9 Q. You can, right?

10 A. Yeah.

11 Q. If you have a classified 100 mass balance alarm that you
12 received in last week --

13 A. Yeah.

14 Q. I'm just taking that as an example.

15 A. Yeah.

16 Q. How many of those will be during the startup and
17 shutdown and how many of those will be operational? Give me the
18 typical data.

19 A. Yeah. I would say 85, 90 percent are on startups and
20 shutdowns.

21 Q. Okay.

22 A. And the rest of them would be steady state.

23 Q. Okay. And then the startup and shutdown can happen at
24 any location. It doesn't -- it's not necessarily during the job
25 like you're telling that when you're here today and complete a

1 (indiscernible) today.

2 A. They can happen at any location but typically happen at,
3 you know, your --

4 Q. Yeah.

5 A. -- your typical locations, I guess on the pipeline.
6 So --

7 Q. Okay. And are those (indiscernible) identified, told to
8 the operator that we are more prone versus the others?

9 A. The operators would be very familiar with what type of
10 MBS alarm they were going to receive on a startup or a shutdown.
11 They'd be familiar with it, but --

12 Q. So, in your mind, did it occur to you unusual that it
13 happened at Marshall, which is not at a, (indiscernible) looking
14 at a high elevation?

15 A. I wasn't familiar with Marshall's elevation or the MBS
16 alarm. So, to comment on that --

17 Q. Okay.

18 A. -- I don't know.

19 Q. Okay.

20 A. Yeah.

21 Q. I guess that's all I have.

22 A. Okay.

23 Q. Thank you so much --

24 A. Thanks, Rav.

25 Q. -- for your time.

1 BY MR. NICHOLSON:

2 Q. Okay. And I'm going to start by going over your
3 transcripts because really my clarifications are in timeline as
4 where your interaction on startup with Darin and the phone call
5 with Blaine and even with Jim Knudson. So, I noticed in the
6 transcripts and if you want a copy --

7 MR. NICHOLSON: Ravie, can you -- do you have a copy
8 of --

9 MR. CHHATRE: Sure. Yeah.

10 MR. NICHOLSON: -- Darin's transcripts, just in case he
11 wants to refer to it.

12 BY MR. NICHOLSON:

13 Q. On page 10 --

14 MR. CHHATRE: Just, give me a second.

15 MR. NICHOLSON: Well, if he needs them, we'll give them
16 to him.

17 BY MR. NICHOLSON:

18 Q. On page 10 of your transcripts it says Aaron got the
19 phone call from Tim saying we'd reached our ten minute rule and we
20 had column sep suspected, you say column sep, suspected column
21 sep, and we reached our ten minute rule and it hadn't filled in.
22 What did you mean by suspected column sep? Can you have a
23 suspected column sep? Or you either have it or you don't?

24 A. No, you can suspect a column separation if there's no
25 pressure at a certain location. So, if you happen to drain off

1 your line then, and you know that you've drained off your line,
2 it's a suspected column separation.

3 Q. Isn't that a column separation?

4 A. Well, it is, but you don't -- exactly. It is a column
5 separation, but I guess suspected meaning versus leak. So,
6 they --

7 Q. Oh, okay. So --

8 A. So they look at it as either a leak or suspected column
9 separation, but if it's a column separation, you know that, right?
10 It's a given -- it's given information.

11 Q. Okay. So, you're speaking in terms of maybe a procedure
12 or --

13 A. Yeah, absolutely. It's procedure.

14 Q. Oh, okay.

15 MR. JOHNSON: With that, may I maybe, because it goes
16 right in with it.

17 BY MR. JOHNSON:

18 Q. So, that came in at a point and you weren't getting
19 pressures, did you have an MBS alarm or was it just, I guess, the
20 thought process of the location that you said suspected column
21 leak or was there an MBS alarm associated with it?

22 A. I don't remember if there was an alarm. We don't
23 typically see the alarms as shift leads. So, the operators would
24 see all that information. So, what was said between Tim and
25 myself, like, the phone call that actually came in, Aaron and I

1 were both sitting there. So, when I said Aaron, actually I think
2 I took the phone call, but it was on speaker phone. So, we both
3 received the phone call.

4 BY MR. NICHOLSON:

5 Q. Oh, okay.

6 A. So, when Tim says I have a suspected column separation,
7 I, or I've got a column sep, I can't get it together then that's
8 when Aaron went and spoke with Tim. So --

9 Q. Okay.

10 A. -- I don't know if that --

11 Q. Yeah, that's good.

12 A. -- helps --

13 Q. That is so much --

14 A. Okay.

15 Q. Then I'm going to back up just a little bit.

16 A. Sure.

17 Q. Were you involved when Tim was starting up the first
18 time at all?

19 A. No.

20 Q. Okay. So, you had no involvement in that.

21 A. No.

22 Q. Also, on page 10, these are lines 6 and 7. It says,
23 after Aaron had done his calculation and the line was shut down
24 you say you got involved. Is that accurate?

25 A. That is.

1 Q. That's when you entered the picture?

2 A. Yeah.

3 Q. After Aaron had done the calculation.

4 A. I guess I entered the picture when I -- when Aaron and I
5 received the phone call --

6 Q. Okay.

7 A. -- of column separation, but after the line was shut
8 down is when I got involved with any type of calculations.

9 Q. So, you were there for the first phone call, but then
10 somehow Darin [sic] takes --

11 A. Aaron.

12 Q. I'm sorry. Aaron takes the lead --

13 A. Yeah.

14 Q. -- for the first startup.

15 A. No, well, that was -- so, the first startup happens.
16 Tim starts up the pipeline. After ten minutes he calls the shift
17 lead --

18 Q. So, no one is involved while Tim is starting up.

19 A. No.

20 Q. Okay.

21 A. No. So, when he doesn't get his pressure at Marshall,
22 that's when he calls the shift leads and gets us involved.

23 Q. Okay.

24 A. And at that point when we received the phone call, Aaron
25 goes back and sits with Tim --

1 Q. Okay.

2 A. -- for the rest of the process until he -- the line
3 shuts down and after that Aaron comes back to the desks and that's
4 when I kind of get involved.

5 Q. And why is that? I'm trying to figure out why
6 there's --

7 A. So --

8 Q. -- the handoff.

9 A. So, we've got two consoles.

10 Q. Right.

11 A. The shift leads is one. I, as Brian mentioned, I was
12 working with the F&CC, which is --

13 Q. Right.

14 A. -- feeder and connecting carrier systems --

15 Q. Okay.

16 A. -- which has nothing to do with line 6 --

17 Q. Right.

18 A. -- and the main line consoles, and Aaron was responsible
19 for that. So, when Aaron and I are sitting there and he takes a
20 phone, or we take the phone call, he goes back because that's his
21 side and his responsibilities for the night.

22 Q. Right.

23 A. So, that's when he got involved. And then I was dealing
24 with issues on my --

25 Q. Sure.

1 A. -- my end of things. So, that's why there's that
2 disconnect. Why we don't --

3 Q. Yes, but eventually you do enter the picture.

4 A. Right.

5 Q. Okay.

6 A. Yeah. So, I enter the picture for support.

7 Q. Okay.

8 A. So, to help out where needed and --

9 Q. That's what I'm trying to get at.

10 A. Yeah.

11 Q. So, did Darin [sic] ask you for support, or Tim, or how
12 did --

13 A. No, Aaron came back and when the line was shut down,
14 we -- no, you just -- they don't ask for support. We don't ask
15 for support. I think it's more of a, you know there's something
16 wrong, let's help out. Right. So --

17 Q. So, you initiated it. It came as much from you as
18 anyone else.

19 A. Yeah.

20 Q. Okay. So, just going back to the, page 10, line 6 and
21 7, after Aaron had done his calculation and the line was shut
22 down, you said you got involved.

23 A. Yeah.

24 Q. And I'm wondering in that statement, the calculations,
25 can you say explicitly which calculations you're referring to in

1 that sentence?

2 A. Aaron was calculating the amount of volume that had
3 drained off on the previous shutdown.

4 Q. Okay.

5 A. So, the shift before us.

6 Q. Okay. And can you just talk me a little -- talk to me
7 how you guys would calculate that or what are you looking at?

8 A. Sure. So, in this case there's a suspected column
9 separation and we look at, okay, well we put so much volume into
10 the pipeline, but we're not filling the column. So, what we do is
11 we look at the previous shutdown, and at the previous shutdown we
12 would calculate how much volume drained off on a line. So, you'd
13 stop your source and by the time your line stops, you've drained
14 off some volume.

15 Q. Okay.

16 A. Also, there was another maneuver, I guess upstream of
17 the furthest downstream, another delivery stream.

18 Q. Upstream of your furthest downstream.

19 A. So, you got A to B, or we'll say A to C, but at location
20 B half through the line --

21 Q. You can use the --

22 A. -- you can deliver there.

23 Q. You can use the names because --

24 A. Okay.

25 Q. I'm sorry. Griffith to --

1 A. So, we were going Griffith to Sarnia.

2 Q. Okay.

3 A. And so we shut down from Stockbridge to Sarnia.

4 Q. Um-hum.

5 A. And, so --

6 Q. That was shut down the previous shift?

7 A. The previous shift.

8 Q. Okay.

9 A. So, we're looking at information from our CMT.

10 Q. Right.

11 A. And we're looking at it and saying, okay, at the time of
12 our line shutdown, okay, how much drained off on the -- the line,
13 I think it was shut down from Griffith to Stockbridge.

14 Q. Okay.

15 A. But there was a previous shutdown from Griffith to, or
16 Stockbridge to Sarnia.

17 Q. And that was on the 25th?

18 A. That was on the, no, I do believe it was the 26th, but
19 the shift before us. So, it was during the afternoon. I, the
20 dates, I know it was before our shift.

21 Q. Okay.

22 A. So, I would -- it could have been the 25th. I'm not too
23 sure what time that shutdown was.

24 Q. But you're in, what, you're in Monday morning, right?

25 A. No, Sunday night. So --

1 Q. I'm sorry, you're right, okay, Sunday night.

2 A. Right. So, the shutdown, the original shutdown from
3 Griffith, or from Stockbridge to Griffith, you know, might have
4 happened Sunday morning.

5 Q. Okay.

6 A. And then they kept running the line from --

7 Q. Okay.

8 A. -- from Griffith to Stockbridge and then they shut that
9 down in the afternoon on Sunday.

10 Q. Right. Right.

11 A. And so what we -- what Aaron would have done is looked
12 at how much drained off between Stockbridge and Griffith on that
13 original shut down, then how much would drain off from Griffith to
14 Stockbridge on that shutdown, and then how much drained off from
15 when we go to startup. So, when Tim goes to startup and he opens
16 up --

17 Q. Right.

18 A. -- his valves --

19 Q. Okay.

20 A. -- how much volume will be drained off. So, we would
21 calculate the volume.

22 Q. Okay.

23 A. So, in the calculations and I think reading my
24 transcripts, I think he calculated like 610 and I calculated --

25 Q. Yeah, you --

1 A. --630.

2 Q. 630.

3 A. So, it was pretty close.

4 Q. Right.

5 A. So, that's the calculations I'm referring to.

6 Q. Aaron mentioned that after the shutdown they were at a
7 loss of what to do next. Is that sort of when you got involved?
8 That's a, almost, that's paraphrasing from his, actually it was a
9 quote from his transcripts.

10 A. So -- sorry?

11 Q. And I'm wondering it's, I mean, that's a statement Aaron
12 makes. He says they were at a loss of what to do next after they
13 shutdown the line. So, is that maybe when he came to you and
14 said, hey, Darin, I don't know what's going on. I need --

15 A. Yeah, that would be when I get involved.

16 Q. Okay.

17 A. Like so we, you know, start kind of throwing ideas off
18 one another --

19 Q. Did you get --

20 A. -- and try to --

21 Q. -- that feeling that maybe Darin [sic] was grasping
22 at --

23 A. No, I just, I mean, every scenario is different.
24 Nothing is the same. So, okay, well, you know, what's going on
25 here. Let's, you know, talk it out. Figure it out. And, no, I

1 didn't get the sense that he was, you know, he couldn't explain
2 it, or I guess he couldn't explain it, but I didn't get the sense
3 that I was -- he was worried about it or anything like that.

4 Q. Was he working with Jim Knudson at the time as well,
5 or --

6 A. Yeah. Jim was involved through the process.

7 Q. Okay. So, he was involved prior to Darin [sic] coming
8 back to you.

9 A. Aaron coming back to me?

10 Q. Aaron coming back to you.

11 A. Sorry.

12 Q. I'm sorry. You guys got --

13 A. Yeah, they were involved before.

14 Q. The call to Blaine didn't happen until 3:34 a.m., is
15 what I'm seeing --

16 A. Yeah.

17 Q. -- in the transcripts, and I think you confirmed that in
18 your interview. But the line was shut down around 2:00.

19 A. Um-hum.

20 Q. I'm trying to figure out what was happening in that hour
21 and a half gap before Blaine was phoned?

22 A. Is we were going through pressure trends, flow trends,
23 discussions with MBS. That whole time span was used to try to
24 investigate -- trying to explain what --

25 Q. Okay.

1 A. -- what the column separation was, the MBS alarm, all
2 that kind of information.

3 Q. And it was yourself, Aaron, and Jim Knudson that were
4 all --

5 A. Jim Knudson, yeah.

6 Q. Okay.

7 A. And the operators whenever we needed certain information
8 here and there, right.

9 Q. So, what trends were you looking at? I don't really
10 understand.

11 A. I pulled up trends from the shutdown so when we shut
12 down --

13 Q. From your shutdown?

14 A. Sorry, not -- yeah, from our shutdown. So, basically,
15 from his startup to our shutdown. So, I'm looking at the trends
16 from our shift and you build them and it's, I mean, you can expand
17 on them, the timeframe whatever you need. So, I'm looking at when
18 I recalculate Aaron's numbers, I'm going back to the operator and
19 looking at CMT, any kind of material balance, or, sorry, tracking,
20 all that information.

21 Q. Okay. That's when you're recalcing, that effort.

22 A. Yeah. And then the trends themselves --

23 Q. Yeah.

24 A. -- I'm looking at like pressures at all the stations.

25 Q. At all the stations, okay.

1 A. Yeah. And flows, things like that, so --

2 Q. And nothing was jumping out at you? You --

3 A. Well, no, because I didn't -- when I'm looking at my
4 trends I'm only looking at from the startup to the shutdown.
5 So --

6 Q. Right.

7 A. -- to me that, not familiar with that line, I don't know
8 if it's abnormal or not.

9 Q. So, I mean you were definitely aware, I mean, I've got
10 trends here --

11 A. Yeah.

12 Q. -- on the 26th. So, to me this is what the first
13 startup looks like. And these are all the discharge pressures --

14 A. Yeah.

15 Q. -- from the other stations. I've segregated Marshall
16 out here separately.

17 A. Okay.

18 Q. So, that's something similar to what you would have
19 looked at?

20 A. Yeah.

21 Q. Okay. So, you're aware you had zero pressure here --

22 A. Yeah.

23 Q. -- and you gained next to nothing at Marshall.

24 A. Yeah.

25 Q. And you were also aware that, you know, as you proceeded

1 downstream, the discharge pressure off the stations was
2 significantly lower, I mean --

3 A. They did.

4 Q. -- they start out pretty good and then Niles can't build
5 much and Mendon is certainly suffering.

6 A. Right.

7 Q. Okay.

8 A. Right.

9 Q. So, okay. And none of that struck you as abnormal? You
10 didn't know what abnormal was, I guess, is that --

11 A. Right.

12 Q. You didn't know that.

13 A. Exactly.

14 Q. Did you go to Tim at all at that point and say, you
15 know, is there anything strange about these?

16 A. I mean we talked about it. He, like I don't recall
17 every going to Tim and saying, you know, does this look abnormal,
18 but asking the question like typically on a shutdown I ask the
19 operators, you know, typically, do you guys -- how much do you
20 drain off on a shutdown? Like are we, you know, close in volume
21 here.

22 Q. Okay. You did have access to all the MBS displays, too,
23 right?

24 A. Yeah. We're not trained on it.

25 Q. Okay.

1 A. I'm not familiar with it. So, it's -- we have one set
2 of trends that we look at when the MBS alarm goes off and there's
3 a zero line, and if your trend is at zero, meaning I guess
4 that's --

5 Q. I know some of your screens, which trend, I mean --

6 A. So --

7 Q. Is that under the trends button?

8 A. I don't know. I know how to get there. It's, basically
9 it's just a trend that if you're green line, the MBS line is at
10 zero and straight across, it's good. But if it's bouncing -- if
11 it's below the line for a certain amount of time, you get an
12 either 5 minute, 20 minute, or a 2 hour --

13 Q. Well, he's talking about your MBS threshold.

14 A. Right. And that's the only trend that we look at.

15 Q. That's all you look at.

16 A. Yeah.

17 Q. Okay.

18 A. That's --

19 Q. So, you didn't look at a liquid fraction, I think you
20 were asked --

21 A. No.

22 Q. Okay.

23 A. No.

24 Q. Did you know you could go look at that screen?

25 A. I'm not -- I -- no.

1 Q. Okay.

2 A. No. I'm not trained on it nor have we been directed to
3 look at it. So --

4 Q. And talking about the recalcs you were just mentioning,
5 and you talk about it on my page 10. You said after the line was
6 shut down I went to the operator to --

7 (Background interruption.)

8 MR. JOHNSON: Can we take a five minute break?

9 MR. NICHOLSON: Yeah, well, you know, that's not a bad
10 idea. Maybe we should take a break.

11 MR. PARSONS: Sure.

12 MR. NICHOLSON: Off the record.

13 (Off the record.)

14 (On the record.)

15 MR. NICHOLSON: Okay. Part 2 with Darin Parsons. All
16 right. Just to pick up where we might have left off.

17 BY MR. NICHOLSON:

18 Q. I think I was going to head to the statement made on
19 page 10, lines 14 through 16. You said, you mentioned, after the
20 line was shut down, I went to the operators and recalculated the
21 number with them, and in that statement I noticed you said
22 operators and you used the plural. I'm just wondering was there
23 more than just Tim Chubb involved or --

24 A. Yeah, there's Tim Chubb and Ghazal --

25 Q. Ghazal.

1 A. -- Derhami

2 Q. Can you spell that for the record, or --

3 A. No.

4 (Laughter.)

5 MR. PARSONS: Ghazal, G-h-a--z-a-l, and Derhami I think
6 is D-e-r-h-a-m-i.

7 BY MR. NICHOLSON:

8 Q. All right. Close enough. Okay. And what was her
9 involvement and what was she?

10 A. She's the line 14 operator that night, so she operates
11 line 6 as well. Like so she's cross-trained.

12 Q. Oh, okay. Right.

13 A. And she was just the other operator as well. So --

14 Q. Do you rely on her as a technical expert?

15 A. No.

16 Q. Okay.

17 A. No.

18 Q. So, what was she doing? She was just helping you calc
19 this?

20 A. Yeah. So, with Tim being involved with the line 6, so I
21 went over and, you know, asked Tim a few questions, but I kind of
22 stayed out of Tim's way and went to Ghazal and said can we go
23 through some of this information?

24 Q. Oh, so, that was just so Tim could continue operating?

25 A. Yeah. Yeah, so he can --

1 Q. Okay.

2 MR. CHHATRE: Can I ask him before I forget.

3 BY MR. CHHATRE:

4 Q. On that particular shift, were any of these operators
5 that you consider kind of experts at all that night?

6 A. Not that I recall. I can't --

7 Q. There are other people who you went to where in your
8 mind --

9 A. No.

10 Q. -- were more -- okay.

11 A. No.

12 MR. CHHATRE: Sorry to interrupt you, Matt.

13 MR. NICHOLSON: No, that's fine.

14 BY MR. NICHOLSON:

15 Q. I'm going to break stride a little bit here, but when
16 Karen was asking you about evaluations and I think she asked you
17 if they were weighted and I thought the answer you had given was
18 they're all weighted the same, the different criteria.

19 A. The competencies.

20 Q. Oh, so, I --

21 A. Yeah.

22 Q. -- pulled one up because that wasn't how I remembered
23 it. Maybe I'm reading this differently.

24 A. Um-hum.

25 Q. So, I'm looking at something called a performance review

1 manager evaluation. You didn't do this particular one I'm looking
2 at, but is that what you're referring to? Is that what you would
3 fill out for an operator?

4 A. So, yeah, it's their, yeah, performance management.

5 Q. Okay.

6 A. So, and --

7 Q. But these do look like they're weighted differently.

8 A. There are different. They're not their core
9 competencies. So, like their core --

10 Q. Okay.

11 A. -- competencies would be within the job profile. So, do
12 you have job profile? Do you have objectives in there? And
13 they're weighted differently.

14 Q. Okay. I might have that. Well, these are -- so, you're
15 saying there's a job profile that's different than a performance
16 review?

17 A. No, it's part of your performance --

18 Q. Okay. It's --

19 A. -- documentation.

20 Q. And one other thing I noticed on these is, I mean, it
21 looks liked the employers [sic] are filling these out themselves.

22 A. They fill out themselves and they evaluate themselves as
23 well as we will evaluate them.

24 Q. Okay.

25 A. So, throughout the year you should be meeting with your

1 operators and getting a good idea of where their performance is
2 for the year. So, the numbers that you give them at the end of
3 the year should be very close to what theirs. So, it's another
4 gauge for us to make sure we're on the same page. So, there are
5 going to be discrepancies like, you know, typically they're --
6 they may evaluate themselves a little higher than I might. So,
7 it's --

8 MR. JOHNSON: You need to start somewhere.

9 MR. PARSONS: You got to start somewhere, right.

10 BY MR. NICHOLSON:

11 Q. I mean you think that process works pretty well with the
12 writing this thing up and then handing it off to you or --

13 A. Yeah.

14 Q. That's better than you trying to write it because you
15 really can't be with them all day --

16 A. Yeah. We do write it. Like so they'll give us their
17 document with their comments --

18 Q. Yeah.

19 A. -- and then we will comment as well on top of that. So,
20 it's just kind of your final review, year end review.

21 Q. Okay.

22 A. There's a lot of things that we may not always catch.
23 Like there's -- it'd be something that, you know, you forget
24 because you have 12 people you have to evaluate for a whole year
25 and having to see them throughout the year, you're going to miss

1 quite a few things. So --

2 MR. JOHNSON: And for the record, that's the same thing
3 we use across the company. That's the same thing I do and
4 Mr. Curt does also. So --

5 MR. GOESON: Yeah.

6 MR. JOHNSON: -- just so you're aware, it's not --

7 MR. NICHOLSON: Yeah, that's like --

8 MR. JOHNSON: -- it's not just in the control --

9 MR. NICHOLSON: -- I'm looking at several layers or
10 levels and they all seem similar. Okay.

11 MR. JOHNSON: And start high.

12 BY MR. NICHOLSON:

13 Q. Can you just tell me, I mean you mentioned real kind of
14 high level explanation on the MBS that's just looking at volume
15 and balance, and I think we understand that part, but what is it
16 using to get flow rates? Is it calculating flow rates? Is it
17 looking at flow meters? How well do you understand that system?

18 A. I don't know it well enough to comment accurately. I
19 know that, you know, quite often the flow meters that are used on
20 our main line systems are what's used in MBS. So, on our SCADA
21 system if we have five flow transmitters throughout the line,
22 typically, they would use them. I don't know what, you know, they
23 may not use them all. They only may use certain locations. So,
24 I'm not really familiar with MBS in the sense, the technical side
25 of thing. I know --

1 Q. Do you know if it needs pressures to calculate flows or
2 does it --

3 A. Yeah.

4 Q. Okay.

5 A. It should need pressures to calculate valve operations.

6 Q. So, if you saw a zero pressure on the line, would you
7 ever go and question how MBS could arrive at an imbalance or, I
8 mean, do you ever think through that?

9 A. No. Like I never get to that point where I have to, you
10 know, feel that I have to look at it, know MBS inside and out.
11 That's why we have an analyst there.

12 Q. Okay.

13 A. So, to get involved, you know, if there's a zero
14 pressure and I know that's abnormal, I'm going to question it, but
15 if I don't know abnormal, if I don't know it's abnormal, then, you
16 know, it's kind of --

17 Q. Well, I guess what about when they tell you the model is
18 unreliable because of the pressures, do you know what that means?
19 I mean do you understand two phase flow, you know, that you might
20 have vapor in the line?

21 A. We --

22 Q. Does that mean it's unreliable?

23 A. Yeah. When they start talking that kind of lingo,
24 I'm -- I don't understand it. So, it's --

25 Q. That's for the --

1 A. Yeah.

2 Q. That's fine. You mentioned earlier when Ravie was
3 questioning, you said, and I think I heard you correctly, you said
4 you can't rule out a leak as part of a col-sep or MBS alarm. You
5 said you could never rule out a leak.

6 A. No. Like --

7 Q. Did I misunderstand?

8 A. Yeah. I think you might have.

9 Q. Okay.

10 A. If you have a leak, you can't rule it out, right?

11 Q. But, yeah, well, if you have a leak, you couldn't rule
12 that out.

13 A. Right. And that's what I was referring to.

14 Q. Okay.

15 A. So, like to -- when you're doing your checklist and
16 looking over things and --

17 Q. What checklist would that be?

18 A. Well, say if you're going over your pressures or --

19 Q. Okay.

20 A. -- if, you know, your thought process of trying to
21 investigate the abnormal conditions.

22 Q. Be specific here, we're -- your troubleshooting your
23 abnormal condition in this case, what a col-sep or --

24 A. Yeah, in this case it would be a column --

25 Q. Okay.

1 A. -- separation. So, if you're looking through your
2 column, or looking and checking your pressures, checking your
3 flows, checking your volumes on your shutdowns and you would be
4 looking at it and, you know, if it's a leak you can't explain it,
5 right? Or I guess you can explain it but you can't discount it
6 like or, how do I phrase this.

7 Q. I'm wondering --

8 A. Yeah.

9 Q. -- I mean you could -- can't you rule out a leak, I mean
10 if you don't have any of the leak triggers maybe --

11 A. Right. Exactly.

12 Q. -- you could rule it out, right?

13 A. Right. Yeah. If you have no leak triggers, right,
14 there's no -- you can say, yeah, it's not a leak.

15 Q. Right.

16 A. Right.

17 Q. Okay.

18 A. But, I mean, you can have leak, I guess, you know, it's
19 easy to see leak triggers on an absolute, you know --

20 Q. Right. A steady state.

21 A. Yeah, a steady state boom, zero pressure, but if you
22 have a leak that's leaking over months and months, you may not see
23 leak triggers and the only one would be your volume and that's
24 over a long period of time.

25 Q. Sure.

1 A. So --

2 Q. And I think you also mentioned that startups and
3 shutdowns are always transient and more likely to produce MBS
4 alarms.

5 A. Yeah.

6 Q. Okay. With that being said, though, should, I mean
7 since they're such critical times and it kinds of throws all the
8 systems off, I mean, wouldn't that be a time maybe there should be
9 a special procedure or a buddy system or, you know --

10 A. During your startups and shutdowns?

11 Q. Yeah. Wouldn't that be a time to put more eyes on it,
12 or -- maybe there is a shutdown procedure or startup procedure
13 that addresses that.

14 A. I find that with startups and shutdowns and having your
15 typical MBS alarms associated with the same locations, you know,
16 there's no need to have those extra eyes and eyes on that, on
17 those situations and me, personally, I'm not familiar with those
18 lines. Like when I operated other lines, I knew, okay, I'm going
19 to receive an MBS alarm because, you know, it's not calculating a
20 certain volume. So, I'm familiar with that. As a shift lead, I'm
21 not, with all the lines. So --

22 Q. Okay.

23 BY MR. JOHNSON:

24 Q. I don't want to put words in your mouth. Are you saying
25 that in a way you see the operator having a second set of eyes

1 because of the software support, the MBS, and the other things
2 that, you know, so he or she is starting up the line alone but has
3 these other softwares that alert he or she to items so it's not
4 like he's there necessarily alone. Did I --

5 A. No.

6 Q. -- misunderstand that?

7 A. I interpret it as having another person there watching
8 the startup and shutdowns and seeing the same alarms over.
9 That's, when I answered your question, that's what I meant for --

10 Q. Okay.

11 A. Having someone there sitting there watching. Not so
12 much the --

13 Q. So, you don't see the need for that?

14 A. No, not on MBS alarms that happen every time on a
15 startup or shutdown. They just seem very common.

16 BY MR. NICHOLSON:

17 Q. Well, and that's my point, I guess. You almost have
18 throw MBS -- from what I'm hearing, MBS doesn't work on startup
19 and shutdowns. You got to just basically disregard it and be
20 looking at other leak triggers, maybe in combination with it,
21 but --

22 A. Right.

23 Q. -- you certainly can't rule out MBS alone. At least it
24 failed you in this sense.

25 A. It failed us on this sense on the shutdown.

1 Q. Well, and the startup --

2 A. Yeah. Yeah. The -- I don't think more eyes are going
3 to help.

4 Q. Okay.

5 A. I don't think more eyes. I think more accurate
6 information or a better system. I mean why do we have redundant
7 MBS alarms on a startup and shutdown every time. Obviously, there
8 has to be something there, but why do we get them every time. Why
9 are we receiving the same alarm and if you startup and shutdown a
10 small little line that feeds one of your terminals and you get an
11 MBS alarm every time you do it and you do it five times a day and
12 five times a shift and so you get it 10 times a day it becomes
13 redundant, and you're just kind of, oh, that's normal.

14 Q. Yeah.

15 A. Right?

16 Q. Right. Yeah.

17 A. So, I think having a more accurate system or a system
18 that's a little more -- have more detail and more explanation
19 would be beneficial there.

20 Q. Okay.

21 A. I don't think another set of eyes is going to change --

22 Q. Right.

23 A. -- the fact that they see the same alarm ten times.

24 Q. Okay. That's fair. Good. I'm going to build on that
25 then. That wasn't where I was going next, but then, you know,

1 when we talk about things that could have been done better I think
2 that's really what you just answered is maybe, you know, a more
3 robust system or something more capable of detecting accurately.
4 But you also mentioned earlier I think you wanted more detailed
5 procedures and so I'm asking, I guess, did the procedures kind of
6 fail in this event or were the procedures okay and they weren't
7 followed, or --

8 A. No, I think the procedures are okay. I just feel that
9 having more detail in them is beneficial. It's, in a situation
10 like this there can be several different procedures that are
11 involved like you could have a suspected column separation
12 procedure. You could have the column separation procedure. You
13 could have the MBS leak procedure. You've got suspected leak
14 procedure.

15 Q. Right.

16 A. There's a number of procedures so where do you start?
17 And in our procedure database, you know, there are links, you
18 know. If it's here it's there, but to narrow it down and go with
19 one, it's tough to --

20 Q. Yeah, I noticed that, too.

21 A. Right.

22 Q. It seems like they're very modular and you start here
23 and go here, there.

24 A. Yeah. But in this situation with Marshall, I mean, you
25 could probably pull up six different procedures to start with --

1 Q. Yeah.

2 A. -- in order to, you know, go through. But I think if it
3 was more detailed, more refined would be certainly a lot better.

4 Q. Okay.

5 A. But --

6 Q. Or maybe included other tools with it.

7 A. Absolutely, yes.

8 Q. You mentioned also earlier that the calculations you
9 were doing for the drain-up is something that an operator is
10 trained to do, or --

11 A. Yeah.

12 Q. Okay. So, why didn't Tim Chubb do those calcs?

13 A. I don't know.

14 Q. Okay.

15 A. He might have. I don't know if he did or not, but, I
16 mean, just to make sure the, I get the volumes and the numbers
17 that I did, that I want to see, that's why I do them. So --

18 Q. Okay. Going back to transcripts here. On page 13,
19 lines 13 through 17, there's a, it states there, it says, yeah, at
20 that point we felt that looking at our pressures coming into the
21 line, we potentially didn't have enough horsepower or energy, I
22 guess, to overcome the column sep because of drain-up we
23 experienced on startup. And I'm just wondering did both you and
24 Aaron come up with that same conclusion? Was it -- or are you
25 paraphrasing Aaron's --

1 A. Aaron's.

2 Q. I'm sorry, Aaron's --

3 A. That's all right.

4 Q. I'm going to do that throughout today and tomorrow.

5 Yeah, were you just paraphrasing something that Aaron had said,
6 or --

7 A. A lot of that conversation pertained or involved Aaron
8 and Jim Knudson.

9 Q. Okay.

10 A. So, that information, and Jim at the -- he would have
11 been one of those, even though he's an MBS analyst, he operated
12 the pipeline systems for several years prior, too, so I would have
13 considered him a technical expert on the line even though he was
14 an MBS analyst. So, a lot of the information I received from him,
15 you know, I felt is -- was accurate. And so when he gets involved
16 with horsepower, and at that point I'm kind of in and out of the
17 conversation between Aaron and Jim throughout that part of the
18 investigation. So, that comment where I say we felt looking at
19 the pressures coming into the line were potentially, that we
20 potentially didn't have enough horsepower, a lot of that
21 information is me, I guess communicating that to Blaine, well,
22 actually, I talk with Blaine later one in the --

23 Q. Yeah, right.

24 A. -- on the phone.

25 Q. Yeah.

1 A. So, I'm more of the guy picking up the phone and doing
2 some of the admin stuff for Aaron while the investigation process
3 is going on.

4 Q. Okay. So, it's really Aaron and --

5 A. Aaron and Jim --

6 Q. -- Jim --

7 A. -- and I'm kind of in and out throughout the
8 conversation.

9 Q. Okay.

10 A. Right. So, like I'm not full on with it so I'm helping
11 out where I can.

12 Q. And you said Jim is the technical expert.

13 A. He's an MBS analyst, but, you know, based on his
14 experience of operating pipelines, I would consider him
15 technically strong.

16 Q. In hydraulics.

17 A. Yes.

18 Q. An expert.

19 A. Yeah.

20 Q. You answered that next question then. So, then, going
21 back to Jim Knudson and his involvement, when did he first start
22 getting involved? When was he working with Aaron then?

23 A. I'm not -- I don't know if he -- I can assume he got
24 involved when we didn't get -- when we didn't have our -- get our
25 column together when, on the initial startup. I can assume that's

1 when he got involved, but to be precise, I can't answer that.

2 Q. I think this was already addressed, Darin, I apologize,
3 but I'm going to ask you again.

4 A. No.

5 Q. Did you research the column separations and alarms that
6 Tim Chubb reported to you?

7 A. Did we -- did I research the column separation and
8 alarms? No, I did not.

9 Q. Well, technically they'd be MBS alarms, right?

10 A. Right.

11 Q. Okay.

12 A. Right.

13 Q. So, in these interviews we're hearing a lot about this
14 ten minute rule and I wanted to hear from you what the ten minute
15 rule means or -- maybe start with, you know, what it means to you.

16 A. Sure. So, my understanding of the ten minute rule is if
17 you can't get a column separation or you can't get pressure from
18 station A to station B within ten minutes, you shut down.

19 Q. Okay. And that's how the procedure is written.

20 A. I believe so.

21 Q. Okay.

22 A. Yeah.

23 Q. So, then we know then on that first startup that you
24 extended beyond the ten minute rule.

25 A. Right.

1 Q. That's in the transcripts. But then I'm looking through
2 the procedures, I don't see anything that says you are permitted
3 to do that. So, is that just something you guys understand in the
4 control room, or --

5 A. That's something I would follow, like I would follow the
6 shutdown.

7 Q. Or am I wrong? Maybe there is a procedure, I should
8 restate that --

9 A. No.

10 Q. -- that I don't know of.

11 A. No. There was a pending procedure, one that was pending
12 on calculating your volume so when we look at the volumes that
13 have been calculated it's --

14 Q. That's that col-sep worksheet --

15 A. Yeah.

16 Q. -- that I've seen?

17 A. I do believe so. It's where you calculate the volume
18 that --

19 Q. Yeah.

20 A. -- you've, like, so, you may not have ten minutes to get
21 your column back together because you've drained off too much
22 product or too much oil.

23 Q. Uh-huh.

24 A. So, you need to extend past the ten minute rule.

25 Q. Okay. And so that worksheet was already pending.

1 A. Pending approval. It wasn't approved.

2 Q. Oh, okay. When was it introduced?

3 A. I don't know.

4 Q. Where does it sit when it's pending? I mean how do you
5 get to it?

6 A. I don't know. That's -- I wasn't aware of it--

7 Q. You didn't pull it up.

8 A. No, I didn't pull it up.

9 Q. Oh, okay.

10 A. No, I wasn't aware of it. So --

11 Q. Well, who pulled it up then? Who was aware of it?

12 A. I believe Ghazal Derhami pulled that up.

13 Q. Okay. The other operator.

14 A. Yeah. Yeah.

15 Q. Okay.

16 BY MS. BUTLER:

17 Q. I'm sorry, could you repeat. There was a pending
18 procedure pulled up, is that was what you're talking about.

19 A. Yes, Karen.

20 Q. Do you know the name of that? I'm sorry.

21 A. No, I don't.

22 MR. NICHOLSON: I believe what he's referring to is the
23 col-sep worksheet, maybe I should pull it out, that we went over
24 the other day.

25 Curt, can you shed some light for us on it?

1 MR. GOESON: No, I don't believe Darin is referring to
2 that.

3 MR. NICHOLSON: Oh, okay.

4 MR. GOESON: That was put into place for the 6B startup.

5 MR. NICHOLSON: Oh.

6 MR. GOESON: Restart.

7 MR. NICHOLSON: Oh.

8 MR. GOESON: I think he's just referring to a
9 proposed --

10 MR. PARSONS: Yeah.

11 MR. GOESON: -- revision to --

12 MR. PARSONS: Yeah.

13 MR. GOESON: -- to the procedure.

14 MR. NICHOLSON: To the --

15 MR. GOESON: And not the --

16 MR. NICHOLSON: -- MBS alarm --

17 MR. PARSONS: No --

18 MR. NICHOLSON: -- procedure.

19 MR. PARSONS: -- to the ten minute rule. I never saw
20 it.

21 MR. NICHOLSON: Okay.

22 MR. PARSONS: But, I never saw the procedure, but --

23 MR. NICHOLSON: Let me make that an IR request, please,
24 Jay.

25 MR. JOHNSON: You did.

1 MR. NICHOLSON: Did we already? Okay.

2 MR. JOHNSON: Um-hum.

3 MR. NICHOLSON: If we hadn't.

4 MR. JOHNSON: Okay.

5 BY MR. NICHOLSON:

6 Q. And that's confusing to me in I've gone through some of
7 these procedures, but not all, but I don't see an actual procedure
8 that was called out ten minute rule, right?

9 A. Right. No, the ten --

10 Q. It's --

11 A. -- minute rule is within procedure.

12 Q. All right.

13 A. So, it's within the column suspected/column separation
14 procedure. You know if you don't have your column put together
15 within ten minutes and we call it just the ten minute rule. If
16 you can't account for your volume, or sorry, pressure, from
17 station A to station B within ten minutes, you shut down.

18 Q. Okay. So, that's is a --

19 A. So, there's no --

20 Q. -- suspected col-sep procedure?

21 A. Well, I don't know what procedure that --

22 Q. Okay.

23 A. Because there's so many procedures.

24 Q. Yeah.

25 A. I, you know, I can go find it for you, but I don't know

1 exactly what procedure that it could fall in.

2 Q. I couldn't find that procedure because I don't have
3 anything like that. I've got MBS alarm procedures and --

4 A. Right. So --

5 Q. Talk to --

6 A. -- do you have suspected column separation procedure?

7 Q. I don't have anything called suspected column
8 separation.

9 A. Okay.

10 Q. It's been very frustrating. So, if we could --

11 A. So --

12 Q. -- somehow locate that.

13 A. So, that's the procedure that -

14 Q. Okay.

15 A. I guess not the ten minute rule procedure, but we just
16 call it the ten minute rule.

17 Q. Okay.

18 A. And it's within the procedure if you can't get pressure
19 from A to B in ten minutes you shut down.

20 Q. Okay. And I want to be sure I understand that it
21 specifically says it's station to station. So, even though you
22 start your line up at --

23 A. Um-hum.

24 Q. -- whatever time, say 1:00 --

25 A. Right.

1 Q. -- and it takes you --

2 A. Twenty minutes to get, yeah --

3 Q. To get to station Z --

4 A. Yeah.

5 Q. -- or whatever, your ten minute rule really doesn't
6 start until you hit that station.

7 A. It's the immediate station upstream.

8 Q. Okay.

9 A. So, you could be running your line for, you know, 15, 20
10 minutes before you get to station A and then station B doesn't see
11 pressure after you have differential at that station, then you
12 shut down.

13 Q. Okay. And you interpret it pretty much as all shift
14 leads interpret it, or is it black and white the procedure that
15 that's how it is.

16 A. That's how I interpret it.

17 Q. Okay.

18 A. Like I mean, yeah, the procedure is what you go by,
19 right, and if, you know if the procedure says shut down after ten
20 minutes you should be shutting down, the operator should be
21 shutting down the line.

22 Q. But I guess what I'm asking, and then the procedure will
23 say at station X or --

24 A. No.

25 Q. Oh, okay.

1 A. No, it just -- it's just when the immediate upstream
2 station has differential pressure.

3 Q. Uh-huh.

4 A. And if you cannot get pressure at the next downstream
5 station --

6 Q. Okay.

7 A. -- shut down.

8 Q. So, this is -- okay. I'm going to get into this a
9 little more because now when does Tim Chubb calls you? He
10 calls --

11 A. He calls at --

12 Q. Ten minutes.

13 A. -- ten minutes.

14 Q. After starting the line.

15 A. No.

16 Q. Okay.

17 A. Ten minutes after he sees -- he doesn't get his
18 pressure --

19 Q. At Mendon.

20 A. At Mendon, that's right.

21 Q. After starting Mendon.

22 A. Right. Or, Marshall.

23 Q. Yeah.

24 A. He starts Mendon, it's Marshall. So, he doesn't --

25 Q. Right.

1 A. Yeah.

2 Q. After not seeing it at Marshall for ten minutes, he
3 calls you.

4 A. Right.

5 Q. Okay. So, he's consistent with that rule. When you
6 called Blaine, because that was you that called Blaine, right?

7 A. Yeah.

8 Q. Okay. Did you express to him that you had extended the
9 ten minute rule or that you had exceeded the ten minute --

10 A. I don't recall. I don't remember the conversation we
11 had. It's been a while, so --

12 Q. Okay.

13 A. Phone records.

14 Q. So, we don't know if Blaine actually knew or does he
15 even need to know that the line is run?

16 A. No, he should know. Like --

17 Q. Okay.

18 A. -- I would suspect I told him that we went past.

19 Q. Ten minutes.

20 A. Yeah.

21 Q. Okay. And then I guess I want to spend a little time on
22 that conversation. In the conversation with Blaine, you bring up
23 the topic of not enough pump power to bring the column separation
24 back, or a leak?

25 A. Yeah.

1 Q. And actually, I mean, I've got the record of the call so
2 I read through it.

3 A. Yeah.

4 Q. And you actually, at some point you questioned, I think
5 you're on the call and Jim is on the call and Blaine is on the
6 call, right? It's just the three of you.

7 A. Um-hum.

8 Q. And I think you actually kind of push back a little bit
9 and say, well, I put in, I think it was 1600 cubes. We got so
10 much out. Where's it all going. So, it looked like for a brief
11 moment you guys were going down the track of a leak, but things
12 got reversed in that conversation. All of a sudden you're back to
13 talking pump power and I'm just wondering, you know, how did
14 everything get sidetracked, or how does --

15 A. Yeah.

16 Q. What were the forces at play here that moved everyone in
17 the direction of pump power?

18 A. I think in that information there, the movement from,
19 away from that was directly involved with Jim Knudson and his
20 technical expertise --

21 Q. Okay.

22 A. -- on that. So, that's where that conversation gets
23 redirected --

24 Q. Okay.

25 A. -- back to horsepower.

1 Q. So, you don't have enough of a background you don't --

2 A. Right.

3 Q. -- think to have countered anything --

4 A. Absolutely.

5 Q. -- that Jim was saying.

6 A. Right.

7 Q. Okay.

8 A. Right.

9 Q. And I think Karen asked this before, so forgive me, but
10 then the MBS' analyst role, I mean, where does he fit in the whole
11 hierarchy. So, his say is final say because he is an analyst, is
12 that how that works or is your say the final say?

13 A. In regards to whether to --

14 Q. Whether to restart or --

15 A. Restart.

16 Q. -- extend.

17 A. Well, I think in the end your final say comes from the
18 highest person involved. So, in this case it would be Blaine.

19 Q. Okay.

20 A. But Blaine is only as good as the information he gets
21 from myself and the analyst. So, what information we provide him
22 gives approval to startup. Blaine says don't start up again, we
23 don't start up --

24 Q. Sure.

25 A. -- because we don't have approval to do that. But, he's

1 only as good as the information we give him. So, if Jim Knudson
2 is telling us that we don't have enough horsepower, you know, to
3 overcome that column, then that's the information we have.

4 Q. Was, and, let me see how I can phrase this. I mean that
5 was at the time, I know things might have changed, but at the time
6 that was fairly typical to have that kind of input from Jim, or
7 was he --

8 A. Well, each analyst is --

9 Q. -- out of balance?

10 A. Each analyst is a little different and Tim has got, or
11 Jim, sorry, Jim has got a lot of experience operating --

12 Q. Uh-huh.

13 A. -- so, he likes to take it a little further --

14 Q. Oh, okay.

15 A. -- from a sense like so he's not just an analyst and
16 says, yeah, the model is working or not. There's a lot more input
17 there from Jim.

18 Q. Okay.

19 A. So --

20 Q. Have you worked with Shane then as well, or --

21 A. Yeah, I have. I've worked with him briefly from time to
22 time on shifts. So --

23 Q. I haven't interviewed Shane --

24 A. Yeah.

25 Q. -- so, I don't know. So, how is Shane then? What kind

1 of information does he offer?

2 A. Shane would -- Shane being a new person not with
3 Enbridge would probably say you can explain it or not. Is it
4 working or not?

5 Q. Okay.

6 A. That would be the extent of it.

7 Q. Okay.

8 A. So, if there was any further discussions -- there would
9 not be further discussions about pump power or, you know, you
10 don't have enough there, you can't overcome it. So --

11 Q. Okay.

12 A. -- the other analysts that are involved, good chance we
13 don't start up the second time.

14 Q. Did you -- you didn't ask Jim to look into pump power or
15 anything though.

16 A. No.

17 Q. Okay. He just took it upon himself.

18 A. And a lot of these conversations with Jim are really
19 happening between Aaron and Jim.

20 Q. Okay.

21 A. So, not so much me. So, my involvement within the
22 actual investigation portion is assisting Aaron. So, I'm making
23 the phone call for him to Blaine or looking at trends for him,
24 calculating volumes. So, a lot of the conversation is between
25 Aaron and Jim.

1 Q. Yeah. That bothered me, too, a little bit because, I
2 mean, if Aaron is doing all the work with Jim, why are you making
3 the call to Blaine? I mean does he even have the background?

4 A. Did -- sorry.

5 Q. The background for all the discussions that are taking
6 place.

7 A. And I don't -- and that's the thing, a lot of the
8 information I have is getting it from Aaron as who's sitting next
9 to me within the phone call.

10 Q. And why didn't Aaron call Blaine?

11 A. I don't know. I don't know.

12 Q. He asked you to do it?

13 A. No. I said I'm just going to call Blaine.

14 Q. Oh, okay. You just --

15 A. Yeah, so, I, yeah.

16 Q. So, after that hour and a half or so --

17 A. Yeah.

18 Q. -- investigating you thought that --

19 A. Okay. Enough --

20 Q. (indiscernible)

21 A. Enough, enough, yeah. Let's just get Blaine involved
22 now, right.

23 BY MR. JOHNSON:

24 Q. Did you do it on a speaker phone with Aaron there, or
25 did you --

1 A. Yeah, Aaron was, yeah, because Jim got involved with
2 that conversation and we were on speaker phone.

3 Q. Okay. So, you made the call but from an information
4 sharing standpoint, Aaron and/or Jim were on --

5 A. Yeah.

6 Q. -- the speaker call.

7 A. I don't believe -- I think Aaron was sitting next to us
8 listening, but he was on his computer doing his work, whether
9 it's --

10 BY MR. NICHOLSON:

11 Q. Oh, okay.

12 A. -- paperwork --

13 Q. So, he was aware of the whole conversation.

14 A. Yeah.

15 Q. He could have chimed in at any time.

16 A. Yeah.

17 Q. Okay. Now, Jim says he was only there for a portion of
18 that conversation.

19 A. Yeah. So, when I needed to get him involved with the
20 explanation of the horsepower, that's when I got Jim involved.
21 So --

22 Q. Okay. And ultimately in that conversation you bring up
23 the procedure, I think, and you're reading through the MBS
24 procedure and that MBS procedure at some point is, you have to
25 look to the MBS analyzer to make the call, whether it's a valid

1 alarm or false alarm thing, right?

2 A. Yeah, I don't recall.

3 Q. You don't recall?

4 A. No. I haven't heard the --

5 Q. They haven't shared that with you.

6 A. No.

7 Q. You say after the call with Blaine we continued to
8 investigate. And I'm just curious, I want to define who we is.

9 A. Aaron and Jim and I.

10 Q. All three of you.

11 A. Yeah.

12 Q. Now, was there any further information from the previous
13 shift that would have helped you in troubleshooting these issues?
14 If they told you they had an MBS alarm or low suction pressure
15 or --

16 A. Well, certainly knowing like not familiar with Marshall
17 and the line 6, like someone coming to me and saying zero pressure
18 is not right here would be beneficial.

19 Q. Okay.

20 A. But I mean prior to the startup and that I didn't know
21 it wasn't --

22 Q. Right.

23 A. -- abnormal. So --

24 Q. I know it didn't happen, but had it happened, you think
25 it would have changed the outcome a little?

1 A. I think having that information, right, and that comes
2 from the operators involved, right, because they're the ones that
3 are looking at a line. So, a shift lead saying to me, oh, I
4 noticed zero pressure on this is going to be pretty rare looking
5 at every --

6 Q. Yeah.

7 A. -- pipeline and every terminal saying it's not -- that
8 doesn't look right.

9 Q. So, you rely on the operator --

10 A. Yeah.

11 Q. -- a little to --

12 A. Yeah.

13 Q. -- have captured it. You think all the right questions
14 were asked on the 26th, and that could be did Blaine ask you all
15 the right questions whereas for Blaine to make a sound decision?
16 Did you ask all the right questions --

17 A. Well, I --

18 Q. -- in your --

19 A. I think looking back on it, no, because there's always
20 more questions you can ask in order to get more information to
21 make those types of decision. I think, you know, if I had --

22 Q. So, play it out.

23 A. So, if I --

24 Q. What could you have asked?

25 A. If I would have, you know, if I would have said is zero

1 pressure normal here and/or if, yeah, like what happened on the
2 initial shutdown? What did our pressures look like? That kind
3 of -- those kinds of questions. I mean there's always more you
4 can look back and say I would have -- wish I would have done, you
5 know, would have asked those type of questions.

6 Q. And that's what we're doing.

7 A. I think, yeah, you know, why didn't I ask like is this a
8 leak, right? Like and I don't know if I ever did say that, you
9 know. You're thinking that.

10 Q. Yeah, you were hinting at it.

11 A. Right.

12 Q. There are several conversations --

13 A. Exactly. So, throughout it, you know, you're -- but why
14 didn't, you know, maybe if I would have said that maybe Blaine
15 says, yeah, don't startup again.

16 Q. Would it -- if you had a procedure that said assume any
17 column separation is a leak, telling you that --

18 A. Yeah, absolutely.

19 Q. -- eliminate all leak triggers, maybe that --

20 A. Yeah.

21 Q. If you start with worst case and after that, would that
22 have been beneficial?

23 A. It could, yeah, it could have been, right. In
24 hindsight, you know, any of that stuff, you know, I know -- what
25 if I'd called the pipeline company in the area, you know. Have

1 you got any phone calls, right? But you can question all that
2 stuff and say --

3 Q. Well, that's a good thought. I mean did you even have
4 that information available to call those people?

5 A. Probably not.

6 Q. Okay.

7 A. Right, but like what if.

8 Q. Sure.

9 A. You know what if you asked those type of questions.
10 Like have you heard anything? What's going on? Right.

11 BY MR. JOHNSON:

12 Q. One of the questions that Karen has asked is the screens
13 go from green to blue on low pressure, but, for the operator, but
14 they don't alarm. So, when you're looking historically, I don't
15 know that you see that and so Karen said if there was an alarm
16 when the pressure got below a certain point so you would check
17 your alarm history --

18 MR. JOHNSON: And, Karen, jump in here because I know
19 this is your question more than mine.

20 BY MR. JOHNSON:

21 Q. Would that have helped because you would have seen that
22 maybe in an alarm panel? Is that something you look at or is that
23 what the operator looks at?

24 A. That's what the operator looks at.

25 Q. Okay.

1 A. So, yeah, the lines themselves, we don't typically look
2 at the lines, look at the pressures, look at any of that
3 information. So, we get involved when the operator calls us. So,
4 when their procedure says get the shift lead involved at this
5 point, that's when we get involved. So, from a standpoint of
6 looking at lines or looking at a pressure to see if it's abnormal,
7 we wouldn't do that.

8 Q. Okay.

9 MS. BUTLER: Okay. So, I'm going to phrase that a
10 little bit differently, if that's all right --

11 MR. PARSONS: Sure.

12 MS. BUTLER: -- with everybody in the room.

13 MR. NICHOLSON: Yeah, go ahead, Karen.

14 MS. BUTLER: Okay.

15 BY MS. BUTLER:

16 Q. Since you, as shift leads are there to do a variety of
17 things, right, and it's clear on an event like this that you're
18 trying to help out, but yet you don't have the specific
19 understanding of each system to identify certain things like such
20 as an abnormal low pressure, conceivably, I would say probably
21 that relates to an abnormal high pressure, as a result of that, if
22 there was something that was set in the control room for highs and
23 lows that never moved, those are pressures that are actually set
24 in such a way that those particular types of things don't move
25 unless say there's been a major change to the line such as you got

1 new pipes so you have a higher discharge pressure allowed, and
2 those are always there to be there as the limits by which, hey,
3 below this it is never like this or it shouldn't be like this.
4 When you as a shift lead pull up things, if you saw that and the
5 alarm descriptor was set in a way that everybody understood that
6 meant you hit an abnormal level, could you have determined more?

7 A. I don't -- we probably could have determined more
8 because being aware that that pressure was abnormal or low. So --

9 Q. And I --

10 A. I guess we could have determined more because we, you
11 know, perhaps broadened our trends and gone back to look at it.
12 So, if we know that this pressure went to -- went below normal or
13 below the allowable alarm limit that is previously set, if it goes
14 below that, we can go back to the time stamp, find out what
15 happened, go back, trend this situation that occurred and
16 determine why that pressure went low.

17 Q. Okay. And the reason I want to clarify that is because
18 what I've heard people say from a shift lead perspective is that
19 it was an abnormal pressure or it wasn't a normal pressure, or it
20 went to zero pressure and it typically doesn't do that. And so
21 what that tells me is that there is a limit on some lines where
22 something below the norm would trigger events for a lot of people
23 to think differently. And clearly more than one shift lead has
24 indicated the words abnormal, not normal, you know, and that type
25 of reflection. Zero pressure wasn't typical or wasn't normal,

1 that type of reflection. So, that's why it came up. Okay?

2 A. Okay.

3 Q. And I'll go back to Matt questioning.

4 MS. BUTLER: Sorry, Matt.

5 MR. NICHOLSON: That's all right. I really only had one
6 other one. I think we covered most of this.

7 BY MR. NICHOLSON:

8 Q. And that is, and it's along the same lines. Do you
9 think all available data -- I've worded this wrong. I want to
10 rephrase that. Do you think you had all the available data you
11 needed? Was there enough data available to maybe have caught this
12 if you'd looked deeper and know where to look?

13 A. Yeah, I think all of the data is there. It's just going
14 back far enough to see it. So, when we're looking at trends and
15 not knowing there was anything abnormal --

16 Q. Well, even, forget about the shutdown.

17 A. Yeah.

18 Q. Because that's I think what you're referring to.

19 A. Right.

20 Q. So, had you gone back and seen the big pressure drop.

21 A. Right.

22 Q. But even just in your small window there, did you have
23 enough information to have ruled out line pack or did you --

24 A. Yeah, I think we should have had enough information.
25 Whether we were, I guess directed in the wrong direction from

1 that.

2 Q. That's essentially what I'm asking.

3 A. Yeah.

4 Q. I mean was the information there and maybe people
5 weren't utilizing that information correctly or just didn't know
6 where it was or how to interpret it or are you actually missing --

7 A. Yeah.

8 Q. -- SCADA data that you should have had?

9 A. No, I think the SCADA data is there. It's there and the
10 information is there. Obviously, when you look at volume that you
11 put into the line and the volume that's not coming out, I mean,
12 you mentioned I questioned it, and I, you know, couldn't explain
13 it but yet it's explainable to someone that's saying that
14 there's -- you don't have enough horsepower. So, taking that
15 information and relying on someone that has a lot more experience
16 in that role, you're relying on that information.

17 So, I guess, I mean you have to trust those that are
18 involved to some extent and go with the decisions that, you know,
19 that are made.

20 Q. Okay. So, you do think you probably had enough
21 information at your fingertips and --

22 A. Yeah, I mean look at --

23 Q. -- and you knew what it meant or where to go.

24 A. Yeah, I mean it's one of those tough ones where you
25 start up the line you see your pressure getting to Marshall and it

1 gets to four pounds and then settles out but yet a number of
2 variables, you know, that are potentially, I guess giving you the
3 impression that you don't have enough horsepower.

4 Q. There's been a lot of talk about, in previous
5 interviews, not yours, about network traffic and restarting
6 machines and stuff. I'm just curious. I don't think -- were any
7 of those issues network where you're getting lag or --

8 A. Not that I'm aware of, no.

9 Q. Okay. So --

10 A. There was no problems there.

11 Q. -- none of those were compounding --

12 A. No.

13 Q. -- or problematic. Okay. And then I'll just kind of
14 close with the, going back to sort of the analysis that ended up
15 being not enough pump horsepower. I'm just curious. If you don't
16 know this, that's fine. But I don't -- in my mind if a station is
17 going to be out someone in engineering has probably already looked
18 at the hydraulic model to say this station is going to be out on
19 startup. We're going to be running (indiscernible) to Mendon.
20 It's a longer section than we normally run. We should be okay.
21 Our flow rates are not -- is there any kind of analysis -- did you
22 actually have to go down the road, or Jim, I don't want to put you
23 on the spot, did that analysis even need to happen where they're
24 looking at pump horsepower? Shouldn't that have already been --
25 it's either factored into your system already that you could have

1 a station out or someone has done those numbers before startup.

2 A. Yeah, it's -- there should be something there that tells
3 you that, you know, like knowing, I guess, from a capacity
4 restriction. So, if you have a station that's out or being
5 bypassed you know what type of capacity that's going to impact.
6 It's going to, you know, you can only maintain a certain rate or
7 you can --

8 Q. Yeah, okay.

9 A. -- you know, your max rate without that station is going
10 to be this. You, I guess you would know that information. They
11 wouldn't put a station out that's out of service if you couldn't
12 run your line above minimum flow rate.

13 Q. Okay.

14 A. Right. So --

15 Q. That's what I'm asking.

16 A. Yeah.

17 Q. You say they though. That's, CCO engineering?

18 A. Yeah, that would be engineering. Right.

19 Q. Okay. And is that communicated to you?

20 A. Not, no.

21 Q. Just --

22 A. No, like it, yeah, they go about, you know, putting the
23 type of capacity restrictions through. If there's a field work
24 request to say we need this station out due to pump removal or
25 something like that, well then they either, you know, have to

1 allow it and if it doesn't impact your mainline from a minimum
2 flow rate.

3 Q. Okay.

4 A. Detectable minimum flow rate.

5 Q. Okay.

6 A. Or else have to, you know, come up with some other means
7 of being able to get that field work request approved.

8 Q. So, really, looking back, I mean, you shouldn't have to
9 question pump power from a station because someone has already
10 looked at that, right? Or am I wrong? Are there times when you
11 have to do that?

12 A. And that's why, like I don't understand why it can't,
13 you know, I don't have a lot of experience, but I'm like, well,
14 why, we should have enough horsepower to overcome it. But I'm
15 being told that, you don't.

16 Q. Okay.

17 A. So --

18 Q. Okay.

19 MR. JOHNSON: Going on that, you know, and listening
20 yesterday and today, my understanding was or impression was there
21 was enough horsepower, it just -- more had to be brought on at
22 Mendon because Niles being bypassed. So, there was enough
23 horsepower there, but they weren't up to the horsepower or they
24 were up to the discharge pressures at Mendon?

25 MR. NICHOLSON: Yeah, there is some discussion about,

1 well --

2 MR. PARSONS: Yeah.

3 MR. NICHOLSON: -- Darin --

4 MR. PARSONS: And that's --

5 MR. NICHOLSON: -- can talk to this.

6 MR. PARSONS: Yeah, precisely that. It's, you know, not
7 having enough horsepower to overcome what's drained off. So, you
8 can't, like you have to, I think in the initial startup when they
9 open up their line they just drained off the line and it didn't
10 keep it in there. So, it gives you -- it takes that much more
11 power to, you know, push it in, or bring the column back together.
12 And if, you know, you had a valve close downstream of that station
13 you'd get the column back a lot quicker. So, if it's just -- if
14 you're just filling in the column slowly, you don't have enough
15 horsepower just to, you know, put it together.

16 BY MR. NICHOLSON:

17 Q. It just takes you longer right?

18 A. Right. It just takes you longer, exactly.

19 Q. Okay.

20 A. And that's what we were thinking happened is that, oh,
21 it's taking longer than, to get, because of LaPort's pump
22 availability bypassing Niles and --

23 UNIDENTIFIED MALE: Yeah, you're just running
24 (indiscernible) --

25 MR. PARSONS: Exactly.

1 UNIDENTIFIED MALE: Right.

2 MR. PARSONS: Exactly.

3 MR. NICHOLSON: Okay, I'm finished with that. Karen, do
4 you have anything else?

5 MS. BUTLER: I do. Quite a few little things to
6 clean-up. So, do we need a five minute break? I'm just asking?

7 MR. PARSONS: I'm good.

8 MR. NICHOLSON: Darin is good.

9 UNIDENTIFIED MALE: We're good.

10 MR. NICHOLSON: I think we're all good. Go ahead.

11 MS. BUTLER: Okay. All right.

12 BY MS. BUTLER:

13 Q. So, we talked previously about sometimes there's other
14 operators in the room that you had asked for technical assistance
15 and they might be there to help out and I think that question was
16 asked by Ravie and we kind of responded that we didn't ask anybody
17 else in the room. Is it -- do you remember was it because they
18 were too busy on other issues?

19 A. No, I think we didn't consult other operators because we
20 got too involved with the investigation process. So, at that
21 point, you know, you just, you get so involved you forget to, you
22 know, to look around to see who's around you.

23 Q. That's fine. Okay. Then, you know, I believe one of
24 the other comments was shouldn't Tim Chubb have performed the
25 calculations for drain-out, and we chatted about that previously I

1 think in this discussion. Isn't it possible that he could have
2 asked his shift mate to help out with that?

3 A. Yeah, he could have.

4 Q. Okay. Do you know whether he did or not?

5 A. No.

6 Q. Okay. If you assume a leak, what do you do then?

7 A. If we assume a leak we follow procedure to isolate,
8 sectionalize, notify our on-call staff, regional management.

9 Q. And --

10 UNIDENTIFIED MALE: Do you want to clarify, if you
11 suspect a leak or assume a leak?

12 MS. BUTLER: My question was assume.

13 UNIDENTIFIED MALE: Okay.

14 MS. BUTLER: But he may wish to clarify his answer.

15 MR. PARSONS: No, mine was for assume. So, if there's a
16 leak, we assume that there's a leak, we follow procedure.

17 BY MR. JOHNSON:

18 Q. Would you see a different, in the terminology assume or
19 suspect? Would you -- if you suspect --

20 A. Yeah, if we --

21 Q. I'm thinking that's the same thing for you?

22 A. Well, if we, yeah, there's different procedures, right.
23 So, if I go, yeah, there's suspected leak and then there's
24 confirmed leak and I would go confirm leak when I assume, and I'd
25 follow that procedure. Suspected leak, I'd follow the suspected

1 leak procedure.

2 BY MS. BUTLER:

3 Q. Okay. So, let's say that we're assuming there's a leak
4 and you followed procedure to isolate, sectionalize, and notify.
5 What's that procedure called?

6 A. Confirm leak --

7 Q. Okay.

8 A. -- procedure, I do believe.

9 Q. Okay. All right. And when you get into that process,
10 is that an overwhelming task or is it pretty easy to declare and
11 just get moving on it?

12 A. Yeah, once you, yeah, it's pretty easy. Just, you know,
13 follow the procedure and start making your notification calls and,
14 yeah, it's pretty clear.

15 Q. And is that procedure in your mind detailed enough?

16 A. Yes.

17 Q. Okay. All right. And do you have training on that
18 procedure?

19 A. Not training, but we've, you know, every one has a
20 limited experience with it right, with say the numbers of leaks
21 we've done. We've all probably had to follow that procedure once
22 or twice throughout our --

23 Q. Okay.

24 A. -- our time.

25 Q. And you mean like the shift leads have all --

1 A. Yes. Yeah.

2 Q. Would you say that about the operators or would that
3 experience be different for the operators?

4 A. No, the experience would probably be a lot more, they
5 would be involved a lot more with that procedure.

6 Q. All right.

7 A. In the sense that they, they're operating the line. So,
8 if they see three leak triggers they're following that procedure
9 right away and then we get involved and, you know, there's a
10 certain portion of that procedure where we take over.

11 Q. So, after you confirm a leak, we used this procedure,
12 we've sectionalized and we're beginning our notifications, at what
13 point do we shift into an emergency procedure or is confirmed leak
14 part of your emergency procedure?

15 A. That's the emergency procedure. And then from that
16 procedure we have like the confirm leak notification procedure
17 where we would follow after we --

18 Q. Okay.

19 A. -- you know.

20 Q. And so do you have like yearly review of that?

21 A. Yes, we do.

22 Q. And when you have a yearly review of that procedure, do
23 you like cover that with the operators as shift leads, or do you
24 have the yearly review from supervisory to you, or do you all
25 review it together? How does that work?

1 A. It's more of a, I guess a collaborative review. So, the
2 operators would review it as well as the shift leads.

3 Q. Do you do that together?

4 A. No.

5 Q. So, when changes come into the emergency procedures, how
6 do you address that with the staff?

7 A. There's usually an email that's sent out to the group.

8 Q. Is that something that you as a shift lead would cover
9 in detail with the operators?

10 A. Not typically because usually changes are very minor,
11 but if it's something that, in, say if it was a serious procedure
12 or something that was a big change, we would definitely review it
13 with the operators directly.

14 Q. Okay. Regarding the LPM system, I'm shifting gears on
15 you. So, just clear your mind of the previous procedure
16 discussion. On the LPM system and how it functions on the SCADA
17 in general, do you know if it's meant to protect overpressure
18 only?

19 A. The LPM system? Sorry, Karen, I just want to make sure.
20 Does the -- are you asking does it only look at overpressure not
21 low suction?

22 Q. Right.

23 A. In my belief, that's -- the overpressure is more the
24 severity of, I guess, being -- you want to be informed of the high
25 pressure versus the low pressure and the low pressure being MBS as

1 your support there.

2 Q. Okay. Thank you for that. Do you understand the LPM
3 system thoroughly?

4 A. No.

5 Q. Has there been time spent giving you training on that?

6 A. Like we -- I know, like, I guess when you say
7 thoroughly, do I know it like the back of my hand? No, I don't,
8 but I mean we do have some training as operators when we are
9 trained there with the LPM system. We've got an idea of when
10 pressure limits are imposed and what it does, how it affects the
11 line, how we operate our line. Yeah, I'm familiar with it. But
12 not really following it as an operator day to day, you lose touch.

13 Q. Okay. All right. So, do you -- when you input changes
14 to the pressure allowable limit, how do you communicate that to
15 the staff?

16 A. Depending on what it affects, Karen, I would send an
17 email to the group that it affects. So, if it's -- if your
18 discharge pressure, your maximum allowed discharge pressure
19 decreases by a significant amount, you know, it'd certainly
20 warrant a, you know, a high urgent or a, you know, high priority
21 email where they're informed of the potential impact it has now to
22 their mainline.

23 Q. Is there a standard process or procedure that addresses
24 how you communicate that with the staff?

25 A. No, I don't believe so.

1 Q. So, you would mark an email urgent or something if it
2 was a significant change?

3 A. Yeah. If I know that's going to impact the mainline, I
4 would send it out.

5 Q. Since you have the opportunity to see multiple systems
6 or hear complaints on behalf of the operators, I would assume, as
7 a shift lead, do you notice pressure control valve problems, or
8 PCV control problems?

9 A. Yeah. They're, I mean, we've got them all over our
10 system and, yeah, there are a lot that are problematic and don't
11 work as they should, whether that's being react quick enough or
12 react too quick or maybe not even there and should be.

13 Q. Have you made requests for enhancements or things like
14 that that, say, could put a pressure control valve at a location
15 where it isn't?

16 A. I haven't as a shift lead, but direction to do that
17 would be through the operators to put in a FacMan.

18 Q. Okay. So, it would go through the FacMan process?

19 A. Typically, yes.

20 Q. Are there some lines that appear to have more problems
21 with pressure control valves functioning properly than others?

22 A. Not being an expert on every line, that's hard to
23 answer, but I would suspect there are a few lines there that
24 have -- that I've heard that have PCV problems.

25 Q. Okay. Since you've said that you're not an expert on

1 every line and you've heard them, I'm just going to ask do any
2 that you've heard about come to mind?

3 A. I know line 4 has a few PCVs that, you know, are
4 problematic, or maybe not even at the station when they should be.
5 I shouldn't say should be. They're just not there because they're
6 getting fixed or had to be used for another control valve.

7 Q. Okay. All right. Since we talked about PCVs a bit, are
8 there any other complaints that traditionally you hear commonly so
9 like operators coming to you and saying, you know, this is driving
10 me crazy, or could you please just note this, this is a problem
11 for me? Are there any -- is there anything else that might have a
12 common thread across the control room that you've been made aware
13 of?

14 A. I guess kind of off the top of my head two things would
15 come into mind. One would be nuisance alarms. I get quite a few
16 of those from the operator saying that I'm receiving this alarm.
17 Talked to people out in the field, they have no idea what it is
18 or, you know, what its explanation is. So, we get that. So, a
19 nuisance alarms or an MBS alarms is another one.

20 Q. Were those the two that you were thinking of --

21 A. Yes. Yeah, MBS alarms and nuisance alarms.

22 Q. On the nuisance alarms, is there a type that typically
23 has been in your experience, or is that just kind of an in general
24 statement?

25 A. That's in general. Each console would have their

1 nuisance alarms and they would be different, right. So, it would
2 be more of a, not -- it would be more of a frequency alarm like so
3 if they're receiving an alarm every minute for their whole shift,
4 that would be irritating. So, that's when I say a nuisance, I
5 mean the frequency of the alarm.

6 Q. Right. So, I'm going to call that a chattering alarm or
7 a nuisance alarm, either one --

8 A. Sure.

9 Q. -- in the next part of the conversation. Are you
10 capable of taking those off scan or do you have to refer that to
11 the SCADA department?

12 A. No, we'd have to refer that to the SCADA department.

13 Q. Does that get done through a system or like do you pick
14 up the phone and call them?

15 A. I guess if it, you know, if it's during the day we could
16 call them and talk to them, but it would have to be approved to be
17 taken off the system.

18 Q. And so when you say it would have to be approved, does
19 that mean it has to go through approval process?

20 A. That's correct.

21 Q. Okay. And would that also be true as opposed to being
22 taken off the system, would it be true to have the set point moved
23 or the trigger point moved, or is that different?

24 A. Oh, of the alarm itself?

25 Q. Yes.

1 A. Yeah, it'd have to be approved as well.

2 Q. And do you know what that approval process is called?

3 A. No.

4 Q. Okay. Do you know if it involves multiple departments?

5 A. Yes, it would.

6 Q. How long does that typically take in your experience?

7 A. Oh, I couldn't answer that, Karen. Yeah, it's --

8 Q. That's fine.

9 A. Yeah.

10 Q. It was a broad question. So, I'm sorry I didn't ask it
11 better. All right. So, we'll just move on to another topic,
12 okay?

13 A. Sure.

14 Q. So, we're going to move off alarms for a minute and
15 we're going to go on to column separation just in general. We
16 believe that on shutdown of 6B column separation typically happens
17 around the Leonard station area. Does that have any familiarity,
18 does that statement have any familiarity to you?

19 A. No.

20 Q. All right.

21 MR. JOHNSON: And just for the record, Leonard actually
22 is a pressure transmitter location.

23 MS. BUTLER: Oh, thank you.

24 MR. JOHNSON: It's a former station site, Karen. So,
25 you're kind of correct, but just for the, like I said --

1 MS. BUTLER: Yeah, I thought it was --

2 MR. JOHNSON: -- for the record.

3 MS. BUTLER: -- a former station site and then it was
4 still referred to on the schematics as a station site. So, I
5 apologize for not --

6 MR. JOHNSON: No problem.

7 MS. BUTLER: -- (indiscernible) for a station, and thank
8 you for that clarification.

9 BY MS. BUTLER:

10 Q. We've mentioned this in general, but I'm just going to
11 ask it a different way to make sure that we're getting the input
12 for a fact correct. Were you aware of any unusual activity going
13 on on your shift associated with this Marshall incident regarding
14 the SCADA system or various consoles in the room?

15 A. No.

16 Q. And when column separation happens, is that fairly
17 frequent in your mind on certain systems?

18 A. On certain systems, yes.

19 Q. Is 6B one of them?

20 A. I don't know.

21 Q. Okay. All right. When an MBS alarm has triggered and it
22 goes away, is it your understanding that you still have an
23 adequate leak detection system running?

24 A. I guess if it's explained, like if it, you know, I trust
25 the system. If the MBS alarm clears that means everything is

1 good.

2 Q. So, when you say I guess if it's explained, does that
3 mean if the MBS analyst tells you something?

4 A. No, if the system that's in place gives you an alarm,
5 it's saying something is abnormal. If it clears it means it is
6 normal. So --

7 Q. Okay.

8 A. So, if we have column separation and it's saying, yeah,
9 you're in column-sep and you put the column back together and then
10 your alarm clears, that explains that, you know, it's back and
11 that your volume in and your volume out is balanced.

12 Q. So, would that statement change, or your understanding
13 of it change, if the column-sep was still there but the alarms
14 still went away? Would that have any bearing on what you just
15 said?

16 A. I'm sorry, say that again, Karen.

17 Q. Okay. I think in the string that you were just
18 explaining to me that, yeah, an alarm came in from the MBS system
19 and you had column-sep for example and the column-sep --

20 A. Yeah.

21 Q. -- went away and the alarm cleared, then you would think
22 the system is normal.

23 A. That's right.

24 Q. Okay. So, changing that string of events just a bit, if
25 you had an MBS alarm and it was -- and column-sep happened and the

1 column-sep didn't go away but the MBS alarm went away, do you
2 believe you still have a leak detection system that's working?

3 A. No.

4 Q. Okay. So, the key for that is what? The key difference
5 for you is what?

6 A. That column separation. So, if the operators know that
7 there's a column separation there and that -- and our MBS alarm
8 doesn't see that, I would say that it's not working accurately.

9 Q. Okay. So, on some systems during shutdown, and then as
10 a result of shutdown, you also see them at startup, you typically
11 have the column separation because of elevation differences or
12 dynamics within that pipeline system, do you think everyone, or do
13 you believe then that you have an active leak alarm, leak
14 detection system in those circumstances?

15 A. If there's a column separation and it's an alarm, then
16 it's accurately saying your balance in and out isn't accurate, you
17 know. It takes you time to, you know, start the line and get it
18 going from start to finish that, you know, I would say it is
19 accurate if the information is correct.

20 Q. Okay. So, to your knowledge, if a particular line on
21 shutdown typically experiences a column separation at a certain
22 location, is there anything different that the operator is
23 supposed to do in that event?

24 A. No, I don't think that there's anything different that
25 they're supposed to do.

1 Q. Okay. When -- because you are, shifting gears on you a
2 bit, going to your shift lead role as kind of a coach or mentor,
3 in the operator's specific duties, do you as the shift lead ever
4 assign certain operators duties or things they're supposed to be
5 active in that do not have -- that are away from say operating
6 their console or monitoring their console?

7 A. We don't assign, you know, I guess tell the operators
8 that they have to do this, they have to do that, but through the
9 performance evaluation process we have the opportunity to give, or
10 we give the opportunity to the operators to take on some
11 additional work if they want and they feel that they can support
12 it. We don't by no means force them to do things that, you know,
13 is going to take them away from their operating duties and that's
14 communicated to them when they take on roles like this that
15 operations come first and any objectives come second.

16 Q. And are they rewarded for doing that in any way?

17 A. Yeah, they're -- they -- they're rewarded in their
18 development. So, a lot of times the extra work that they do is
19 for their own development and so, obviously, they'll -- they're
20 benefited from developing as -- in their careers, but also we
21 recognize that extra effort as a strength to the control center
22 and to themselves. So, during their performance evaluation
23 process we will, you know, certainly take that into account when
24 we do our year end ratings.

25 Q. Does -- are they allowed to do their work off shift?

1 A. They can do it whenever they want. Typically, it won't
2 be done after their shift or when they're off shift.

3 Q. Is that because you simply can't due to the console
4 setup or the systems or --

5 A. No, typically, it's not done because they don't want to
6 do it on their time off.

7 Q. Okay. So, is there -- do you as the shift lead ever
8 track whether or not this type of activity is done during a
9 certain time, like --

10 A. During their shift?

11 Q. Yeah.

12 A. No. No, we don't track that. You know, we, we'll touch
13 base with them throughout the months and see how they're
14 progressing, but we don't follow a certain time period as to when
15 they're doing it, you know, whether they're doing it from 9:00 to
16 11:00 during their shift. We don't follow any of that.

17 Q. Do you ever track whether they do those things during a
18 non-heightened awareness time on their shift?

19 A. No.

20 Q. All right. Would you say the majority of controllers
21 take on additional, or is that just a few, or how would you
22 translate that in your experience in the control room?

23 A. I would say there's only a few in the room that would
24 take on additional work as long as they were comfortable with it
25 and could balance the two. A lot of the time the work that they

1 take on has a lot to do with what they're doing. So, you know, it
2 keeps them involved and that, but not all the time will they, you
3 know, it could be something outside of their operational duties
4 that they're taking on. So --

5 MR. NICHOLSON: Okay. And, Karen, I'm trying to hold
6 everybody to about 30 minutes apiece. So, do you have a lot more,
7 or --

8 MS. BUTLER: Roughly, I think about ten, but I will
9 break then. How's that?

10 MR. NICHOLSON: Yeah, why don't we go to Brian and give
11 him a chance and then we'll --

12 MR. PIERZINA: All right. Thanks.

13 BY MR. PIERZINA:

14 Q. Real quickly, Darin, I want to go back. So, you
15 guesstimated that maybe 85 to 90 percent of MBS alarms are on
16 startups and shutdowns. So, what percent would be startups versus
17 shutdowns?

18 A. Oh, 50/50. I don't know.

19 Q. Oh, is it 50/50?

20 A. I don't know, yeah.

21 Q. Okay.

22 A. Like it, I think it all depends on your line and how it
23 drains off or how it's shutdown or operating limits it's, so.

24 Q. Okay.

25 A. So --

1 Q. Do you ever see any MBS alarms on idle lines?

2 A. On idle lines, meaning not running?

3 Q. Not running, right.

4 A. Just shutdown? Yeah.

5 Q. Okay.

6 A. Yeah.

7 Q. Is that rare or --

8 A. Yeah, I'd say rare. I'd say rare.

9 Q. Do you consider Aaron a technical expert?

10 A. Yes, I do.

11 Q. Okay. Give me a -- so, we talked about the ten minute
12 rule, you know, seeing pressure at the next station. What other
13 ten minute rules are there that would require a shutdown?

14 A. Off the top of my head, I don't know. I think there's,
15 well, there's only the really the one ten minute rule that we've
16 always referred to and that would be the startup and the, if you
17 don't get your pressure. There's, I mean, to look at the
18 procedures and remember every ten minute rule that's in there, I
19 can't --

20 Q. Okay. So --

21 A. I can't answer that. So, there would be others in there
22 right that, if you can't have an MBS alarm explained within ten
23 minutes you'd shutdown, right.

24 Q. All right.

25 A. So, things like that.

1 Q. All right. Thanks.

2 MR. NICHOLSON: Ravie?

3 BY MR. CHHATRE:

4 Q. It was not my top question, but I'll just follow on that
5 one with the ten minute rule.

6 A. Sure.

7 Q. Since I started this statement, questions, I guess.
8 During your tenure, two and half years with (indiscernible) before
9 that, how often the ten minute rule, exceeding ten minute rule has
10 caused leaks?

11 A. Exceeding the ten minute rule?

12 Q. I --

13 A. Yeah.

14 Q. If you don't get the pressure that you want --

15 A. Yeah.

16 Q. -- in ten minutes to the next station down --

17 A. Yeah.

18 Q. -- and then you have to shut the line down.

19 A. Yeah.

20 Q. And then you find that the line had a leak.

21 A. Right.

22 Q. Has it ever happened?

23 A. Has it ever happened? Not that I recall.

24 Q. I want to start with my questions. When you exceeded
25 ten minute rule and you guys decided to continue for another 10 or

1 11 minutes after that, was there any discussion between you and
2 your, I guess, subordinate operators, and you had supervisors, and
3 the, I guess, analysts, about contacting the custodian of the line
4 immediately?

5 A. I wasn't aware that the ten minute rule was exceeded
6 until after the line was shut down.

7 Q. Okay. But I mean --

8 A. But at that point the, I mean, the custodian or the MBS
9 analyst or is that what you're referring to?

10 Q. Not the person was the, is analyst, but I believe he was
11 in the communication room with you guys at that time.

12 A. Yeah.

13 Q. And so, do you know who the, it was indication of the
14 operator and the specialist, do they discuss about contacting, and
15 I understand the custodian for each line in your system
16 (indiscernible). Am I correct?

17 A. It would be the --

18 BY MR. JOHNSON:

19 Q. Your line custodian.

20 A. The operator?

21 Q. That's, no, that would be, as it was explained to us,
22 that would be, for instance, Ted Farquar (ph.) is a --

23 A. Oh, okay.

24 Q. -- one, so I think --

25 A. I don't know.

1 BY MR. CHHATRE:

2 Q. Was there a discussion about contacting the line
3 custodian at that time?

4 A. Not that I'm aware of, no.

5 Q. Okay. Are you aware, I guess, that there is a line
6 custodian for each line? You are not familiar with that?

7 A. Yes, there's --

8 Q. Do you know what line custodian for this particular line
9 would be?

10 A. No.

11 Q. Did the operator know? Did the operator mention --

12 A. No.

13 Q. -- the custodian? Did the analyst mention line
14 custodian?

15 A. Not that I'm aware of, no.

16 Q. Just for the record I'm asking this, the same questions
17 and same discussion, did it happen after the 20 minute --

18 A. Yeah, I wasn't involved a lot with the MBS analyst when
19 they're talking about custodians or anything like that. We --

20 Q. So --

21 A. -- yeah.

22 Q. -- you wouldn't even know they talked about the --

23 A. No. No, I didn't know that they would have even spoken
24 to him or if there was any calls to him or not. I am not aware of
25 it.

1 Q. Did you mention contacting custodian?

2 A. No.

3 Q. I guess my next question is, are there any guidance
4 written, verbal, or understood, about contacting custodian, when
5 the custodian should be contacted?

6 A. I have no idea when they contact them. We -- that's all
7 MBS side of things. So, they -- we have no idea when they decide
8 to contact them or not.

9 Q. So, you guys had no input to the operator, saying look,
10 it looks like the problem is persisting, please get more help. Is
11 it up to the analyst to decide?

12 A. Yeah. Yeah. Yeah, no, we don't get involved with any
13 of that. That's all MBS. So --

14 Q. No, no. Okay.

15 A. Yeah.

16 Q. But I mean do you guys have any say at all requesting --

17 A. Oh, I'm sure --

18 Q. -- that that --

19 A. I'm sure we could. I mean that's certainly, yeah, we
20 could probably ask that question.

21 Q. So, how long typically are, I guess, you already
22 answered that question at the very beginning that you
23 (indiscernible) analyst --

24 A. Yeah.

25 Q. -- why different kind of --

1 A. Yeah.

2 Q. (indiscernible), but in this case did anybody express
3 concern that we are not getting adequate help on the problem, it's
4 not getting resolved?

5 A. I didn't, but I, yeah. I didn't.

6 Q. Did it (indiscernible) in your mind that gee-whiz, we
7 are not moving forward and we may need more help?

8 A. No. I felt, you know, I was comfortable with Jim
9 Knudson and his expertise as a technical operator as well as an
10 MBS analyst. So, I never once said we should get someone else
11 involved from an MBS analyst --

12 Q. And what is --

13 A. -- perspective.

14 Q. -- (indiscernible) differently? What has to occur
15 before you guys feel uncomfortable and request analyst to get
16 custodian in the loop?

17 A. What has to occur?

18 Q. You said you didn't request --

19 A. Yeah, it --

20 Q. -- custodian.

21 A. I guess if they can't explain it or if they can't give
22 us an idea of what is causing the alarm, then we can say, you
23 know, can you look to your support or what, you know, if they have
24 on-call support, you know, get more of their senior guys involved
25 to look at it.

1 Q. Now, in your mind, what is the mass balance analysis
2 alarm does to you? What it means to you? What does the mass
3 balance calculations form like in you mind?

4 A. In my mind? MBS means there's an imbalance in your
5 volume and your volume --

6 Q. But --

7 A. Yeah.

8 Q. -- the purpose of doing the mass balance calculations,
9 what is the purpose in your mind for that?

10 A. The purpose of that is to track your volume. It's
11 essentially volume accountability.

12 Q. Track, well, to (indiscernible).

13 A. No. It's to make sure your line is whole, like I guess
14 is, I don't know how to explain it. We've got CMT to calculate
15 your volumes in, your volumes out, but your MBS system tells you
16 that your line is whole and has no anomalies, no holes, nothing,
17 no leaks, anything like that. It's there to, you know, insure
18 that there's pressure in your pipeline.

19 Q. Okay.

20 A. I guess not to insure there's pressure in your pipeline,
21 but to indicate that there's pressure --

22 Q. Indicate pressure --

23 A. Yeah.

24 Q. And do you consider that as a key part in the detection
25 or site benefit of the detection? How -- and where do the

1 detection come into the picture, I guess, in your view?

2 A. In my mind, I think MBS is a great tool to have because
3 it's, you know, somewhat real time pressure analysis of your line
4 as a whole. Whereas if an operator relied solely on his pressures
5 on his line and his volume in and out, it may be hours and days
6 before you ever realize there's any kind of problem. But, you
7 know, I believe it is an asset to the pipeline system.

8 Q. Do you look at that as a leak detection tool or not?

9 A. It's one of.

10 Q. Okay.

11 A. One of the leak detection tools we use.

12 Q. And that's all I have, but I really appreciate --

13 A. Okay.

14 Q. -- your really candid answers.

15 A. Okay.

16 BY MR. NICHOLSON:

17 Q. I got some more, Darin, sorry. It's just the nature of
18 the beast. I'm going to start with you were aware that the pumps
19 at Marshall shut down on suction at --

20 A. I am now.

21 Q. You are now.

22 A. Yeah.

23 Q. Okay.

24 A. Yeah.

25 Q. Okay. What is -- why do pumps shut down? Why does the

1 station shut off pumps on low suction? What's it meant to do?

2 A. There's nothing feeding the pumps so it starves and
3 shuts down. So --

4 Q. Like cavitate or --

5 A. Right.

6 Q. Okay.

7 A. Yeah.

8 Q. So, then when you go to start up the line, isn't there
9 still zero pressure and suction?

10 A. There's zero pressure at the station there.

11 Q. So --

12 A. At Marshall.

13 Q. -- how do you start pumps? The station cuts out the
14 pumps at zero pressure. How do you start them on startup? How do
15 you override that?

16 A. You feed from upstream station. So, at Mendon --

17 Q. Yeah.

18 A. -- so you start a pump at Mendon and your pressure gets
19 to Marshall and you want for your pumps to -- wait for your
20 pressure to get to Marshall and then once you get pressure
21 there --

22 Q. Above a certain limit.

23 A. Yeah, above a certain limit, you can start your unit.

24 Q. But I don't see any pressure build on suction in
25 Marshall emitted.

1 A. Right. It builds at four pounds.

2 Q. That was the discharge, though, right? Did the suction
3 pressure build?

4 A. I don't know.

5 Q. The suction has to get above --

6 A. Yeah.

7 Q. -- that threshold before you can start.

8 A. Right. And typically, when the pressure comes to your
9 station it's going to go right through, right. So, your suction
10 discharge should come up at the same time unless you had your PCV
11 closed.

12 Q. Okay. My trends don't indicate a buildup on the suction
13 side. I guess I can look at that further, but even if you'd only
14 built it -- if you built a, if you say to equalize and I see three
15 pounds on discharge, you would only have had three pounds --

16 A. Suction, right. So, at --

17 Q. That's still below your --

18 A. Right. So, you can't start it.

19 Q. So, he could never have started. He never started
20 Marshall.

21 A. I don't know if he did or not on the prime initial.

22 Q. But he had to because he got four pounds, right?

23 A. No, because that's built from upstream.

24 Q. Oh, that was all coming from Mendon.

25 A. Yeah.

1 Q. Okay.

2 A. Yeah. So, we got Mendon running trying to build
3 pressure to start Marshall and no pressure gets there.

4 Q. Okay.

5 A. So, we never get to start Marshall.

6 Q. That's right. Going back to procedures, is there
7 anything in the procedure that says you have to notify your
8 management within a certain amount of time?

9 A. I don't recall if there's a certain amount of time, but
10 I know once, yeah, like the procedures, we got so many, I can't
11 keep track, but looking at, or thinking back at it, there's a
12 point in your procedure where it says start to notify management
13 and --

14 Q. And you say before you start the line again.

15 A. Yes.

16 Q. -- right? Okay.

17 A. Absolutely. So --

18 Q. And there's nothing that says you can wait ten hours
19 before calling management.

20 A. Right. Exactly. Yeah. There's nothing there. It just
21 says notify, you know, shutdown the line after your ten minutes.
22 Notify. So, you know, at that time we're trying to get
23 information before we make a phone call.

24 Q. Okay. You mentioned Ghazal pulled up a pending
25 procedure.

1 A. I do believe so. I think that's where Aaron got it
2 from. I don't --

3 Q. Oh, that's right. That was with --

4 A. Yeah.

5 Q. -- Aaron not so much you.

6 A. No, because that's -- so, after the phone call --

7 Q. Yeah.

8 A. -- that we get from Tim --

9 Q. Right. Well, ten --

10 A. -- saying we got ten minutes.

11 Q. Yeah.

12 A. Aaron goes to the console and then starts talking to Tim
13 and I think at that point that's where Ghazal brings up a pending
14 procedure or revised procedure which probably hasn't been
15 approved, and that's the procedure that Aaron went by, just
16 maintain the refined running.

17 Q. As a shift lead, why would you use a -- you would know
18 better as a shift lead to use --

19 A. Well --

20 Q. -- a pending procedure, wouldn't you? Or --

21 A. Like I didn't even know the procedure was there.

22 Q. Okay.

23 A. So, I think, and Aaron can speak for this and I don't
24 want to speak for him and --

25 Q. Well, I'm talking --

1 A. -- what the decision --

2 Q. -- specifically if ever --

3 A. Yeah, no.

4 Q. -- an operator and let's say, hey, Darin, I got this
5 pending procedure.

6 A. Yeah.

7 Q. Can I use it?

8 A. Yeah, you'd have to question where it is, you know,
9 where is it? Where did you get it from? Like --

10 Q. Why do they even have access to the pending procedures?

11 A. I don't know. I don't know. I don't know where they
12 got it from or where it was.

13 Q. But I mean, you're the shift -- the shift lead is --

14 A. Yeah.

15 Q. You're their boss.

16 A. Yeah.

17 Q. Right? So, okay.

18 A. Yeah, the procedures that --

19 Q. You would know -- you should know better if they don't,
20 right, or any --

21 A. Well, no --

22 Q. -- not necessarily you, but a shift lead would know
23 better than --

24 A. Yeah, and that's kind of a tough one because the
25 procedures, most of those procedures are directly involved with

1 the operators. So --

2 Q. Okay.

3 A. -- you know, they got 1 to 5 and then we get involved.
4 So, sure, we'll know more of the majority of the severe or the
5 emergency procedures because we deal with those more so than it's
6 their routine maneuvers or their standard procedures that are
7 directly linked to their lines.

8 Q. Okay.

9 A. So, a lot of that information we wouldn't, you know,
10 there's no way we can follow or remember or understand any of
11 those procedures, but mostly the emergency procedures we would
12 know.

13 Q. Okay.

14 A. So, to say that, like I wasn't aware that there was even
15 a procedure there that had a pending or --

16 Q. Is it stamped pending on the --

17 A. No, I don't recall. I think it looks exactly like a
18 regular procedure.

19 Q. It's in the same system that you would go to here?

20 A. You just click on a --

21 Q. Okay.

22 A. -- click on a different tab and it's there kind of
23 thing. Like it's --

24 Q. All right.

25 A. Yeah.

1 Q. Now, extending beyond the ten minutes on startup, is
2 that something you've done before?

3 A. I've never done it, uh-uh.

4 Q. You've never done it?

5 A. No.

6 Q. Okay. So, this -- were you aware that they extended
7 beyond the ten minutes?

8 A. No.

9 Q. So, that wasn't even brought to your attention.

10 A. No. That was -- I got involved with this after the line
11 was shut down.

12 Q. Right. So, that wasn't even something you were aware
13 of.

14 A. No.

15 Q. So, you probably could not have communicated that to
16 Blaine --

17 A. Right.

18 Q. -- on the phone call.

19 A. Right. Well, I, and I might have, going back to, I
20 don't know. I can't remember what I talked to Blaine about in
21 there. I could have said, like Aaron might have told me at that
22 point, hey --

23 Q. Okay.

24 A. -- we're down. We extended it. I went by this
25 procedure, that information, and I could have passed that on to

1 Blaine. Whether I did or not, I don't recall.

2 Q. I just wanted to clarify what I said to you before. I
3 said, you know, wouldn't it be best to assume a leak. I didn't
4 necessarily mean follow the confirmed leak procedure, but it
5 looked like to me if you almost go through your suspected leak
6 procedure that it's got sufficient detail. It's one of the few
7 procedures I think I've seen that actually has some decent detail
8 to it. It asks you to notify shift leads, establish initial time
9 of the anomaly, and then it kind of forces you to go back and look
10 for leak triggers.

11 A. Yeah.

12 Q. That's where I was going with this because it looks like
13 if you would have suspected a leak to begin with, it would have
14 forced you guys to go back to the suspected leak trigger
15 procedure, which is fairly decent. I mean it's almost your
16 checklist, right?

17 A. Um-hum.

18 Q. And it tells you if there's a sudden drop in upstream
19 pressure, and I think one of them is even if one or more
20 (indiscernible) are shutdown or locked out, that's a leak trigger.
21 And --

22 A. Right.

23 Q. -- we're saying Marshall, couldn't start Marshall,
24 right? It was kind of locked out.

25 A. Yeah. Now, in that procedure, that refers to while

1 running. So, if you're running and upstream stations start
2 locking out while you're running --

3 Q. Uh-huh.

4 A. -- then that's what that refers to.

5 Q. Okay.

6 A. But the stations that were locked out were locked out
7 prior to our startups due to maintenance. So, it, like --

8 Q. Well, Marshall would have been locked out. You couldn't
9 start Marshall because you didn't get the pressure, right?

10 A. Right. But that's --

11 Q. It's --

12 A. That's -- that, so we haven't gotten to Marshall yet our
13 pressure when we're starting. So, we actually haven't got to
14 Marshall yet.

15 Q. Okay.

16 A. So, from that point to -- I don't think --

17 Q. It doesn't really meet the definition.

18 A. Yeah.

19 Q. Okay.

20 A. Yeah.

21 Q. But I don't see anything in here that says --

22 A. Like I don't --

23 Q. -- it's only for running conditions, so --

24 A. Right.

25 Q. -- for leak triggers.

1 A. Right. And that's, yeah, exactly, it's got to be under
2 running condition. So, the unit will lock, well, that refers to
3 running condition. So, if a unit does lock out due to low suction
4 or high temperature, you know, it could be a leak trigger.

5 Q. Okay.

6 A. So, I don't even recall if Marshall was locked out at
7 the time of the startup. I don't believe so because we were
8 waiting for pressure there to start a unit. So, the units must
9 have been available.

10 Q. So, the unit will show available even though the suction
11 is lower than the --

12 A. Yeah.

13 Q. -- cut out --

14 A. Yeah.

15 Q. Okay.

16 MR. NICHOLSON: Okay, Karen, that's all I have. Do you
17 have anything more?

18 MS. BUTLER: Okay. Do you need a stretch or are you
19 doing okay still?

20 MR. PARSONS: Just cold.

21 MS. BUTLER: Sorry. Anything they can do about that in
22 their room?

23 MR. PARSONS: No, that's all right. Go ahead, Karen.

24 MR. JOHNSON: We started hot, now we're cold.

25 MS. BUTLER: Okay. All right.

1 BY MS. BUTLER:

2 Q. So, I want to go back to the, a little bit about we were
3 talking about some additional activities that certain operators
4 can take on if they chose to and I want to talk to your shift lead
5 responsibilities for just a second. When you have a problem
6 employee, someone that's not performing up to where you think they
7 should be, what do you typically do with a problem employee?

8 A. I guess, that's kind of, I guess, a broad question. So,
9 I'll try to answer it as best I can, Karen. It depends on what
10 the problem is. If it's persistent, if it's a problem that
11 they've had over the years, then obviously that becomes a
12 development or somewhat of a growth opportunity for them to work
13 on.

14 If it's something, you know, happens and when I say if
15 something happens, I'm referring to, I guess an attitude problem
16 or a complaint or, you know, verbally expressing their opinions
17 maybe when they shouldn't be or when they are, they're doing it
18 unprofessional. Something like that would, I would address it,
19 you know, behind close doors, one on one immediately, you know,
20 talk to them about it, talk to them about the impacts it had and
21 can have on a room, like the control center, and correct it as
22 soon as I could.

23 Q. So, is there ever a time in your recollection or on your
24 shift lead responsibilities where with a problem employee you
25 assigned additional work for development?

1 A. No. No. It's, a lot of that is not additional work for
2 development and usually that's -- that becomes a -- that's more of
3 the how portion of -- and when I look at it as a problem, I look
4 at it as the how. I mean, and when I say how, meaning their
5 professionalism, their representative of Enbridge values, and the
6 vision, you know. I would give them, you know, the information
7 that, how they influence others and give them direction to work on
8 that. That's not more additional activity.

9 Now, someone that maybe isn't hydraulically strong or,
10 you know, is struggling with the concept, you know, I would give
11 them, and that would be more of their what in their performance
12 documentation, I would give them opportunities to help develop
13 that. So, whether it's giving me printouts of the line profile on
14 a day, trying to eliminate throttle and efficiently and
15 effectively run their pipeline, but maybe running it efficiently
16 isn't one of their strong suits. So, I would give them that type
17 of objective for a year where it doesn't impact their performance.
18 It's actually supporting it.

19 Q. Have you ever given anything like that to, I believe it
20 was Tim Chebber [sic] that was on with you. Do I have that
21 correct?

22 A. No, I've never assigned anything to Tim on that.

23 Q. Okay. All right. And have you ever used him as the
24 resource in the room, maybe not on his console, but asked him
25 questions about how to handle another problem on another console?

1 A. I never have, Karen.

2 Q. Have others that you're aware of?

3 A. They may have. They may have asked him for -- I don't
4 know, you know what, I can't answer that.

5 Q. That's fine. Okay.

6 A. Yeah.

7 Q. Okay. We talked a little bit about job profiles, I
8 think, and job, or performance reviews. Is there any other
9 document that kind of feeds into that, like say a job description
10 or core events are identified or core responsibilities are
11 identified somewhere else?

12 A. Well, we have a job profile that outlines the roles and
13 responsibilities of the operators and that breaks it down to the
14 level of experience and of the operators as well. We have
15 different classifications, operator 1, operator 2, operator 3.
16 And each one of them has a different role and responsibility.
17 Obviously, operator 3 having more responsibility because of their
18 experience and knowledge, and so we do have that documentation.
19 It tells you a little bit about their roles and responsibilities
20 as an operator as that -- at that level. And that information is
21 similar or tied into our performance evaluation.

22 Q. Okay. Thanks for explaining that. On the 360, do the
23 operators ever give you a 360 review or give Curt a 360?

24 A. Sorry, I'm not familiar with a 360.

25 Q. That would be a reverse performance review, meaning that

1 they provide input into your performance and how to make it
2 better?

3 A. Yeah, I do believe so. I know that other shift leads
4 and other technical analysts and that are poled to see what our,
5 you know, to get a, I guess get a feel of where we are. I'm not
6 too sure if they ask the operators or not --

7 Q. Okay.

8 A. -- about our performance. I'm not too sure.

9 Q. Okay. Are you asked to provide feedback into Curt's
10 performance?

11 A. Yes, I am.

12 Q. Okay. All right. And as far as you know, has any of
13 that ever been relayed?

14 A. Has it been relayed to?

15 Q. Curt.

16 A. The performance? I don't know. I don't know if it's --
17 we give our feedback and what they use it for --

18 Q. Okay.

19 A. -- it's up --

20 Q. That's fine.

21 A. Yeah. I have no idea.

22 Q. Okay. I'm going to shift gears a little bit. Have you
23 ever been made aware of CMT problems in the room?

24 A. Yes.

25 Q. Is that fairly frequent?

1 A. Yeah. Usually it's the system is really slow, those
2 type of problems. Not so much the functionality of it, but more
3 the performance, like the, you know, how does it, you know, it's
4 really slow. It's bogged down. It's locked up, that kind of
5 thing.

6 Q. Okay. Are there any other systems similar to that that
7 you can think of that have caused you to hear about it?

8 A. No. I mean from the tools that we use in the control
9 center, FacMan has its problems and CMT as well.

10 Q. What's the FacMan issue that you're aware of?

11 A. I mean there's the actual process. The tool, itself, is
12 not user friendly and I mean it's not user friendly. It
13 doesn't -- it's not interfaced really well with the field staff
14 and --

15 Q. Okay.

16 A. Yeah.

17 Q. All right. Is that -- and most of the operators have to
18 interface with FacMan if I understand it correctly. Do you have
19 to interface with FacMan quite a bit?

20 A. Just the reports themselves. We -- the, really the only
21 time I use FacMan is for sending our reports to external
22 departments.

23 Q. Okay. Now, this next question is in regards to like
24 your interaction and understanding of say with the SCADA
25 department or with an engineering department or with say batching

1 or scheduling I guess it's more appropriately called out of
2 Calgary, have you had any problems with expertise in other
3 departments that you're trying to interface with?

4 A. Not that I'm aware of, Karen.

5 Q. Okay. Thank you. You mentioned previously, shifting
6 gears now, something about an MBS alarm can be the result of a
7 drag reducing agent.

8 A. Yes.

9 Q. Can you explain that a little bit more to me or your
10 understanding or how that's related?

11 A. Just, I'm, I guess with line 1 we run that DRA on the
12 line when we're -- when we have crude products, through certain
13 stations and when the DRA is on or when it's off, every time they
14 turn it on, for example, they'd have to notify MBS to say we're
15 running -- we've got an MBS alarm. We've started our, using our
16 DRA. So, the MBS model isn't accounting for it, I guess.

17 Q. Okay. So, that might be something that -- the
18 notification issue that just allows the MBS analyst to make some
19 adjustments.

20 A. That's right. So, yeah, when they turn on a pump or
21 turn off a pump, the model, itself, can't see that it's on or off
22 so it -- and it's adjusting the profile of your line because of
23 its reduction in drag.

24 Q. All right. If an MBS analyst comes to you and tells you
25 that there's a column sep or that you need more horsepower or

1 there is a transmitter out or a whole host of possibilities, do
2 you ever question what they tell you?

3 A. Yeah, we'll question it. You know I'll certainly
4 question where it's at, what it is. Do we have redundant
5 transmitters? We question that to actually, you know, to get, I
6 guess, more information on it.

7 Q. Okay. So, there would be follow-up questions to
8 identify more about what was said.

9 A. That's right.

10 Q. Okay. So, if an MBS analyst tells you that it's a false
11 alarm, do you question that?

12 A. No, I wouldn't.

13 Q. Okay. Do you think an operator would?

14 A. No.

15 Q. Okay. You mentioned previously that besides the leak
16 detection system you have other leak detection tools that you can
17 use. Can you name some of those for me?

18 A. Well, leak detection tools, would be CMT would be one of
19 them, right. So, your volume accountability, so, in and out.

20 Q. Okay.

21 A. Yeah. Pressure, I guess our pressure trends. We can
22 monitor pressure trends. Yeah, and I guess SCADA, right.
23 We're -- much like what Matt described about pumps locking out. I
24 mean those are the tools that we'd be using. We'd be using SCADA
25 to, you know, find leak triggers.

1 Q. Okay. Let me catch up here. I've had to take notes.
2 Typed a lot right there. Has the MBS itself ever helped you on a
3 shift detect a leak?

4 A. No, I don't think I've ever been a part of a leak where,
5 you know, it's detected it or been involved with that.

6 Q. Okay. Has it helped you find other types of problems?

7 A. Certainly, yeah. The transmitter problems, you know,
8 equipment problems on the line. So, if we have a flow meter
9 that's not calibrated properly and it's not helping the MBS
10 system, then we would address that transmitter and have it
11 calibrated.

12 Q. Okay. Got you. Is there anything besides equipment
13 problems that stands out in your mind that has helped you detect?

14 A. No. No.

15 Q. All right. I'm going to shift gears a little bit to a
16 couple of things that I know that you said you had been involved
17 with, okay, on the day of your shift regarding Marshall. And I
18 noticed that you mentioned pressures and flow trends that you were
19 reviewing those. Did you let the operator know that you were
20 doing that?

21 A. I don't recall if I did or not.

22 Q. Okay. Do you think there's a chance that he or his
23 shift mate may have known that you were checking pressures and
24 trends?

25 A. Yeah, they may have. I mean, I was back and forth when

1 I was looking at those transmitters trying to find out, you know,
2 talking to them about CMT. Trying to find out when their startups
3 and shutdowns were and trying to figure out the drain on the line
4 throughout all those.

5 Q. Okay. So, you were back and forth between your desk and
6 their desk --

7 A. Yeah.

8 Q. -- there. And so there could be verbal conversations
9 going on that we wouldn't necessarily have a recording of?

10 A. Yeah, oh, yeah. There's -- there are a lot of those.

11 Q. Okay. And then I think my last question for you is in
12 regard to the MBS system itself and the bypass associated with
13 Niles, we know from understanding what Jim was working on that he
14 had discovered by looking at pressure profiles that Niles had a
15 problem and a discrepancy and he had gone over and talked to the
16 desk as well about some issues and was determining that, yes, in
17 fact, Niles' pressure profile looked odd and so he was headed back
18 to make some changes regarding the bypass situation to the model.
19 Were you aware of that?

20 A. I don't remember, Karen.

21 Q. Okay.

22 A. I don't remember if he --

23 Q. It's nothing that stands out in your --

24 A. No. No.

25 Q. Okay. All right. That's all I needed. And I think

1 with that, I'm finished. So, thank you so much.

2 A. Thanks, Karen.

3 MR. NICHOLSON: Okay, Brian, anything else?

4 MR. PIERZINA: Nothing.

5 MR. NICHOLSON: Jay?

6 MR. JOHNSON: No.

7 MR. NICHOLSON: Ravie?

8 MR. CHHATRE: No. Thank you so much.

9 MR. NICHOLSON: I think I'm done as well.

10 So, with that we'll conclude this interview of Darin
11 Parsons.

12 Thank you, Darin. Thank you.

13 MS. BUTLER: Thanks, Darin, a lot.

14 (Whereupon, the interview was concluded.)

15

16

17

18

19

20

21

22

23

24

25

