



## I N D E X

<u>WITNESS:</u>	<u>PAGE:</u>
Sean McDermott - by Mr. Curtis	4
- by Mr. Parker	20
- by Mr. Dibenedetto	27
- by Mr. Curtis	33
- by Mr. Dibenedetto	37

## P R O C E E D I N G S

1:45 p.m.

1  
2  
3 MR. CURTIS: Good afternoon. It's October 17  
4 at 1:45 p.m. We're here to do an interview with Sean  
5 McDermott of Staten Island Ferry Service, DOT. His  
6 title is --

7 THE WITNESS: Civil Service title is Chief  
8 Marine Engineer.

9 MR. CURTIS: -- Chief Marine Engineer. We've  
10 been through the ground rules of the interview previous  
11 to this. I just want to remind Sean that this isn't a  
12 legal investigation, we're not here to lay blame to a  
13 parties or persons, we're just here to hopefully find  
14 out what caused the accident and hopefully not to have  
15 it happen again.

16 We'll go around the table and identify  
17 ourselves, who is in the room, then we'll begin the  
18 questioning. I'm Brian Curtis with the NTSB, Marine  
19 Engineering Accident Investigator.

20 MR. PARKER: Dave Parker with the Coast  
21 Guard, Vessel Inspections.

22 MR. DIBENEDETTO: Detective Mike Dibenedetto  
23 with the New York City Police Department.

24 THE WITNESS: Sean McDermott, Staten Island  
25 Ferry, New York City DOT.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

EXAMINATION

BY MR. CURTIS:

Q Okay, Sean, to being with, how long have you been employed by the DOT?

A Since March of 1984.

Q A quick scenario or overview of what, when and where with those jobs through the years?

A I came on board in 1984 as a Marine Engineer, a provisional appointment. In 1986 I was promoted to Chief Engineer and have served as a Chief Engineer since that time. I have served on the vessel, I have served as a Port Engineer and am currently working as a Project Engineer on the new ferry construction, but I also assist from time-to-time engineering personnel at the facility here. Assist where needed.

Q So you're basically Monday through Friday or weekends?

A I am Monday through Friday from usually 6:00 in the morning until 4:00 in the afternoon. Currently two weeks a month I go out to Wisconsin to the shipyard to perform inspections on the new vessels and work with the design team.

Q Regarding the accident, how did you find out about it? How were you notified?

A I guess it was somewhere around 3:25, I know

1 it was that time because I was getting ready to finish  
2 up for the day and just as I was wrapping up things on  
3 my desk, I got a phone call from Ralph McKenzie to  
4 quickly come out to the end of the pier, B-2 South.

5 I hung up the phone, ran downstairs, not  
6 aware of what had occurred and when I looked down to  
7 the end of the pier I had seen the Barberi now adrift.

8 Well, it looked like she was adrift.

9 At this time I was looking at what would have  
10 been the -- if the New York end is the bow, I was  
11 looking at the starboard side, the second that had not  
12 been damaged. I was not aware of what had occurred at  
13 that time.

14 Then at that time I had gotten to the end of  
15 the pier and I had seen the tug boat had come along  
16 side and was assisting the vessel, no lines on board,  
17 but it was just pushing it clear, so I did not know if  
18 they had any propulsion.

19 Then at one point I recognized that I saw a  
20 wash from the stern and I had seen that she was under  
21 her own power. I could then look across and I had seen  
22 that the pier was damaged, the sections in the water,  
23 and then I just saw the vessel proceed over to 5 Slip  
24 in Saint George.

25 I then went over to 5 Slip and boarded the

1 vessel and I went directly down below to the  
2 engineering space. I did not see anything on the deck,  
3 other than from what was now the New York end of the  
4 boat to the engine room door. I then went directly  
5 down below to inspect the engineering space and see  
6 what conditions there were down below.

7 Q Who did you see down there?

8 A In the control room at that time was Marine  
9 Engineer Kevin Douherty. At this time I could look  
10 down the deck and I had seen that there was  
11 considerable damage, but when I saw Trevor, I could see  
12 in his face as soon as I entered the control room, that  
13 he was quite flushed and he said that things were bad.

14 I asked him if he was okay, he was alright.  
15 I asked him where everybody was at that time. I can  
16 recall looking at the board just to see what the status  
17 of the plant was and everything looked normal at that  
18 time, quite briefly. I asked him if everything was  
19 okay with the plant, he said yes.

20 I asked him if anything had happened in  
21 engineering space at that time and he said no. I  
22 recall asking if there was any communication with the  
23 bridge at any time to say that there was any problem  
24 and he said no, there was no communication down below.

25 Then at that time I had observed that the

1 compressed air pressure was low, I think they had an  
2 alarm. I looked up and I saw both air compressors were  
3 running. By this time some other people from the shore  
4 side gang had come on board the vessel, so I took over  
5 -- at that time I kind of took over the watch, not in  
6 an official sense, but I told Trevor that I would take  
7 care of things. I saw that he was troubled.

8 As people came down, I directed them to check  
9 the air compressor, just to take a quick walk around,  
10 check the status of the plant, check the generators,  
11 see if everything was okay down below.

12 Q Did he say where the others were, whether  
13 they were in the engine room or had gone top side at  
14 that point?

15 A I believe they were up top side. Something  
16 tells me that I saw Charles Covella, Charlie Covella,  
17 Chief Covella, up on the main deck.

18 The other Oilers, I remember at some point  
19 seeing Pete Koutsoulis I believe down below, but at  
20 that time I had had other Marine Oilers that were on  
21 board the vessel that were assisting.

22 Q So you didn't assist with the injuries?

23 A I did not go top side.

24 Q Regarding the vessels, how many classes are  
25 there and how many vessels in each class?

1           A     I'll start with the oldest vessels, which are  
2 the Kennedy Class. They were put into service in 1965.

3           There are three vessels in the Kennedy Class, they are  
4 diesel/electric, carry approximately 3,500 passengers.

5           The next class of vessel is the Barberi  
6 Class, put into service I guess in 1981, I'd have to  
7 clarify that, but it was the early '80s, 6,000  
8 passengers.

9           Q     How many are there of them?

10          A     There are two vessels in that class, the  
11 Barberi ferry boat, Andrew J. Barberi and the ferry  
12 boat Neuhaus. The Barberi was delivered first and the  
13 Neuhaus came into service some time after her. She's  
14 direct drive diesel.

15          Q     I'm sorry, the direct drive diesel are the --

16          A     The Barberi Class, as far as the propulsion  
17 system.

18          Q     Okay.

19          A     They carry 6,000 passengers and then the next  
20 vessel to come into the fleet was the Austin Class.  
21 She carries approximately 1,500 people, 1,400,  
22 something around that. She is also a direct drive Voyt  
23 propulsion.

24          Q     What did you call it propulsion?

25          A     Voyt. She's similar to the Barberi. It's a



1 smaller unit, but she's Voyt, again 1984, somewhere  
2 around there she was put into service. She's strictly  
3 used at this time for night service, the Austin Class.

4 Q How many Austin Class?

5 A Two vessels. She normally runs from 11:00 at  
6 night until 6:00 in the morning.

7 Q The names of those in the Austin Class?

8 A The Alice Austin and the John Noble. She's  
9 207 feet long, the Barberi is 310 and the Kennedy is  
10 294. All of them have -- Kennedy has a beam of 69 feet  
11 and the Barberi has a beam of 70 feet,

12 Q The Austin?

13 A I'd have to check on that.

14 Q The names of the Kennedy Class?

15 A The John F. Kennedy, the Herbert H. Lehman  
16 and the American Legion.

17 Q Later I'll get the spec sheet on horsepower  
18 and all that.

19 A Yes. I'd use the COI and go by that. The  
20 Barberi and the Kennedy draw somewhere in the range of  
21 15 feet, roughly. That's a safe number on the draft.  
22 The Barberi and Kennedy about 13, the Austin I guess  
23 somewhere around 8 feet.

24 Q That's a total of seven vessels?

25 A Correct. And of course they reminded me

1 yesterday of the Cosgrove.

2 Q We won't count that, since it's really --

3 A It's not a passenger carrier per se. We've  
4 never had a complaint yet.

5 Q Employees, as far as new hires, what is the  
6 criteria or the screening process for crew members,  
7 engineering?

8 A Engineering space, beginning with the Chief  
9 Engineer, he would be required to have U.S. Coast Guard  
10 documentation for Chief Engineer. I guess it's near  
11 coastal or inland waters. I would say Chief Engineer  
12 is inland waters/near coastal. That would be in terms  
13 of the minimum requirements.

14 The Marine Engineer at this time is  
15 considered an Assistant Engineer.

16 Q Whose requirement is?

17 A It's an inland water designation, it's not  
18 the full Third Assistant. I would have to check on  
19 that, but it's the inland water title that they have  
20 now.

21 Q Okay.

22 A The Marine Oilers, they are non-certified,  
23 non-documented, but in order to be employed they would  
24 have to have a minimum of two years of experience to be  
25 hired.

1           Q     Is that processed through your office, the  
2 hirings?

3           A     Unless it is a civil service position, it is  
4 done through the in-house personnel and the hiring is  
5 done through the Ferry, yes.

6           Q     Getting into the maintenance systems now, you  
7 don't have an SMS system per se, but what do you have  
8 for your maintenance organization record keeping?

9           A     We have a database which is a system which is  
10 Paradox, it's a Microsoft system that was developed  
11 during the '90s and it tracks all of our maintenance  
12 and repair records by vessel. It also tracks it by of  
13 course the date, who had submitted the record and by  
14 trade. It gives a description of the work that was  
15 performed.

16                     We also track the work that is performed  
17 during the annual inspection and repair periods. Once  
18 a year normally the vessel comes out for annual  
19 inspection and there is also documents in the system  
20 that provide -- to show the work that was performed.

21           Q     Does it kick out like preventative  
22 maintenance, upcoming maintenance due or just --

23           A     No, it's not an active system in terms of  
24 that respect. It is done as a manual type of thing  
25 where we keep track of the 500-hour services that are

1 performed in the preventative periods, the oil hours,  
2 the oil changes. These types of things we keep in a  
3 manual type basis, in terms of by paper.

4 Q And those are kept --

5 A Those are kept through the Port Engineer's  
6 Office.

7 Q By vessel?

8 A This is by vessel, yes.

9 Q On that sheet it has basically what was done  
10 last so you can tell what is due next?

11 A That's correct.

12 Q If the vessel had a problem, say a propulsion  
13 problem, a small propulsion problem, how would you know  
14 about that? Say it's just a small problem, how would  
15 that go through the system?

16 A Of course if it was on the vessel, the  
17 engineer would of course be aware of the problem. If  
18 it was a minor problem that could wait, say a gauge was  
19 not operating, it wasn't a safety concern, he would  
20 fill out what we call a work request form if it wasn't  
21 a priority and the work document would then be filled  
22 out by the Chief Engineer.

23 On that form you would explain what the  
24 problem was and he could -- instead of just describing  
25 what the problem was, he could offer some

1 troubleshooting or direct what might be done.

2           That form then comes out to the Port  
3 Engineer. The Port Engineer sort of assesses it and  
4 prioritizes it. The Port Engineer then brings the  
5 document down to the facility where it would be given  
6 to Ralph McKenzie, the Deputy Director of Engineering.

7           A copy would also be given to be used for the database  
8 entry on this record system and then that document  
9 would be brought to the morning repair meeting which is  
10 held at 8:00 in the morning.

11           At the morning meeting a copy would be  
12 presented to the trade that would be responsible for  
13 effecting the repairs and then that document would be  
14 discussed at the repair meeting in terms of what was  
15 needed.

16           Q     Then it's processed.

17           A     Right.

18           Q     So the crew themselves don't do too much  
19 maintenance, it's mostly the repair shop here that does  
20 the vessel maintenance?

21           A     The preventative maintenance, given the oil  
22 change hours, fluids, that would be done by the crew,  
23 but in terms of the mechanical side, preventative  
24 maintenance in terms of if there's some sort of  
25 internal mechanical work that would be done, that would

1 be done by in-house trades.

2 Q Okay.

3 A Just to clarify, you said if there was a  
4 propulsion problem, if there was something --

5 Q Yes. Say it's a major issue.

6 A If there is a safety concern, the Chief  
7 Engineer or through the pilot house would, via radio or  
8 land line if he went to the dock office, he would  
9 immediately notify the Port Engineer's Office.

10 Q Has a safety concern been issued yet or no?

11 A No. It's almost like instead of -- you're  
12 not going to submit a document, you're going to perform  
13 a verbal communication to the shore side personnel.

14 Q Oh, okay.

15 A That would probably be the Port Engineer or  
16 it could come directly to Ralph McKenzie. At that time  
17 the Port Engineers would assess the problem and  
18 immediately the trades would be notified that there was  
19 a problem and often as soon as the vessel arrives,  
20 there are personnel standing by on the dock to take a  
21 look at the problem and assess what needs to be done.

22 If there is a serious enough problem at that  
23 time, the Chief Engineer or the judgment on board or if  
24 we feel that there is a problem enough that the Coast  
25 Guard ought to be notified, a 2692 has to be developed

1 and sent in, but the Chief Engineer or the Engineer on  
2 the vessel would make the determination whether the  
3 vessel could continue to operate.

4 Q The 2692, what's the criteria for your  
5 facility operation to submit a 2692 to the Coast Guard?

6 A I'm not going to speak for the Department  
7 because I'm not at the waterfront right now, I don't  
8 know what the relationship is, but certainly any time  
9 there is a loss of power, any mechanical failure or if  
10 there is any situation that results in an injury or  
11 again, if there is any major problem, machinery loss  
12 problem or damage the Coast Guard would be notified by  
13 a 2692.

14 A 2692, I think currently they fill it out  
15 and they actually fax it over to them. In addition,  
16 sometimes they will call the duty desk and inform them  
17 that they have a problem, so there is sometimes often  
18 verbal communication as well.

19 Q How long have you had the Paradox system in  
20 place? Has it been there a while?

21 A I'm going to guess some time around -- it was  
22 certainly in place by the mid '90s.

23 Q And the Paradox system is housed in the  
24 facilities here?

25 A It's in the building here, yes. And it's

1 also accessible by the Port Engineers through the local  
2 area network that we have in-house.

3 Q Regarding this vessel particularly and past  
4 propulsion problems, are you familiar any?

5 A I am.

6 Q Those were?

7 A The ones I was directly involved with, back  
8 in '91 I was a Port Engineer at the time and we had  
9 what turned out to be a bad connection in one of the  
10 connection jacks that are used on the system and it  
11 resulted in a steering command which at this time was  
12 -- I can't recall which end of the vessel.

13 It was only one end of the vessel and what  
14 was happening was that during maneuvering conditions,  
15 whichever propulsion was affected, you would get a  
16 steering command, which means a port or starboard. It  
17 was not a thrust problem, it was a steering problem and  
18 that caused it -- at that time the vessel was docking  
19 in New York and they got this false signal and it  
20 caused the vessel, the aft section of the vessel to go  
21 towards the Coast Guard facility that's there now and  
22 it hit their pier.

23 There was some structural damage, there was a  
24 small hole punched on the Staten Island end of the  
25 vessel.



1 Q No injuries?

2 A No, there were no injuries. There was  
3 another period when I was just the Chief Engineer on  
4 the vessel, at that time they were approaching Staten  
5 Island, there is a control rod that is attached to the  
6 unit that actuate the -- in this case it was thrust,  
7 this time on the New York end, and there was a linkage  
8 that had slipped and it resulted in that unit, that  
9 New York end propulsion unit from going to the stop, it  
10 continued to go ahead and on that occasion there they  
11 hit the dock hard, excessively hard.

12 I believe there were some injuries in that  
13 case. It was severe enough, the damage to the vessel,  
14 the aprons had come into the doors on the saloon deck,  
15 it was obvious he had pushed the bridge out.

16 Q There may have been injuries on that one?

17 A Not serious.

18 Q When was that?

19 MR. PARKER: Was it in '85?

20 THE WITNESS: In '85.

21 MR. PARKER: What was the matter there?

22 THE WITNESS: That was a slipped linkage.

23 That is what I can recall, Dave, as far as being --

24 MR. PARKER: It was a while ago. I vaguely  
25 remember that one too.

1 BY MR. CURTIS:

2 Q So it hit the dock?

3 A That's right.

4 Q What did it do for damage?

5 A The saloon deck doors were damaged. The  
6 damage was to the saloon deck doors, the aprons had  
7 come up onto the boat and had damaged the doors. That  
8 was the only two events that I can remember.

9 Q Regarding these two particular propulsion  
10 units, were they on the vessel from new make? Were  
11 they original?

12 A Yes, they are. They're original equipment.

13 Q Are you aware, have they had a major  
14 overhaul?

15 A The Barberi Class Voyt propulsion units were  
16 overhauled in late 2001, I believe, some time in the  
17 period mid to late 2001, because she was out of service  
18 and she came back into service in 2002. Meaning that  
19 the turntables were dropped, all the blades were  
20 replaced and actually the turntables had shown some  
21 erosion due to the salt water service and new tables  
22 were replaced.

23 At that time, that means all the internals,  
24 including the gears, all the bushings and bearings were  
25 inspected. A lot of that equipment was replaced.

1           Q     Was there a service report we could possibly  
2 get from that?

3           A     I will see what we can do as far as that,  
4 yes.

5           Q     But the overall condition, they didn't find  
6 any major wear problems or anything?

7           A     No, that's correct.

8           Q     Have there been any significant modifications  
9 to the unit over the years or is it pretty much as new  
10 make?

11          A     It would be new make, no modifications. The  
12 only overhaul that was done on the control side was  
13 back in '95. In 1995 all of the control elements,  
14 meaning the controls up in the pilot house, from the  
15 steering wheels, on the control side not on the  
16 mechanical side, all of those controls, meters, meaning  
17 the indicators, pitch meters, indicators, all of the  
18 actuators from the pilot house were overhauled with  
19 many new parts replaced and that was done on both the  
20 vessels, both propulsion. I kind of remember the '95,  
21 '96 period as far as that occurring between the two  
22 vessels during their shipyard availabilities.

23          Q     Other than those --

24          A     Other than the upgrades, there have been no  
25 modifications or upgrades to the unit and it was all

1 the same material, manufacturer's parts that were  
2 returned to the unit. I'm not aware of any changes.

3 MR. CURTIS: I guess I'm going to stop for  
4 now and give the others a chance. Go ahead, Dave.

5 MR. PARKER: Dave Parker with the Coast  
6 Guard.

7 EXAMINATION

8 BY MR. PARKER:

9 Q I just wanted to expand on some of the things  
10 you were talking about.

11 A Sure.

12 Q Problem reports and work orders, for  
13 instance. If you had something that was reported as a  
14 derangement of equipment or machinery, is there a  
15 program in place or a procedure in place here with the  
16 organization that would follow up on insuring that that  
17 was actually corrected, that whatever the problem was  
18 that was reported was actually carried through to  
19 completion?

20 A Yes, there is. There is a -- once the -- I  
21 guess you'd break it down by vessel record, this  
22 Paradox system. On that same form, in addition to  
23 identifying the vessel and what the problem is, it also  
24 shows its status. It also shows its priority and then  
25 if something is not completed or if there has been a

1 work order done, there is that information that would  
2 show on it the follow up work where the job was  
3 completed.

4 The foreman, on the bottom of the sheet he  
5 would also show I believe some record of what the  
6 corrective action was at the time, what work was done.

7 Q If a job was planned or requested by a boat  
8 to be done, does this reporting system kick out an  
9 overdue list? Say if within your job you say you're  
10 going to fix this by Wednesday and Wednesday has come  
11 and gone and it hasn't been fixed yet. Does it flag it  
12 and say wait a minute, we haven't finished something?

13 A Every day at the meeting the Deputy Director  
14 who chairs the meeting, he has the status of each piece  
15 of equipment, any job work order and he would be privy  
16 to what job was not completed, what remained on the  
17 list and he would address it at that time to show why  
18 hadn't it been done.

19 Q So he keeps overall track of the big picture?

20 A That's correct. In addition, on a daily  
21 basis that trade foreman also has a list of jobs that  
22 he would have and that record is updated, so at the  
23 meeting they would go down the list and check off which  
24 jobs are completed and then that is fed back into the  
25 system to show that the jobs were completed. So the

1 foremen as well get a record of each job that they have  
2 tasked to them.

3 Q And that would be for everything that's  
4 requested of a boat then, right?

5 A That's correct.

6 Q Do you know if there's anything like that  
7 around for the Barberi for like the past week or so?

8 A I have given the National Transportation  
9 Safety Board for the last 30 days for the vessel, I  
10 have given a list of --

11 Q Oh, you did already. Good. That was that  
12 work order stack?

13 A It was a work order pack, which would show  
14 that database and how it's formatted.

15 Q Okay. So it will give an idea of what was  
16 planned for that particular boat?

17 A That's correct, any work orders that were  
18 submitted.

19 Q Okay.

20 A I should note that any outstanding or  
21 remaining items that are deferred to a future time,  
22 they are also recorded whether that would be done  
23 during the shipyard period, so we also have a list of  
24 items that would come at a later time, so they are  
25 scheduled for that longer availability.

1 Q Planned for future work?

2 A That's correct.

3 Q For NTSB's sake, the previous Coast Guard  
4 reports, which is similar to -- quite a few companies  
5 do self-inspection programs, that would refer to your  
6 self-inspection program?

7 A Correct.

8 Q Could you expand on that, what is that all  
9 about and how to you verify the condition of the  
10 vessel? Like you say it's in a certain condition, how  
11 is it verified that it's actually in that condition?

12 A On a quarterly basis we go through U.S. Coast  
13 Guard quarterly inspections. Approximately two weeks  
14 to a week and a half before that is scheduled with the  
15 Coast Guard the crew on the vessel is given a form from  
16 the Port Office and it lists all of the items on each  
17 piece of equipment, the safety items that would be  
18 inspected during that quarterly inspection.

19 Then what the crew is tasked to do is to go  
20 to each piece of equipment or unit that's identified  
21 and perform the inspections. Such as on the main  
22 engines, the alarms would be tested as far as low lube  
23 oil pressure, there would be inspections for the high  
24 speed, on the generators similar types of inspections,  
25 on the boilers there would be inspections as well, as

1 far as all the safety shut downs.

2 There is inspections of the fire fighting  
3 equipment, all the safety equipment, so it's broken  
4 down by --

5 Q Steering and maneuverability?

6 A The steering and maneuverability is also  
7 performed, but it also is performed on a weekly basis  
8 by the crews. They also do what we call a steering  
9 drill and their fire and boat drill on a weekly basis.

10 But during the pre-Coast Guard inspection  
11 they would also test what we call the backup steering  
12 systems, including the telegram, sound powered phones.

13 So that crew that is assigned to the vessel,  
14 meaning the different watches coordinate their efforts  
15 and as they go through the items, they document what  
16 kind of condition it's in, whether it's satisfactory  
17 and passed the test.

18 Then once that is done, that is held on the  
19 vessel during the Coast Guard inspection and is  
20 reviewed by the Coast Guard.

21 Q Just to clarify, this boat was due for a  
22 quarterly two days ago, on the day of the accident or  
23 the day following the accident or something like that,  
24 right?

25 A The day following the accident. I did not



1 directly see the inspection, but I know that there was  
2 a report that had been -- this pre-Coast Guard list,  
3 report, was on the vessel. It had been performed and  
4 the document had been completed and I believe that has  
5 been submitted. We have a copy I think that's  
6 available, I'm not sure if it's been forwarded to NTSB.

7 Q The 2692, I just wanted to add also that for  
8 navigational issues, if something was impacting the  
9 vessel for navigation problems, radars, radios,  
10 anything that would have to do with maneuvering through  
11 the port, the port is a vessel traffic service port, so  
12 anything has to do with 33 CFR requirements for  
13 navigation would also come under 2692 issues.

14 A That's correct. Often times the Captain,  
15 even during that period when he might have a problem,  
16 he would also notify vessel traffic. What Dave has  
17 stated is true and I overlooked it, but there would be  
18 communication out to the Coast Guard as well.

19 Q If this is an after hours item, there would  
20 be a verbal report, followed up in the morning by a  
21 faxed copy of the 2692.

22 A That's correct. There would be a call to the  
23 duty desk after hours.

24 Q What I didn't get from you, though, is it's  
25 pretty clear what you do during work days, normal

1 working hours for reporting of problems and handling  
2 problems, but what do you have in place for after  
3 hours?

4           It's a 24-hour operation, so if something  
5 happens after the normal business hours are over, what  
6 would be in place to support the vessel and the crew at  
7 those times if there was a problem on the boat?

8           A     All of the supervisory personnel have both  
9 pages and Nextels and if there is -- during after hours  
10 if there are any problems or safety concerns that need  
11 to be addressed immediately, one of the supervisory  
12 personnel is called, normally it would be either  
13 Captain Ryan or Ralph McKenzie.

14           They would be informed of the problem, they  
15 would immediately notify the support trades that might  
16 be needed to assist with the problem. Those personnel  
17 -- the supervisors of each trade are provided with  
18 Nextels and beepers and pages as well. They would be  
19 called in and once on site, there would be the normal  
20 follow up and repair as we would do during the day.

21           If it was immediate, we would take the vessel  
22 out of service and perform the repair. If it was  
23 something that could wait, if it wasn't a safety  
24 concern, then it would be done after the vessel came  
25 out of service and that could be during the midnight

1 hours, when the vessel is not normally running. It  
2 could be repaired before the vessel is returned to  
3 service in the morning.

4 Q Like the military has a duty section, you  
5 folks also have crews on call around the clock?

6 A That is one of the responsibilities, as far  
7 as the supervisory personnel, yes.

8 Q Then the last would be for ranking or  
9 prioritizing issues. Is that largely left up to the  
10 reporting person, whether it be the Master or the Chief  
11 Engineer of the vessel?

12 A It would be done by either Ralph or the Port  
13 Office, whether it was safety concern -- any safety  
14 concerns would be given an "A" priority, meaning that  
15 it would be done immediately. I would have to check on  
16 the grading system. "B" would be sort of a normal  
17 scheduled item during the next tie up period and  
18 "C" would be sort of -- I'm not sure if "B" is drydock  
19 and "C" is indefinite, I'd have to check that status.

20 But it's left up to the -- by the engineer  
21 reviewing the document.

22 MR. PARKER: Thanks.

23 MR. DIBENEDETTO: Mike Dibenedetto.

24 EXAMINATION

25 BY MR. DIBENEDETTO:

1           Q     I just want to clarify, the quarterly  
2 inspection, was it done on? Was it completed?

3           A     The pre-Coast Guard inspection was completed.  
4     As Dave had pointed out, because she had the accident,  
5 the next day would have been the normally scheduled  
6 quarterly.

7           Q     All right. Going back to when you first got  
8 on the boat and you took over the watch from Mr.  
9 Gherardi, after you took over the watch how many people  
10 were actually in the engine room with you?

11          A     At first when I went down the only person in  
12 the control room at that time was Trevor.

13          Q     That's it?

14          A     Yes.

15          Q     How many people were supposed to be in there  
16 at that time?

17          A     At that time there was -- well, assigned to  
18 the crew there are four people. Now, when I went to  
19 the control room I did not go through the entire engine  
20 room. I was only -- I had walked from the main deck  
21 and I had gone directly into the control room.

22                 Trevor was the only one in the control room  
23 at the time. The other personnel that I had seen, I'm  
24 not sure if they were in the engine room or if they  
25 were on the main deck.

1 Q Okay.

2 A But I should point out that I was not there  
3 as soon as a vessel hit the dock. I had stopped up  
4 here, I had made some calls just to make sure as far as  
5 who had been communicated to as far as the problem. I  
6 would not say that -- it might have been ten minutes  
7 after the vessel had finally come up along side the  
8 dock that I had finally gone down below.

9 Q Did you see Pilot Smith at all, at any time?

10 A No, I did not.

11 Q Did you see Captain Gansas?

12 A I did not.

13 Q At no time?

14 A No.

15 Q Afterwards did he go to the hospital, do you  
16 know?

17 A No. I was not privy to anything as far as  
18 what was going on top side.

19 Q The boat was already docked when you went in?

20 A It was docked and the propulsion system was  
21 operating normally up against the bridge.

22 Q And they kept that going?

23 A We kept that going for some period of time, I  
24 would say probably for at least an hour, an hour and a  
25 half we kept the boat units going and then at some

1 point the fire department was going down in the shaft  
2 alley on the Staten Island end and because they were  
3 going down the shaft alley, I'm not sure if we lost  
4 lighting, but there was a safety concern, so we shut  
5 down the shafting, so they secured the Staten Island  
6 end and they remained on the New York propulsion  
7 system.

8 Q Was there still a lot of passengers when you  
9 boarded the Barberi?

10 A You know something, I could not tell you. I  
11 did not observe --

12 Q You just went straight to the engine room?

13 A I just went straight to the engine room.

14 Q What time do you figure it was, since you  
15 were notified around 3:25?

16 A I would say probably ten minutes after it  
17 occurred. I came up to the office here, she was going  
18 around to the slip. I came up here, so I got down  
19 there ten minutes after she --

20 Q Somewhere around 3:25?

21 A Somewhere around there, yes. By then the  
22 fire department was coming down the hill and emergency  
23 services.

24 Q You were on there before the emergency  
25 personnel?

1           A     No.  They were moving through there too.

2           Q     Did you see anybody else that was supposed to  
3 be in the crew besides Mr. Gherardi?

4           A     I saw Charlie Covella up on the main deck.  I  
5 remember seeing Charlie.  Some time later I remember  
6 seeing Pete Koutsoulis, I think he came down below.

7           Q     At any time did you go up top side to the  
8 pilot houses, either/or?

9           A     No.  I did have communication with the pilot  
10 house.  I had communication at one point, I think it  
11 was Captain Ryan at that time that I had called or the  
12 pilot house had called me.

13          Q     Did they call you on the sound phone?

14          A     It was on the sound phone.  It was on the  
15 sound powered phone I had gotten the call.

16          Q     Captain Ryan, he wasn't part of the crew was  
17 he, for that day?

18          A     No, he was not.  It might have been  
19 concerning the propulsion unit on the Staten Island end  
20 and because of the wind conditions, I think I was  
21 wondering whether we could shut down the Staten Island  
22 unit, but because there was concern with the --

23                                 (Telephone Interruption.)

24                                 MR. DIBENEDETTO:  Mike Dibenedetto again.

25                                 BY MR. DIBENEDETTO:

1           Q     When you spoke to Captain Ryan, he was up in  
2 the pilot house?

3           A     Yes. I had had communications with the  
4 bridge and I think it was about the propulsion system.  
5 I think I was just wondering if I could shut down the  
6 Staten Island end, but they said because of the wind  
7 conditions, they would prefer to keep them running.

8                     At some point, when like I said, the fire  
9 department wanted to go down the shaft alley, we called  
10 the pilot house. They had put lines out on the bow,  
11 they shut that Staten Island end down and we maintained  
12 propulsion on the New York end.

13          Q     For how long?

14          A     For as long as I was around we kept the  
15 New York end going.

16          Q     Do you have a time frame? I figure you were  
17 in there for quite a while.

18          A     At some point I came back down here, because  
19 I was looking for drawings. At that time everything  
20 was being handled on the boat, so I came back over here  
21 and started going to see what prints we could have  
22 immediately.

23                     I had some difficulty, I couldn't get up in  
24 our records room because that goes through the store  
25 room, so I would have to check with -- I think it was



1 Ed Mattigan (phonetic) that was on board. He was down  
2 below at that time. I'm not sure when they shut down  
3 the entire plant.

4 Q To your knowledge, maybe Captain Ryan would  
5 be the first person in the pilot house that you spoke  
6 to? You didn't speak to anybody else prior to that in  
7 the pilot house?

8 A No.

9 Q Your first communication was through the  
10 sound phone, sound powered phone with Captain Ryan and  
11 he wasn't part of the crew. Where was he before the  
12 accident, do you know?

13 A You know something, I can't recall.

14 Q What's his first name?

15 A Pat Ryan.

16 MR. DIBENEDETTO: Okay. That's it.

17 MR. CURTIS: Brian Curtis again.

18 EXAMINATION

19 BY MR. CURTIS:

20 Q While we're right there, so probably Captain  
21 Ryan would have been the one that secured the Staten  
22 Island end propulsion? That was after 90 minutes,  
23 ballpark?

24 A You know something, I can't recall who it was  
25 that I was communicating with at that time. I can't

1 recall. I think it will come to me, but I'm not real  
2 clear on that right now, if it was Pat Ryan or if it  
3 was some other Captain up there top side.

4 Q Would those times be reflected in the  
5 engineering log?

6 A At that point I don't know if we were keeping  
7 a log of the events.

8 Q Normally as they come across, what percentage  
9 of thrust do they use in transit across, do you know?

10 A Normally he will pull out of the slip, apply  
11 full thrust and do whatever steering that he needs to  
12 do, so you're looking at both propulsion units at  
13 thrust, 100 percent thrust, and what they'll do is  
14 normally they'll operate the engines at about 750 rpm  
15 and whenever they need to make any kind of speed  
16 adjustment to get a little more speed of the vessel,  
17 they'll sometimes then maneuver the engine speeds, 760,  
18 775, so they will vary their speed actually by the  
19 engine speeds. Normally they'll maintain the thrust.

20 Then it really is the discretion of the  
21 Captain, in terms of his operating, what he's  
22 comfortable with doing. Sometimes some people will  
23 come around the KV buoy or some time after that down  
24 below, but you'll normally see someone start to back  
25 off on the thrust to some degree below 75 to start

1 reducing the speed.

2           Then at some point normally you'll see  
3 sometimes the thrust come back to zero or minimum, some  
4 small amount, and then observing down below you'll just  
5 start to see some stern power.

6           Q     Do you hear that noise when you diminish  
7 thrust?

8           A     You hear the corresponding -- as you change  
9 thrust, you're changing the load on the engine, so  
10 you'll have a corresponding load change, which results  
11 in a sound change. Certainly when the engine speed  
12 changes you can hear it.

13          Q     You say you go from 750 to 770, that's not an  
14 appreciable speed change then.

15          A     No, it's not. It's not. That's normally  
16 within the normal operating range for the --

17          Q     So primarily, for all intents and purposes,  
18 it's a constant speed drive.

19          A     They are constant speed drive, yes. They're  
20 designed to maintain a constant speed and you vary the  
21 pitch on the blades to maneuver.

22          Q     The sound power phone weekly tests and the  
23 propulsion tests, is that logged or is it a paper they  
24 fill out? Is it documented?

25          A     I wouldn't say the sound power phones are

1 documented, but I personally -- I'm not sure what the  
2 engineers would do, but it might be customary when you  
3 did an EOT test that you would log an EOT test and  
4 emergency steering test. Those tests would be logged  
5 or should be logged.

6 The reason I say that is because the sound  
7 powered phone is sort of the normal daily operation.  
8 Some of these other emergency items would not be a  
9 daily item that's tested, so if you did it weekly, you  
10 would log that you had tested the telegraph and the  
11 emergency steering. Those items you would log.

12 Q And on the Andrew J., previous, in the recent  
13 past, communications wise there were no reports of  
14 problems with their communications systems?

15 A No.

16 Q That you're aware of?

17 A No. But again, I'm not privy to the daily  
18 operations. I didn't hear of any larger problem.

19 Q Just one last area. As far as engineering  
20 personnel procedures and their responsibilities, is  
21 there a book or a guidance manual for what each one is  
22 responsible for and what they should do in the event of  
23 a casualty? Is there an operating manual for that?

24 A There is not an emergency manual. There is a  
25 document that lists the tasks and standards and duties

1 of an engineer and that's included in people's annual  
2 evaluation and performance. That is one of the formal  
3 documents, as far as the duties and responsibilities.

4 Q Would it be possible to get a copy of that?

5 A Sure.

6 MR. CURTIS: Okay, Sean, that's all I have.  
7 Dave?

8 MR. PARKER: I am also done. Thank you,  
9 Sean.

10 MR. DIBENEDETTO: One more question, Sean.

11 EXAMINATION

12 BY MR. DIBENEDETTO:

13 Q The pilot staffing, the pilot house staffing,  
14 are you familiar with that?

15 A Yeah.

16 Q Do they have a mandate of how many people are  
17 supposed to be in there or where they're supposed to be  
18 at the time?

19 A The vessel itself has what we call the COI,  
20 the Certificate of Inspection, and that's the mandated  
21 manning level for the vessel, it's established by the  
22 Coast Guard. Any other I would not be the one to speak  
23 of in terms of who was in where at what particular  
24 time.

25 MR. DIBENEDETTO: Okay. Thanks.

1                   MR. CURTIS: That's all I have. Thank you,  
2 Sean.

3                   THE WITNESS: Thank you.

4                   MR. CURTIS: The time is a quarter of 3:00  
5 and this concludes the interview of Sean McDermott.  
6 Thank you, sir.

7                   THE WITNESS: No problem. Thank you.

8                   (Whereupon, at 2:45 p.m. the interview was  
9 concluded.)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24