

DEPARTMENT OF TRANSPORTATION  
NATIONAL TRANSPORTATION SAFETY BOARD  
OFFICE OF MARINE SAFETY

---

In the Matter of:

MAJOR MARINE ACCIDENT,  
DCA 03 MM 032

---

May 28, 2003

INTERVIEW OF:

CURT SATOW and HUST GIERING

The above entitled matter came on  
for hearing, pursuant to notice.

PRESENT:

TOM ROTH-ROFFY, NTSB  
BRIAN CURTIS, NTSB  
KEN OLSEN, USCG  
CHRIS OELSCHLEGEL, USCG  
STEVE CMAR, NCL  
CARMONE DOWNEY, ATF  
JOHN BUTCHKO, Miami Dade Homicide  
NANCY MCATEE, NTSB

1 P R O C E E D I N G S

2  
3 MR. ROTH-ROFFY: Okay. The time is  
4 now about 3:30 in the afternoon on the 28 of May 2003.

5 My name is Tom Roth-Roffy, with the National  
6 Transportation Safety Board in Washington, D.C. I, and  
7 several other investigators have come down to  
8 investigate the accident that occurred aboard the S.S.  
9 Norway on May 25, 2003. The reason we have asked you  
10 to come and talk to us is because we believe that you  
11 may have some information that may assist us in  
12 investigating the accident.

13 The National Transportation Safety Board  
14 conducts safety investigations. Our interest are  
15 strictly safety. We are interested in determining the  
16 cause of the accident, if we can. And to make  
17 recommendations aimed at preventing similar, future  
18 accidents. We are not conducting a legal  
19 investigation. We have no interest in any legal  
20 matters. We will not try to assign blame to any person  
21 or any organization. We are only interested in safety  
22 of ships.

23 So, with that I would like those interviewers  
24 that will be participating this afternoon, to go and  
25 introduce themselves and their affiliation.

26 MR. CURTIS: Brian Curtis, NTSB, Marine  
27 Engineering Accident Investigator.

28 MR. OLSEN: My name is Ken Olsen, I work at  
29 Coast Guard Headquarters in the Investigations Program.  
30 And again, our interest are safe as NTSB, to prevent  
31 further occurrences. That is our goal and  
32 understanding of what is happening here.

33 MS. MCATEE: Nancy McAtee, NTSB, Fire  
34 Explosion Specialist.

35 MR. OELSCHLEGEL: Chris Oelschlegel. I am a  
36 Coast Guard Traveling Inspector from Coast Guard  
37 Headquarters.

38 MR. DOWNEY: Carmone Downey, Alcohol, Tobacco,  
39 Firearms and Explosives.

40 MR. BUTCHKO: I am John Butchko with the Miami  
41 Dade Police Department, Homicide Bureau.

42 MR. CMAR: Stephen Cmar, Norwegian Cruise  
43 Lines.

44 MR. ROTH-ROFFY: Okay. Well, thank you. With  
45 that we will go ahead and begin our questioning.

46 We have with us participating or being  
47 interviewed is Mr. Curt Satow of Lloyd Werft and Mr.  
48 Hust Giering, with The Siemens Company. Sirs, welcome  
49 and thank you for coming. I know English is not your  
50 native language, so if at any time you don't understand  
51 the question, I will be very happy, you know, to say it  
52 over again in a different way or whatever it takes.

1                   And so, I am not sure exactly how we are  
2 going to proceed. You know, we just have some general  
3 questions about the boilers, controls and the  
4 automation system. And I understand that they kind of  
5 overlap, that you, from Siemens, do the electronics and  
6 you do more of the mechanical, Curt, is that correct?  
7                   MR. SATOW: That is right.  
8                   MR. ROTH-ROFFY: And maybe you could, for  
9 starters, go ahead and explain, you know, what your  
10 areas of interest are on the boilers, if you could,  
11 sir. We will start with Mr. Giering. If you could  
12 explain all of the components of the automation system,  
13 which Siemens is responsible for.  
14                   MR. GIERING: On this ship or on --  
15                   MR. ROTH-ROFFY: On this ship, sir, yes.  
16                   MR. GIERING: We have a boiler control, burner  
17 control. We have a turbine control, alarm system and  
18 generators. And my part is only boiler control and  
19 burner control.  
20                   MR. ROTH-ROFFY: Okay. And could you explain  
21 what components of the boiler control and burner  
22 control that you work on?  
23                   MR. GIERING: You mean now the control loops.  
24                   MR. ROTH-ROFFY: Yes.  
25                   MR. GIERING: No, I have a load control and  
26 fuel oil flow control, combustion air control, super  
27 temperature control, worker level control, feed belt  
28 control, fuel oil pressure control and fuel oil  
29 temperature control. That is all. And then --  
30                   MR. ROTH-ROFFY: The last one was?  
31                   MR. GIERING: Fuel oil temperature control.  
32 This is many times it is manual. This is not on auto.  
33                   MR. SATOW: And the last what he say was the  
34 burner logic.  
35                   MR. ROTH-ROFFY: Burner logic, okay.  
36                   MR. SATOW: Burner management has power, by  
37 itself. And then the boiler, if the burner or the  
38 boiler can line, the burner control takes over and  
39 control the pressure and what Mr. Giering explained.  
40                   MR. ROTH-ROFFY: Okay. And Mr. Satow, could  
41 you explain the components in the boiler that are your  
42 responsibility?  
43                   MR. SATOW: The burner logic or the control  
44 works on mechanical or the burner control, or burner  
45 management works on mechanical paths. For instance, if  
46 I start one burner, I have to ignite, I have to, first  
47 I start the logic of touching the boilers, then this  
48 part under fire, to adjust the fire and correctly, but,  
49 I do, just gearing to get up. And then the, if the  
50 starter, first burner and igniter has to go in, just  
51 has to be open, this all works to get in mechanical  
52 site. The fuel allows this open and so the fire, at

1 least the flame scanner takes over the flame, the flame  
2 is stable. That is my part on the mechanical side.  
3 And also sometimes that is all -- to get up to hold  
4 adjustment and also to control valve is -- is the  
5 branch name, to look to the mechanical -- and so on.  
6 But, therefore, we take over date and make the  
7 maintenance on this, that is all.

8 MR. ROTH-ROFFY: Mr. Giering, is there a  
9 technical manual for the boiler automation and control  
10 system for the boilers on the Norway?

11 MR. GIERING: I don't understand.

12 MR. ROTH-ROFFY: Is there a Siemens' document  
13 with technical drawings and description?

14 MR. GIERING: Yes, there is.

15 MR. ROTH-ROFFY: Okay. Is there also a similar  
16 document for the mechanical equipment that would come  
17 under your responsibility?

18 MR. SATOW: Yes, that is from, it was from, by  
19 of the vessel, was all the documents there for burners  
20 for logistic and all the burner logic and all the  
21 boiler control. I don't know if it is helpful, I can  
22 maybe explain how the beginning is for installed stuff  
23 like this.

24 MR. ROTH-ROFFY: Yes, if you could.

25 MR. SATOW: Yes. This ship was converted from  
26 the France to the Norway. -- was given from Lloyd  
27 Werft, at this time it was -- Lloyd Werft, to --  
28 shipyard, to make this ship complete with automatic  
29 burner management and boiler control. Going from  
30 the -- shipyard, I was involved for the complete  
31 commissioning, installation of this vessel in '79.  
32 Normally, the -- shipyard decide which kind of boiler  
33 control or burner management will be installed. And  
34 there is, at this time it was Siemens the best  
35 technical things which you get in boiler control and,  
36 and burner management and therefore, we installed this  
37 installation. Before was the complete vessel and  
38 manager, and for the stokers downstairs and put fire  
39 by, by torch and staff was on this we build up for  
40 automatic. We go in and we burner, five burners  
41 instead of seven, which was before by the French  
42 people. So, therefore, when this whole thing, I was,  
43 have responsibility.

44 MR. ROTH-ROFFY: Okay. And you say that was in  
45 which shipyard, can you spell that?

46 MR. SATOW: That was, that was in Lloyd Werft  
47 in Bremerhalf, in '79, '80. But, this part was made,  
48 it was, this part boiler and also the generator  
49 installation that is on was subcontracted from Lloyd  
50 Werft to -- Shipyard.

51 MR. ROTH-ROFFY: Okay. And at that time you  
52 were working for Lloyd Werft?

1 MR. SATOW: No, for -- Shipyard.  
2 MR. ROTH-ROFFY: Could you spell that, please?  
3 MR. SATOW: A-G -- A-G-W-U-A-S.  
4 MR. ROTH-ROFFY: Okay. Thank you.  
5 (Pause.)  
6 MR. ROTH-ROFFY: Okay. What changes have been  
7 made to the boiler automation system since 1979 in  
8 terms of design or performance?  
9 MR. SATOW: No major, no major changes.  
10 MR. GIERING: The only change new -- control.  
11 MR. SATOW: Yes.  
12 MR. GIERING: Where they have no -- the old  
13 one is finished. We change -- control. And most of  
14 the -- control is only the pneumatic station and the --  
15 is  
16 old -- system.  
17 MR. ROTH-ROFFY: Okay. I am not sure I  
18 understand. What kind of components was that? Could  
19 you say it again?  
20 MR. SATOW: The C Path controller. A  
21 transmitter, this was the telephone system.  
22 MR. GIERING: No, it is a special system from  
23 Siemens where you have 12 controllers inside and this  
24 looks like an indicator and inside is a 12 controllers  
25 and many -- and other thing and we need the -- for the  
26 automatic station where they need the signal outside to  
27 the old telephone system. This is all what was changed  
28 in this time. And the transmitter, you know, -- and  
29 then we must change in the new type.  
30 MR. SATOW: The old type was regionally and  
31 not anymore available and therefore, we changed,  
32 Siemens changed to the new type C Path controller, but  
33 we only use from the C Path controller -- itself, at  
34 least for the, for the signals. And this works, still  
35 works on the old electronic.  
36 MR. ROTH-ROFFY: And when was that worked on?  
37 MR. GIERING: Oh, we start, I mean, '69, we  
38 started first time.  
39 MR. SATOW: Ninety six.  
40 MR. GIERING: Or '96, yes, we started first  
41 time. Only four and then we start more in less time.  
42 MR. SATOW: But, that is not a major change of  
43 this. The system is still the same, but the  
44 transmitter different now. They have not -- still the  
45 same.  
46 MR. ROTH-ROFFY: Could you tell us about the  
47 last time you were aboard the vessel before? It was  
48 1999 in the shipyard and we did a general overall and  
49 everything?  
50 MR. GIERING: I was 1999 in the shipyard.  
51 General overall and everything.  
52 MR. SATOW: 2001.

1 MR. GIERING: 2001.  
2 MR. SATOW: It was --  
3 MR. GIERING: Yeah, 2001.  
4 MR. SATOW: 2001 was the last shipyard.  
5 MR. GIERING: Yes, I am sorry. And then I  
6 was in February of this year.  
7 MR. ROTH-ROFFY: Okay. Starting from say  
8 February of this year, what work did you do in  
9 February?  
10 MR. GIERING: I only adjust the boiler. The  
11 boiler was out of symmetry. One boiler make more load  
12 than the other one and I bring in symmetry and then I  
13 go after, I have a job maybe for four days and then I  
14 am finished.  
15 MR. ROTH-ROFFY: So you were onboard for about  
16 four days.  
17 MR. GIERING: No, one trip for Miami to Miami,  
18 seven days.  
19 MR. SATOW: But, the work was four.  
20 MR. GIERING: Yes, yes.  
21 MR. ROTH-ROFFY: And what was the nature of  
22 that work? What did you have to do to repair that  
23 problem?  
24 MR. GIERING: It was only, you mean now that I  
25 bring in --  
26 MR. ROTH-ROFFY: Correct.  
27 MR. GIERING: I see, you can see the fuel load  
28 flow, you can see, you can see the steam flow, so then  
29 I bring a little bit in ballasts and that was all.  
30 Yeah, I am only looking for my fuel and my steam flow  
31 and then I bring in the ballasts, a little bit higher,  
32 a little bit lower, then I was waiting to stabilize and  
33 then I am looking and bring a little bit more, and then  
34 we make maneuvering. We are finished, we make  
35 maneuvering, we stop and go on stand and everything and  
36 all the work and everything was okay. Then my job is  
37 done.  
38 MR. SATOW: We adjusted --  
39 MR. GIERING: It was only put in some --  
40 MR. SATOW: Yeah, put in some -- on the --  
41 MR. GIERING: Backside.  
42 MR. SATOW: -- on the backside from the  
43 boiler.  
44 MR. ROTH-ROFFY: Okay. The backside of what  
45 particular controller? Unfortunately, I haven't seen  
46 the drawings, but if you could just --  
47 MR. SATOW: Sure, and steam --  
48 MR. ROTH-ROFFY: The steamer controller.  
49 MR. SATOW: The fuel oil load controller.  
50 MR. OLSON: Ken Olson. You are talking about  
51 the main panel in the center, between --  
52 MR. GIERING: No, no, no.

1 MR. SATOW: Oh, no, the control room.  
2 MR. GIERING: The control room.  
3 MR. OLSON: In the control room.  
4 MR. GIERING: Now on the backside you have all  
5 the controllers inside.  
6 MR. SATOW: Downstairs is no any controls.  
7 MR. OLSON: There are no controls, okay.  
8 MR. GIERING: No, only the flame --  
9 MR. SATOW: The flame scanner is only  
10 downstairs and the burner logic is --  
11 MR. GIERING: That is in the control room.  
12 MR. SATOW: -- downstairs, start and stop the  
13 burners. No control downstairs.  
14 MR. ROTH-ROFFY: Okay. Tom Roth-Roffy back  
15 again.  
16 All right, and before February of this year,  
17 the last time you were onboard was 2001.  
18 MR. GIERING: Yes.  
19 MR. ROTH-ROFFY: And it was in the shipyard.  
20 MR. GIERING: Yes.  
21 MR. ROTH-ROFFY: And could you describe the  
22 work that you did then?  
23 MR. GIERING: The work is, every time we must  
24 check all valves. We have open all valves, looking on  
25 the spinner, if the spinner is okay, we change the main  
26 one, or many valves is automatic valve, so we change he  
27 main one inside and then we change positioner, made a  
28 new positioner on the works. And then we check  
29 transmitter. We can check the transmitter, inside you  
30 have a, you can simulate 12 -- you can see upstairs,  
31 you have the -- and everything. And then we also check  
32 safety line for the burner logic, pressure pump. We  
33 have a pressure pump with high pressure and we can  
34 check the oil pressure and fuel pressure, what we need.  
35 And then we check the flame --  
36 MR. SATOW: And we have, in this shipyard, I  
37 make a plan for the commissioning since, I would say  
38 since 1999, '80 for me. And in this plan we have, take  
39 down what all we have to do, check the burner logic,  
40 check the safety device, and check, check then later on  
41 the burner control. For this we pressure check all  
42 the transmitter, make the correct adjustment. We have  
43 two, I call it hot check and cold check. We start as a  
44 cold check with all end switches on the manual, ER, his  
45 caller is upstairs, I open downstairs by myself, the  
46 manual sees that the switch is working and that the  
47 signal is, signal comes up through the board in the  
48 control room. Now we go bar by bar through -- work,  
49 from me anyway, but, we do it and safety is -- we check  
50 the safety, the opened end switches by the pneumatic  
51 fuel oil -- We have a program where I check the  
52 pneumatic logic. That was all what we call check.

1 Pressure test and adjust the transmitter for the burner  
2 control, therefore, the boiler controls. And if this  
3 is done according to our program, we have set the time  
4 schedule for that, and then I make the hot check.

5 The hot check means that I start the  
6 perching, check the perching time by the instructions,  
7 and start the first boiler without fuel only and in a  
8 moment and then igniter was in, the photocell, see that  
9 everything is open, the signals for the closing valves  
10 goes open, upstairs and if I have my, my flame on, it  
11 is not a flashlight, it is a real flame from a burner,  
12 for pound burner, and then we are sure that this kind  
13 is okay. And then I check backside, if I have this  
14 burner in, with the flame, I stop the fan, the safety  
15 fan must come with closing valve shut off and also just  
16 otherwise check everything. I simulate fuel oil  
17 pressure, close the fuel oil valve, fuel oil drops.  
18 That is what I call hot check. If we are sure  
19 everything works. I do that on every boiler, every  
20 boiler.

21 If we are sure that works, then I have  
22 designed, decided with the chief engineer, which boiler  
23 we start first. This boiler which we start first, I  
24 check the safety from the diesel oil. You have to  
25 start this diesel oil first to warming up. On this  
26 kind of logic, it is not possible to burn diesel oil to  
27 get this fuel oil. If you open the manual valve by the  
28 diesel oil, immediately the fuel oil valves will be  
29 stopped. And this is what I call diesel oil safety  
30 check. And if that is okay, then we start the first  
31 boiler, the first boiler is the first one and diesel  
32 oil and we rise the pressure.

33 If the pressure is so far rise that we have a  
34 water level in, then we try, we test the water level,  
35 close, real test, close the feed water valve, and drop  
36 the water level down so we can see on the transmitter  
37 and also on the water level, that the water goes down  
38 and the boiler has to stop. So, that is the normal  
39 procedure. We check this safety device and if  
40 everything is working, we have the boiler pressure,  
41 then we bring it, show the classification society that  
42 is recommended, safety devices are working. That the  
43 recommended safety device by the classification society  
44 as in this case, they are not -- automatic and this  
45 vessel is official, not automatic vessel, it is a  
46 manual vessel. But, there are -- on the safety device,  
47 that meets the flame scanner, that meets the water  
48 level, fuel oil pressure, and, no, drum pressure high,  
49 yes, drum pressure high, it is set a little bit under,  
50 meets the safety margins. And force a draft --

51 I hope I haven't done forgot something. And  
52 then the air pressure, control air pressure.



1 MR. GIERING: And super -- temperature.  
2 MR. SATOW: Yeah, okay, that is safety from  
3 the classification society. And then we will check the  
4 classification together.  
5 MR. ROTH-ROFFY: About what month was that  
6 done in 2001?  
7 MR. SATOW: It was done in the yard time from,  
8 mostly we start by the beginning when the vessel is  
9 there. I don't know if the date was September, I  
10 think. September, November we were finished. December  
11 we was here. I have to look. I have to --  
12 MR. ROTH-ROFFY: Yes.  
13 MR. SATOW: What I do is usually over 20  
14 years.  
15 MR. ROTH-ROFFY: Sure, I understand.  
16 About how long does that, that work usually  
17 take?  
18 MR. SATOW: That work, over the whole shipyard  
19 time.  
20 MR. ROTH-ROFFY: About how many days or weeks?  
21 MR. SATOW: Normally this vessel it is three  
22 weeks, four weeks in the yard. According to the other  
23 jobs. And according to that schedule, we try to bring  
24 it also in this, if we have some things to change and  
25 so on, then we do that also in that time.  
26 MR. ROTH-ROFFY: Do you have some sort of a  
27 written document that shows what sort of testing you  
28 did and how you did it?  
29 MR. SATOW: Yes.  
30 MR. ROTH-ROFFY: Is that, does the ship have a  
31 copy or would you be able to provide a copy?  
32 MR. SATOW: Normally I give to the chief  
33 engineer before we start, all the test schedule and  
34 then afterwards, I give also a copy to the ship. It  
35 must be in the file. I have others.  
36 MR. ROTH-ROFFY: Okay. And do you have a name  
37 for that document, so that we can ask to see a copy of  
38 it? Does it have a title or something?  
39 MR. SATOW: Time schedule for commissioning  
40 the boilers. I guess, I must look upstairs for it.  
41 MR. ROTH-ROFFY: Okay. We would probably like  
42 to, you know, just look at that to see the sort of work  
43 that you did or usually do on the boiler.  
44 MR. SATOW: You would like to get that?  
45 MR. ROTH-ROFFY: Yes. We would like to see  
46 that. So, I am going to put it on list of documents.  
47 I just want to know what to call it, so, you know, they  
48 know what to ask for. So, I will call it --  
49 MR. SATOW: Time schedule for commissioning,  
50 the name may be a little changed.  
51 MR. ROTH-ROFFY: Okay. Time schedule for  
52 commissioning of the boiler.

1 MR. SATOW: Yes and testing.  
2 MR. ROTH-ROFFY: Okay.  
3 MR. SATOW: I can show you that.  
4 MR. ROTH-ROFFY: Okay. And then at the end  
5 of that three weeks of work, do you give the ship a  
6 report showing the results of all the tests, whether  
7 they are satisfactory or not?  
8 MR. SATOW: Yeah, mostly one of the engineers  
9 is with me and look at some of the electronic and the  
10 boiler engineer with me and which we show them what, we  
11 are down and up and whatever.  
12 MR. ROTH-ROFFY: Do you recall which engineer  
13 worked with you during that period from the ship?  
14 MR. SATOW: Oh, I don't know their names,  
15 really, but, it is different, which is boiler engineer  
16 at this time or not, I cannot remember which was last  
17 time.  
18 MR. ROTH-ROFFY: Okay.  
19 MR. SATOW: So, I am not so --  
20 MR. ROTH-ROFFY: Sure.  
21 MR. SATOW: I don't know.  
22 MR. ROTH-ROFFY: Okay. And prior to September  
23 2001, can you recall when the last time you were  
24 onboard this ship, to work on the boilers?  
25 MR. SATOW: In 2001.  
26 MR. ROTH-ROFFY: Before 2001?  
27 MR. SATOW: Before 2001. For me was the yard  
28 time before, it was '99, it was '99.  
29 MR. ROTH-ROFFY: You worked both together in  
30 '99 as well?  
31 MR. SATOW: Yes. In the meantime, there  
32 was -- It was '99, too. In the yard time again. Also  
33 '96, also '93 in Newport News Shipyard, we were there,  
34 '90, '87, '84, '82 by Lloyd Werft and '80 was the  
35 commissioning.  
36 MR. ROTH-ROFFY: Okay, so it looks like about  
37 every three years you came forward to do testing.  
38 MR. SATOW: According to the classification  
39 society, they recommend two yard times or drydockings  
40 in five years. And this we followed.  
41 MR. ROTH-ROFFY: I see.  
42 MR. SATOW: And sometimes, in some cases, in  
43 the earlier, in the beginning, we was, it had been  
44 altered, yes.  
45 MR. ROTH-ROFFY: So, in 1999, did you do the  
46 same type of work --  
47 MR. SATOW: Same procedure.  
48 MR. ROTH-ROFFY: -- as 2001.  
49 MR. SATOW: Yes. Every time same procedure.  
50 MR. ROTH-ROFFY: Okay. I am going to go ahead  
51 and let some other folks ask some questions.  
52 MR. CURTIS: This system as it is in this

1 vessel, do you have any particular reoccurring problems  
2 with the combustion control, flame scanner going out  
3 more frequently, any components of the system that you  
4 seem to have more trouble with than other parts of the  
5 system?

6 MR. SATOW: Not really, no.

7 MR. CURTIS: Sorry, this is Brian Curtis.

8 MR. SATOW: Not, I don't understand your  
9 question correctly. Do you mean the flame scanners or  
10 something not working properly that we, that has to be  
11 changed or could be better or --

12 MR. CURTIS: More frequently than other parts  
13 of the system. Any parts of the system that you seem  
14 to see more problems with?

15 MR. SATOW: No, no. Not really. No.

16 MR. CURTIS: You mentioned, Mr. Giering, that  
17 you made some adjustments not long ago to balance the  
18 system.

19 MR. GIERING: Yes.

20 MR. CURTIS: Would the crew ever do that on  
21 their own if you weren't available or is that only done  
22 by you as a representative?

23 MR. GIERING: I --

24 MR. SATOW: I think the question was that,  
25 that if balancing or change of control will be done  
26 only from Mr. Giering or also could be with the crew  
27 together or --

28 MR. CURTIS: Is the crew capable of and do  
29 they do it themselves?

30 MR. GIERING: Yes. The electronic engineer  
31 works on this system.

32 MR. CURTIS: So, he may make those adjustments  
33 if you are not available.

34 MR. GIERING: Yes.

35 MR. CURTIS: Do you know of any instances  
36 where they have done that, that they have told you  
37 about?

38 MR. SATOW: Your question was that they  
39 mentioned to him that they have done something.

40 MR. CURTIS: Yes, yes.

41 MR. GIERING: The last time, yes. They say  
42 they have a problem and he don't know what he must do,  
43 so I fix it. It was not a big problem. It was only,  
44 maybe he touched one, and forget to position it.

45 MR. SATOW: And what they tell him, when he  
46 comes onboard or when we come onboard, what is wrong  
47 and what is not so good and then so, and they are also  
48 able to, to work themselves.

49 MR. CURTIS: Okay. Is your method, if we  
50 wanted to test the system, is there say in a test mode  
51 where we can actually sequence a burner in the  
52 condition the vessel is in now? Is there a way we

1 could test the burner?  
2 MR. GIERING: No.  
3 MR. SATOW: You mean prior in the vessel, the  
4 boiler in service that you have a test mode, change  
5 over and test the --  
6 MR. CURTIS: Yes.  
7 MR. SATOW: No, no. It is not, it is really  
8 not necessary. If a, for the test of the flame  
9 scanner, I take one off from the burner and the burner  
10 has to shut off. Then I have tested them.  
11 MR. CURTIS: Okay.  
12 MR. SATOW: I have to be sure that the  
13 resistor is closed and the fuel is closed, by each  
14 burner, by themselves.  
15 MR. CURTIS: Yes.  
16 MR. SATOW: That is each burner, its --  
17 closing on fuel oil.  
18 MR. CURTIS: I am interested in the sequencing  
19 of the logic.  
20 MR. SATOW: Yeah, it is not the test mode  
21 then. I think it is also not necessary.  
22 MR. CURTIS: So, the only way to test it,  
23 would be by individual components.  
24 MR. SATOW: Yes, or by the boiler, I shut them  
25 off, and start as I explained before, what I call hot  
26 test.  
27 MR. CURTIS: And in any of your previous  
28 visits to the vessel, have you ever come upon where you  
29 found that the crew had bypassed a portion of the  
30 system to keep it running?  
31 MR. GIERING: No.  
32 MR. SATOW: No. It is also not a good --  
33 MR. CURTIS: That is all I have right now.  
34 MR. OLSON: I have got a few similar.  
35 You understand the whole system. You  
36 understand how the controllers effect the output  
37 devices, make the changes, whether it is a ratio  
38 controller or a square root extractor, you can see how  
39 that, how your changes affect the final end valve or  
40 operation. Do you think the electronics persons  
41 onboard the ship have sufficient knowledge to  
42 understand the complexity of the system?  
43 MR. GIERING: Yes.  
44 MR. OLSON: You do.  
45 MR. SATOW: Yes. They have a very good  
46 electronic engineer and he understands it very good  
47 system.  
48 MR. GIERING: From my private opinion, I don't  
49 like it really. He should, judge people which he works  
50 three weeks together -- It is a little bit difficult to  
51 answer this question.  
52 MR. OLSON: Yes, it is just general.

1 MR. GIERING: Okay. Then --  
2 MR. OLSON: General responses. If he comes  
3 onboard a ship and finds people have been messing with  
4 something that they shouldn't have, he certainly is the  
5 person who could give us an opinion as to whether or  
6 not, you know, somebody is adequately competent in  
7 doing what they are doing.  
8 MR. SATOW: They have a very good electronic  
9 engineer.  
10 MR. OLSON: They do, okay.  
11 With respect to servicing, do you have an  
12 annual service contract with NCL? No. So you are just  
13 called on when they have a problem.  
14 MR. SATOW: Yes.  
15 MR. OLSON: Is it accurate then that the last  
16 time you were called out to look at the system was  
17 2001, when you had that major review? So you haven't  
18 been called out in the last few years to look at this  
19 system?  
20 MR. GIERING: Yes, in February.  
21 MR. OLSON: Excuse me?  
22 MR. SATOW: February.  
23 MR. OLSON: This year.  
24 MR. GIERING: Yes.  
25 MR. OLSON: Okay. I missed that.  
26 Have you had any, not necessarily on this  
27 ship, but in your other servicing of other ships, and  
28 other fleets, have you come across times when the  
29 cylinode valves or they are pneumatic, quick closing  
30 valves in the fuel system, have they ever failed? Have  
31 you seen incidents where maybe the valve binded, or the  
32 valve, surface valve or is there any history of  
33 problems?  
34 MR. GIERING: Then I have order from my  
35 company, I must go immediately.  
36 MR. OLSON: Yes. But, you have never come  
37 across those types of failures?  
38 MR. GIERING: No, no. We have a big explosion  
39 in Ambrook, for many years, and we have strict order  
40 when we see that everything is all right, I must go to  
41 work.  
42 MR. OLSON: Yes. But, you --  
43 MR. SATOW: This, this, you know --  
44 MR. OLSON: Is there any way that an engineer  
45 can hold open a valve, mechanically, once it has been  
46 opened electronically?  
47 MR. GIERING: I cannot understand really your  
48 question.  
49 MR. OLSON: Okay. The burner light is off, the  
50 fuel oil cylinode valve, I keep calling it cylinode,  
51 the pneumatic valve opens up, is there a way to put  
52 something in there to keep it from closing?

1           MR. GIERING: We have a little history on this  
2 vessel, but I, I, that is my -- to answer this  
3 question.  
4           MR. OLSON: Well, what do you mean that, a  
5 little history?  
6           MR. GIERING: I mean, from the beginning on,  
7 in the first commissioning, there was, is something,  
8 but I have to speak with Mr. -- NCL, to mention or not.  
9           MR. OLSON: Okay.  
10          MR. GIERING: That is not in my  
11 responsibility.  
12          MR. OLSON: So we can just think generally  
13 that there may have been instances where the valves  
14 were held open mechanically.  
15          MR. GIERING: No, that is impossible.  
16          MR. OLSON: It is impossible.  
17          MR. GIERING: That is -- Well, in this case,  
18 completely impossible. At least you have a quick  
19 loading part.  
20          MR. OLSON: Right.  
21          MR. GIERING: And you have for each burner two  
22 double quick loading --  
23          MR. OLSON: Okay.  
24          MR. GIERING: So, and you cannot open or to  
25 get a mechanical case, that is impossible.  
26          MR. OLSON: I don't mean altogether at once, I  
27 mean, if they have a problem with the photocell and I  
28 don't know the system well, is there a way for me to  
29 hold open the fuel valve?  
30          MR. GIERING: No.  
31          MR. OLSON: No.  
32          MR. GIERING: I can show you that on, if you  
33 can go in there and I can show you that is impossible.  
34 I cannot hold open by the burner, if the photocell  
35 fails, then she fails and the closing valve from this  
36 burner close.  
37          MR. OLSON: Okay. Have you seen any additions  
38 where they may have hooked up air lines to hold that  
39 pneumatic valve open, additional air lines or  
40 connections?  
41          MR. GIERING: In, in --  
42          MR. OLSON: For the pneumatic valve.  
43          MR. GIERING: In this vessel?  
44          MR. OLSON: Yes, this vessel or other vessels.  
45          MR. GIERING: No. In this vessel, as I  
46 mentioned just before, we have to speak with NCL about,  
47 in the beginning. But, this arrangement was never  
48 used, so, I don't know.  
49          MR. OLSON: Okay. We won't go there right now.  
50          The ship is 41 years old. It is an old ship.  
51 Components are wearing out even though they are  
52 relatively new since '80, so they are 20 year old

1 components, if you want to think that way. The fact  
2 that you are not hired to go out there sooner and  
3 examine these systems, is that of any concern? Have  
4 you ever thought in your own mind, that gee, maybe they  
5 should have called me out there sooner to look at the  
6 system or to make a repair?

7 MR. GIERING: No, only what I have mentioned,  
8 sometimes that we have to look to our part, C Path  
9 controller that we get not any more spare parts for  
10 different kind of -- that we have to replace something  
11 to have still spare part. You know in this modern  
12 times, companies change designs, and so very quick,  
13 this is 20 years old, the companies run out of spare  
14 parts and that was one, like the C Path controllers and  
15 so on.

16 MR. OLSON: So then you would communicate  
17 that, those issues with the technical staff of NCL?

18 MR. GIERING: Yes, yes. And mention them, may  
19 let them look to change.

20 MR. OLSON: Okay. Are you aware of the class  
21 society and their role in ship board operations  
22 obviously. Have you ever witnessed BV's test  
23 procedures? They are involved with testing and  
24 examining the automation system. Have you ever  
25 witnessed their test, that test or their involvement in  
26 such a test?

27 MR. GIERING: As I mentioned before, that I  
28 have hand it over, or test the safety devices.

29 MR. OLSON: Yes, no, I understand your role,  
30 but have you seen or have you ever had an opportunity  
31 to witness BV inspector do the test?

32 MR. GIERING: No usually BV, people doing the  
33 test. They only witness the test.

34 MR. OLSON: Witness you, watch you.

35 MR. GIERING: Yes, also normally test. If you  
36 are on a shipyard, you, you, I was -- for testing, all  
37 their equipment, which was installed, and you always  
38 have BV or the classification society, behind you, not  
39 that they work on this stuff and make test by  
40 themselves.

41 MR. OLSON: Okay.

42 MR. GIERING: They only witness, that is  
43 normal.

44 MR. OLSON: Okay. But, so you are not, you are  
45 not in any way aware of what their methods of testing  
46 when you are not there.

47 MR. GIERING: No.

48 MR. OLSON: Okay. Are there burners straight  
49 mechanical burners or are they steam assisted? And are  
50 they all the same?

51 MR. GIERING: Steam -- not steam assisted, and  
52 not the steam --

1 MR. OLSON: Okay.  
2 MR. GIERING: Burner.  
3 MR. OLSON: Okay. And are they all the same?  
4 MR. GIERING: All the same, yes.  
5 MR. OLSON: How about the one that is used  
6 when you light off with diesel?  
7 MR. GIERING: Then they are --  
8 MR. OLSON: Straight.  
9 MR. GIERING: Straight, yes.  
10 MR. OLSON: Okay.  
11 MR. GIERING: Diesel is without steam.  
12 MR. OLSON: Okay.  
13 MR. GIERING: But, that is only for, we bring  
14 the boiler to 18 bar and then we change over.  
15 MR. OLSON: Cold start.  
16 What is the danger with low fuel oil  
17 pressure? Why is that a problem?  
18 MR. GIERING: The flame is not any more  
19 stable. The aft can blow the flame away, in this case,  
20 if you have a certain pressure, low pressure, then to  
21 avoid this, that the flame will blow away, you have to  
22 trips the boiler, the boiler trips automatically or the  
23 burner, let me say.  
24 MR. OLSON: If there is a problem --  
25 MR. ROTH-ROFFY: Sir, the tape is about out.  
26 We will go ahead and before you ask that question, we  
27 will stop the tape.  
28 (Change of tape.)  
29 MR. OLSON: If there is a problem with the  
30 fuel oil pressure regulator, that could cause low fuel  
31 oil pressure?  
32 MR. GIERING: Yes. Probably within the --  
33 and you can get low pressure. The system is, that we  
34 have a pressure, fuel oil pressure from 18 bar or 20  
35 bar, 20 bar and the controller controlled the quantity  
36 of fuel oil before the burner, and according to the  
37 note, the fuel oil pressure rising from four to 16 bar.  
38 MR. OLSON: And what, about roughly what is  
39 that low pressure cutout set at?  
40 MR. GIERING: It is 2.5 or three bars, 2.  
41 MR. OLSON: When an alarm, when a primary  
42 alarm sounds with the combustion control, like fuel oil  
43 pressure, is that something that would be captured by  
44 the engine room logging system, the printout?  
45 MR. GIERING: No.  
46 MR. OLSON: Okay. When the alarm signal goes  
47 up to the engine room, I don't need to know the  
48 details, I don't want to know the details, is that data  
49 stored anywhere? Is there a hard drive like on a  
50 computer that that data is stored? Is there is a  
51 history other than the sheet?  
52 MR. SATOW: Ask alarm --



1                   MR. GIERING: That we have, this is not  
2 working.  
3                   MR. OLSON: It is not working.  
4                   MR. GIERING: No, at this time.  
5                   MR. SATOW: There was a printout, there was  
6 the mechanical, yeah. From the printer was broken or  
7 is broken, so, no any more printout --alarms.  
8                   MR. OLSON: And then the question was then is  
9 there a hard drive or some other memory area that --  
10                  MR. SATOW: You mean, hard drive, what do you  
11 mean on a hard drive?  
12                  MR. OLSON: Like on a computer.  
13                  MR. SATOW: No.  
14                  MR. OLSON: No. So the alarms just go right to  
15 the printer.  
16                  MR. SATOW: Or on the screen.  
17                  MR. OLSON: Or on the screen, okay.  
18                  MR. SATOW: To get an alarm --  
19                  MR. OLSON: If you had low fuel oil pressure  
20 and, and it reached the low point, describe to us the  
21 cycle of what should normally happen, what does that  
22 low fuel oil pressure do, sounds an alarm, then does  
23 what?  
24                  MR. SATOW: I believe the stoker or engineer,  
25 which is downstairs, has to look at the pressure in the  
26 fuel line on the, on the pump itself, it is incorrect,  
27 and correct level, if not then normally that will be,  
28 that he can see, on the control room, the pressure is  
29 controlled by, by controller. He can only open manual  
30 or bypass this controller, if it not works correctly.  
31 Then the pressure rise again or drops, whatever.  
32                  MR. OLSON: So, the low fuel oil pressure is  
33 in a cutout.  
34                  MR. SATOW: It is a cutout. It is a trip --  
35                  MR. OLSON: It does trip, all right.  
36                  MR. SATOW: Yes.  
37                  MR. OLSON: All right, describe what happens  
38 with the automation, not with the engineer, what does  
39 the automation do? Does it, does, it secures the main  
40 cylinode valve, it secures the burner valves, how does  
41 that all work and then how is it tied into enable a  
42 relight?  
43                  MR. SATOW: The question asked is what the  
44 complete burner controller management say, do when the  
45 fuel oil pressure gets low.  
46                  MR. OLSON: Yes. Say, it goes low.  
47                  MR. SATOW: Goes low and this level where, the  
48 closing valve immediately stops, you have a pressure  
49 switch in the fuel oil line, and this pressure switch  
50 is one of the components which we test by pump every,  
51 every time. And if this pressure switch show a, get  
52 low pressure, then it cut immediately the quick closing

1 valve, the main quick loading valve for the complete  
2 boiler.

3 MR. OLSON: Okay. So then --

4 MR. SATOW: That is one of the safeties.

5 MR. OLSON: Yes.

6 MR. SATOW: That I mentioned before.

7 MR. OLSON: So, to restart, somebody would  
8 have to go and hit a button to start the purge cycle.  
9 Is that correct?

10 MR. SATOW: First he has to bring up the  
11 pressure again.

12 MR. OLSON: Okay. Right, right.

13 MR. SATOW: If he has no fuel oil pressure, it  
14 will do nothing. The logic, the purging cannot run if  
15 the fuel oil pressure is too low.

16 MR. OLSON: Okay. In the controller system to  
17 many of the sensors in, in your controllers, is there  
18 any maintenance that has to be done, maybe filter  
19 or -- filter? No.

20 Let's talk about the override switch. You  
21 know the override selector switch. Can you explain  
22 what that is used for?

23 MR. SATOW: In the control room.

24 MR. OLSON: No, in the engine room.

25 MR. SATOW: Yeah, in the engine room, sorry,  
26 in the boiler room. That is, you can override one of  
27 the, of the, let me, one of the safety, one per time,  
28 not every one, only one per time you can override for  
29 some reason, instead you blow the water level through,  
30 so, but we have two water level trips, so you can  
31 override one. But, still you have water level trips.

32 MR. OLSON: Is that a good thing to have on  
33 the system?

34 MR. SATOW: I think we have no, we have no  
35 override for the safety things like flame scanner, and  
36 we have no override for the fuel pressure and we have  
37 no override, we have only override for the water level  
38 and I have to look --

39 MR. OLSON: There was quite a number, there is  
40 like six different items that could --

41 MR. SATOW: Yes, but, they are only, all by --

42 MR. OLSON: It is not all attached?

43 MR. SATOW: No, you see, for the four -- you  
44 have two faucet -- One you can override and there is  
45 another one that is working.

46 MR. OLSON: Okay.

47 MR. SATOW: You have two water level override,  
48 and one you can override and then you cannot override  
49 the fuel oil or the -- you can only one by the time.

50 MR. OLSON: One item. So, if I wanted to  
51 change that pressure switch on the fuel, on the main  
52 fuel, I might be able to switch it to that, work on it

1 and --  
2 MR. SATOW: No, I don't, I am not sure at the  
3 moment. We cannot override the fuel oil.  
4 MR. OLSON: Okay.  
5 MR. SATOW: We are not sure.  
6 MR. GIERING: You have to look downstairs,  
7 let's go down and we make --  
8 MR. OLSON: Yes. In front of the boilers  
9 there is a plate that warns the operators in English,  
10 "beware of explosion and make sure you purge the  
11 boiler." It doesn't use the word "purge", some other  
12 word is used. Why would that plate be necessary if  
13 they are operating the boiler automatically and so on?  
14 MR. SATOW: In Germany you have on each boiler  
15 this plate, never mind it is automatic purging or  
16 adjust to give the people that operate the boiler the  
17 idea that purging is important thing, so I would  
18 explain this.  
19 MR. OLSON: Yes, maybe, maybe it is an old  
20 rule --  
21 MR. SATOW: It is an old rule, also you have  
22 always box to extinguish some fire, that is from --  
23 MR. OLSON: Yes, we still have those  
24 requirements for the sand in the engine room.  
25 MR. SATOW: Yes.  
26 MR. OLSON: How difficult is it to adjust the  
27 purge cycle? Is that something the electronics could  
28 do easily?  
29 MR. GIERING: You cannot do that. You must  
30 change one resistor inside.  
31 MR. OLSON: Capacitors resistor.  
32 MR. GIERING: Yes.  
33 MR. SATOW: Capacitors resistor.  
34 MR. GIERING: And one electronic card and the  
35 card is in the engine control room. So there is no  
36 chance.  
37 MR. OLSON: No chance.  
38 MR. GIERING: And then we have two cards  
39 watching, for the ignition time you have two cards,  
40 two -- where you have seven seconds and then after  
41 seven seconds, everything.  
42 MR. SATOW: Understand --  
43 MR. GIERING: Igniting time.  
44 MR. SATOW: Igniting time, he means the  
45 purging time.  
46 MR. GIERING: The same.  
47 MR. OLSON: Yes.  
48 MR. SATOW: He has to go in the boiler, itself  
49 and change some of this cap --  
50 MR. OLSON: Capacitors.  
51 MR. SATOW: Capacitors, condenser -- German.  
52 MR. OLSON: If they, if they were lighting off

1 the burners manually for, say their ignitor were not  
2 good, what other controls would you still have in the  
3 circuit? Would you still have all the protections that  
4 are --

5 MR. SATOW: Yes, sure. But, do you mean  
6 ignite manually, you --

7 MR. OLSON: Torch.

8 MR. SATOW: It is impossible.

9 MR. OLSON: Impossible.

10 MR. SATOW: You can only, you can only ignite  
11 if you have, the whole burner logic has to work,  
12 otherwise it is impossible and then you can go with  
13 electrical ignitor in and try by hitting the forth and  
14 back, that you can reach the, let me say the flame.  
15 But, after this ignition safety time is over, seven  
16 seconds, then the thing stops. If the flames cannot  
17 see, no flame in a certain time, seven seconds,  
18 everything will be stopped.

19 MR. OLSON: Are you aware of any of the crew  
20 doing and now this is really not a good question,  
21 because you wouldn't be aware, but, crew member is  
22 working on the cylinode valves, did you ever come on a  
23 ship and maybe not the Norway, but, any ships, that  
24 they have done adjustments to the pneumatic actuators  
25 or --

26 MR. SATOW: I don't know. If, if, if they are  
27 mostly spring operated, that they will be closed, I  
28 don't know really your question.

29 MR. OLSON: Okay.

30 MR. SATOW: You have pneumatic -- on the  
31 closing valves and the cylinode valves in the air side,  
32 vent the pneumatic air out.

33 MR. OLSON: Have you, I asked you about the --

34 MR. SATOW: If it is not a cylinode valve  
35 operated the complete valve.

36 MR. OLSON: Yes --

37 MR. SATOW: If they are piston, which would be  
38 operated by air.

39 MR. OLSON: Yes.

40 MR. SATOW: And the air went out by the  
41 cylinode valve.

42 MR. OLSON: Yes, I asked you earlier about the  
43 main valves, the valves that secure the fuel, have you  
44 ever had problems with the air cylinode valves that  
45 supply the air to the actuators? Often do you see?

46 MR. SATOW: It was this, this map on the air  
47 valve, the old ones, they was sometimes -- and then the  
48 logic, which is in this pneumatic cannot, it doesn't  
49 work if you have not the resistor pneumatically opened,  
50 the post fuel valve will be not go or other way, if the  
51 resistor fails for some reason, immediately, never mind  
52 about the electronic, the closing valve go also closed.

1 You cannot manipulate one or the other valves. So, if  
2 one of the air valve or this pneumatic valve doesn't  
3 work, you cannot handle this whole thing.  
4 MR. OLSON: Okay.  
5 MR. SATOW: It is a logic also in this  
6 pneumatic --  
7 MR. OLSON: Okay.  
8 MR. SATOW: A safety logic.  
9 MR. OLSON: This fuel oil pressure sensor,  
10 whereabouts is that located? Is that on the boiler  
11 front somewhere or it is some other part of the engine  
12 room?  
13 MR. SATOW: No, no, it is on the boiler, in  
14 this boiler of our design, there we have three pressure  
15 switches, one for the fuel oil, one for the scheme and  
16 one for the diesel oil.  
17 MR. OLSON: Is it pressure closed? I am sorry,  
18 pressure closes the micro switch or is it open?  
19 Normally closed or normally open?  
20 MR. SATOW: I don't know. Pressure open -- I  
21 don't know, really.  
22 MR. OLSON: Yes. And have you ever seen those  
23 jumped out for any reason?  
24 MR. SATOW: What do you mean jumped out?  
25 MR. OLSON: Electrically.  
26 MR. SATOW: You mean the jumper and override  
27 is --  
28 MR. OLSON: Yes.  
29 MR. SATOW: No, no, no. I show you the place  
30 where it is located. Nobody will go there and make  
31 something --  
32 MR. OLSON: I have just for fun, I have seen  
33 engineers build a bypass around a cylinode.  
34 MR. SATOW: Aw.  
35 MR. OLSON: And so, they can be very  
36 inventive.  
37 MR. SATOW: Yes. Okay.  
38 MR. OLSON: That is it for me now. That is  
39 it. Thank you.  
40 MR. SATOW: All right.  
41 MS. MCATEE: I just have a couple of  
42 questions. What happens in system when you get -- Oh,  
43 this is Nancy McAtee, NTSB.  
44 When you get a high fuel temperature alert,  
45 what happens in the system?  
46 MR. SATOW: The alarm. Alarm.  
47 MR. GIERING: Alarm.  
48 MR. SATOW: Only alarm.  
49 MS. MCATEE: Just the alarm. It doesn't shut  
50 anything down.  
51 MR. SATOW: No. See in the beginning we  
52 are --

1 MR. GIERING: No, it wasn't --  
2 MR. SATOW: There was some alarm switch,  
3 usually alarm trips which are normally are in what the  
4 commissioning this, as I remember, the owner doesn't  
5 want it. Different trips. I am not sure yet which  
6 trips it was, maybe the high temperature alarm.  
7 MS. MCATEE: Okay. Inside the burner, itself,  
8 if you get a higher temperature fuel, how does that  
9 change how it burns?  
10 MR. SATOW: Inside the burner, you cannot get  
11 a higher temperature.  
12 MS. MCATEE: Okay. It doesn't it, it doesn't  
13 make it burn in a different way.  
14 MR. SATOW: Yeah, but then you have, if you  
15 have the heater and the common fuel oil to each, to the  
16 burner, you have this high temperature and there is an  
17 old burner high temperature. But, then you can have,  
18 that is the phase in this fuel oil if the temperature  
19 is so high, but, you have the 10 bar fuel oil pressure,  
20 the four burner and to get the gas phase, high rise  
21 temperature of 200 to 250.  
22 MS. MCATEE: Okay. So, 10 or 15 degrees isn't  
23 going to change that.  
24 MR. SATOW: No, no.  
25 MS. MCATEE: When you were, to change just a  
26 little, when you were talking about the cold start,  
27 where you introduced the --  
28 MR. SATOW: Yes.  
29 MS. MCATEE: During normal operation, is it  
30 possible to switch that valve, you talked about, when  
31 switching from diesel to the heavy fuel oil, is it  
32 possible to switch that valve during normal operation?  
33 MR. SATOW: That is a manual valve. It is  
34 underneath, underneath from this burner right, where  
35 all the valves are in. If you opened it, there is an  
36 end switch, if you open this, immediately, if the end  
37 switch goes out from the closed position, you  
38 immediately the complete burner stops.  
39 MS. MCATEE: So it shuts down.  
40 MR. SATOW: Shuts everything.  
41 MS. MCATEE: Okay. That is all I have.  
42 MR. OELSCHLEGEL: Yes, I just have one  
43 question. I am Chris Oelschlegel, I am with the Coast  
44 Guard.  
45 Back in 1979, when the system was installed  
46 and I just want to make sure I heard your correctly,  
47 you have been onboard for every classification survey,  
48 every two and a half years.  
49 MR. SATOW: Yes.  
50 MR. OELSCHLEGEL: As they test the automation.  
51 MR. SATOW: Yes.  
52 MR. OELSCHLEGEL: Okay. Okay. And do you go

1 by, I think you have probably already answered this,  
2 so, I don't mean to ask the same question, but, when  
3 you are going through their, do you go through their  
4 test procedure, the classification society's test  
5 procedure or do you go through your own test procedure?  
6 In other words, do you do what they tell you to test  
7 or do you --  
8 MR. SATOW: Oh, I go through my test  
9 procedure.  
10 MR. OELSCHLEGEL: You go through the whole  
11 thing.  
12 MR. SATOW: This, this burner arrangement and  
13 the complete burner logic was, was a standard procedure  
14 from the Augilla Shipyard, I mention this name very  
15 often, developed by Exxon in the 70s. This, the Exxon  
16 has pulled at least, I think 10 or 30 tanker, crude oil  
17 tanker by Augilla Shipyard. And for this whole testing  
18 procedure and for the burner logic, they developed a  
19 test program. And this test program we follow since  
20 this time. It was in the Augilla Shipyard one  
21 accident, the boiler and according to this, they have  
22 changed the, the burner that, after the burner shut  
23 down, they blow out with steam the, the burner lens, so  
24 that no steam, no fuel oil is anymore in, but this  
25 whole logic was developed to Esso standards and this we  
26 have followed since, I can show you that, it starts  
27 with stupid things that are not possible, and then you  
28 do that and this we follow all the time. And also the  
29 whole, the arrangement was according to this logic.  
30 MR. OELSCHLEGEL: That was all I have, thank  
31 you.  
32 UNIDENTIFIED SPEAKER: I have just one  
33 question. It has kind of been touched already. When  
34 you are onboard, and you are servicing the system, that  
35 is why you are onboard. But, does the crew have the  
36 opportunity to work with you and learn or --  
37 MR. SATOW: Yes.  
38 UNIDENTIFIED SPEAKER: And of course, it just  
39 depends on who onboard at the time, because it is  
40 different people all the time.  
41 MR. SATOW: Normal, from the beginning, it was  
42 our task to show the crew how it works and then also in  
43 the beginning after the complete plan was new, we have  
44 made some training courses in electronic and the  
45 pneumatic and everything. So, that was from the  
46 beginning also there.  
47 UNIDENTIFIED SPEAKER: Okay. Thank you.  
48 UNIDENTIFIED SPEAKER: I have no more  
49 questions.  
50 MR. ROTH-ROFFY: Okay. Just a couple more.  
51 What is your contractual arrangement between  
52 your company and NCL? When you are, when they have

1 some work for you, servicing work, who do they  
2 contract, Lloyd Werft or Siemens?

3 MR. GIERING: Each of us get the, if they are  
4 Siemens from the NCL, and I am from, also from NCL.

5 MR. ROTH-ROFFY: Okay. Is either Lloyd Werft  
6 or Siemens the lead contractor? I mean, does Siemens  
7 work for you or do you work for Siemens or do you both  
8 work for --

9 MR. GIERING: We work together.

10 MR. SATOW: I understand what you mean. We  
11 are in long time, we are together, I cannot say that I  
12 am the leader. He is better in the electronic and in  
13 the control, but if we adjust the combustion, I handle  
14 the boiler manually and he make that adjustment behind  
15 the thing, so, in this case, it is no any company  
16 leader. By the beginning, by the commissioning, the  
17 shipyard the leader and I am, I was this one which make  
18 the commissioning and the responsibility for everything  
19 and so on.

20 MR. ROTH-ROFFY: Could you describe your  
21 current employment? What other sorts of work you do?  
22 Are you currently employed by Lloyd Werft?

23 MR. SATOW: Yes.

24 MR. ROTH-ROFFY: On a full time basis?

25 MR. SATOW: Yes.

26 MR. ROTH-ROFFY: What other work do you do?  
27 Do you travel a lot or are you mostly work in the  
28 shipyard or --

29 MR. SATOW: It is a little bit, on the  
30 shipyard in the moment, I am employed for  
31 environmental, I am an environmental engineer on Lloyd  
32 Werft. But, in '80, I have made this vessel, the  
33 commissioning of the vessel and in '82, Lloyd Werft  
34 asked me to come over to get employment by, by Lloyd  
35 Werft, for do some services, whatever and since this  
36 time, I, at least I do, make studies on turbine ships  
37 for conversions, for automation, or something like this  
38 and I have also, still this Norway, only now in the  
39 last years or in the years before, I have done  
40 different things, not really services on ships like on  
41 the Norway. The Norway it is some kind, let me say  
42 baby or which I -- I am original marine engineer, I was  
43 many year at, years at sea on turbine ships and was  
44 testing and commissioning engineer -- shipyard, so,  
45 therefore, I do this on the Norway, too.

46 MR. ROTH-ROFFY: Okay. And you, sir, do you,  
47 do you work on other steam plants for Siemens?

48 MR. GIERING: Yes. Gas tanker. Now and in  
49 the last time, only gas tanker.

50 MR. ROTH-ROFFY: Can you give me an idea of  
51 how many similar type systems are on ships today, on  
52 steam vessels?



1 MR. GIERING: Today, I am in 10, nearly 10.  
2 MR. ROTH-ROFFY: Ten and they are all about  
3 since 1980?  
4 MR. GIERING: 1980 or we have in the, we have  
5 more than 150 before, tanker, container ship, gas  
6 tanker.  
7 MR. SATOW: As I mentioned to you, Esso built  
8 at least 10 or 30 ships with oil burner management. It  
9 is the same logic and the same kind of controller.  
10 MR. ROTH-ROFFY: Okay. And is this a  
11 particular trade name or number for this particular  
12 system? Does the overall design have designation  
13 number?  
14 MR. SATOW: It has --  
15 MR. GIERING: This system as we have on four  
16 station.  
17 MR. SATOW: -- is the branch that --  
18 MR. GIERING: Telepan System, Telepan C.  
19 MR. ROTH-ROFFY: Telepan C.  
20 MR. GIERING: Yes, that is the Siemens' name  
21 for this system.  
22 MR. ROTH-ROFFY: And you say only about 10  
23 ships currently are operating --  
24 MR. GIERING: No, no.  
25 MR. SATOW: They are left and all the steam  
26 ships are gone. All in the United States not any more  
27 much steam ships.  
28 MR. ROTH-ROFFY: And how long have you been  
29 working on the Telepan C System?  
30 MR. GIERING: We start in 1970, I mean, and  
31 then 15 years, we are working with the Telepan C and  
32 then we change on C Path controller, where we have  
33 no --  
34 MR. ROTH-ROFFY: So, the C path is the  
35 successor to the Telepan?  
36 MR. GIERING: Yes, yes.  
37 MR. ROTH-ROFFY: When was that change over?  
38 MR. GIERING: 1995, I mean, we changed to the  
39 C Path.  
40 MR. ROTH-ROFFY: So, the Telepan was built  
41 from 1970.  
42 MR. GIERING: Seventy, yes.  
43 MR. ROTH-ROFFY: Do you normally, are you the  
44 one that works on the other 10 ships as well as the  
45 Norway or there other Siemens engineers that --  
46 MR. GIERING: No, I am the last one.  
47 MR. ROTH-ROFFY: Have any other ships built  
48 with the Telepans control system experienced boiler  
49 explosions in the last 30 years?  
50  
51 MR. GIERING: No. I cannot, I have no -- No,  
52 I have no --

1 MR. SATOW: In Germany there was a boiler  
2 accident made in the Long Shipyard. There was a  
3 mistake and at this time the rules in Germany were very  
4 strictly, it was not allowed to override photocells or  
5 override cylinode valves, whatever. And that is strict  
6 was in, in Germany, according to this, it was not  
7 allowed for shipyards to build something like that. I  
8 mean, can override something.

9 MR. GIERING: This explosion occurred 27,  
10 yeah, people.

11 MR. SATOW: That was a real explosion, they  
12 start, the test, the safety markers and override the  
13 photocells and burn the boiler with diesel oil. So,  
14 the diesel oil fails, and then they start again without  
15 purging all the oil, and it comes again and then it  
16 explodes the whole boiler. Killed 29 people.

17 MR. ROTH-ROFFY: And what year was that?

18 MR. SATOW: Seventy-six. But, it was not  
19 Siemens boiler controller and not burner management. I  
20 just mentioned that at this time there was --

21 MR. GIERING: I was assigned by my company  
22 when I see the override on the safety line, I must go.

23 MR. OLSON: You must call the company?

24 MR. GIERING: No.

25 MR. SATOW: We have to go to the vessel.

26 MR. OLSON: I am sorry, I don't understand.

27 MR. GIERING: When I see everything from the  
28 safety line was override, then I must go directly.

29 MR. SATOW: Leave the vessel.

30 MR. OLSON: But, how about to correct the  
31 problem that is causing them to override?

32 MR. SATOW: If you see a vessel which runs  
33 with override on the, let me say, flame scanner, he  
34 leaves the vessel and then he says or he stopped the  
35 boiler and say, okay, we, we correct them, but, which,  
36 follow when some guy comes and says stop the boiler.

37 MR. GIERING: We have many nationality. We  
38 have Greek people or other people, then he must -- the  
39 ship.

40 MR. SATOW: That has never happened.

41 MR. OLSON: So, the only time you,  
42 theoretically, the only time stay when you see that  
43 override switch being used is when the boiler is off.

44 MR. SATOW: Which override?

45 MR. OLSON: The safety line.

46 MR. SATOW: Here?

47 MR. OLSON: No, not here, anywhere.

48 MR. SATOW: You have not normally a switch to  
49 override the flame scanner or so.

50 MR. OLSON: Okay.

51 MR. SATOW: It is not allowed in Germany at  
52 least.

1 UNIDENTIFIED SPEAKER: Okay.  
2 MR. ROTH-ROFFY: And that was Ken Olsen who  
3 interjected himself there.  
4 MR. OLSON: Pardon me.  
5 MR. ROTH-ROFFY: Okay. Sir, just a couple more  
6 questions.  
7 We are going to meet with you later on and go  
8 through the control system and maybe look at some of  
9 the drawings and we hope that you will be able to  
10 assist us in understanding how the system works.  
11 Also I believe probably, has NCL contracted  
12 with you to test the boiler control systems to  
13 determine possibly if there was a malfunction there?  
14 Why are you here now?  
15 MR. GIERING: Now?  
16 MR. ROTH-ROFFY: Yes.  
17 MR. GIERING: Yes, we made assessment, yeah,  
18 how to bring the boiler back in service, in order to  
19 bring the plan back in service. That was --  
20 MR. ROTH-ROFFY: Okay.  
21 MR. GIERING: -- the company, maybe to see how  
22 we can bring it back or --  
23 MR. ROTH-ROFFY: Okay. Are you going to be  
24 testing the system to see what possibly may have gone  
25 wrong with it?  
26 MR. SATOW: On this broken boiler?  
27 MR. ROTH-ROFFY: Yes.  
28 MR. SATOW: But, let me say if, if, if we  
29 should start the plan again, then I will recommend to  
30 test this procedure, the whole thing as I mentioned to  
31 you and the same procedure, everything. But, the  
32 broken or the destroyed boiler, there we can only check  
33 what is may in the safety, was on, and so, but, I have  
34 made a roughly looked to that to date and all the quick  
35 closing valves are closed. They are all in the end  
36 switches. Only the manual valves are open. But, the  
37 end switches -- was all closed, all closed.  
38 MR. ROTH-ROFFY: Okay. Were all the manual  
39 valves open?  
40 MR. SATOW: Yes, they are open.  
41 MR. ROTH-ROFFY: All five of them?  
42 MR. SATOW: Nobody was any more there to close  
43 them.  
44 MR. ROTH-ROFFY: All five manual valves were  
45 open?  
46 MR. SATOW: Yeah, only the, yeah, all was  
47 open, I mean, as I looked downstairs.  
48 MR. ROTH-ROFFY: Okay. Any other observations  
49 that you saw regarding the controls, their current  
50 position?  
51 MR. SATOW: No, no, too short of time.  
52 MR. ROTH-ROFFY: Okay. We are going to, you

1 know, want to work very closely with you in testing  
2 this system, to try to see if there is a problem with  
3 the safety systems. And --  
4 MR. SATOW: When we can go in there.  
5 MR. ROTH-ROFFY: Right.  
6 MR. SATOW: I would like to stay there --  
7 MR. ROTH-ROFFY: So, later after this  
8 interview, we would like to meet with you and discuss  
9 how we are going to proceed with doing further testing.  
10 MR. SATOW: It is a little bit up to the  
11 owner, what they want.  
12 MR. CMAR: Steve Cmar, NCL. Maybe that is  
13 something we can talk about when we have the meeting  
14 tonight.  
15 MR. ROTH-ROFFY: Okay. Anybody have any other  
16 questions? Ken?  
17 MR. OLSON: Yes, I do.  
18 MR. ROTH-ROFFY: I am sorry, Brian Curtis,  
19 first.  
20 MR. CURTIS: Brian Curtis. Just a question  
21 regarding the recording of the data. The printer  
22 failed and so --  
23 MR. GIERING: I mean, they have ordered a new  
24 one.  
25 MR. CURTIS: Yes. The system has no ability  
26 to archive and save those alarms?  
27 MR. GIERING: We can only make three or four  
28 pages on the screen -- And when you have more alarms  
29 you have a blackout, plenty alarms coming, then you  
30 lose first alarms.  
31 MR. SATOW: So, on the screen it is only the  
32 last alarms on, how many?  
33 MR. GIERING: Four pages.  
34 MR. SATOW: Four pages and the other pages  
35 goes out.  
36 MR. CURTIS: So, there is no extended memory.  
37 MR. SATOW: No, no.  
38 MR. GIERING: No.  
39 MR. CURTIS: So without a printer, there is no  
40 way to get those archived data --  
41 MR. SATOW: No.  
42 MR. CURTIS: And this computer, the system has  
43 no uninterrupted power supply to back it up.  
44 MR. GIERING: No. The -- construct in Germany  
45 and he say, when he have, after the four pages, we have  
46 no, it is finished. For this you have, normally you  
47 have the printer, and when the printer if blocked  
48 inside.  
49 MR. SATOW: You called to Germany today or --  
50 MR. GIERING: No, yesterday.  
51 MR. SATOW: Yesterday and asked this question  
52 also, but to sign off this system he told him that it

1 is not possible.  
2 MR. CURTIS: What is the power source for that  
3 recording system? Do you know the vessel's power  
4 source, emergency?  
5 MR. GIERING: I mean, 24 volt.  
6 MR. CURTIS: Twenty four volt. Okay. That is  
7 all I have.  
8 MR. ROTH-ROFFY: Let me just follow up, Ken.  
9 This is Tom Roth-Roffy.  
10 Have you examined those four pages of alarms  
11 and, and are they available now, the last four pages?  
12 MR. SATOW: It was all gone, we start today  
13 with the alarm system, and --  
14 MR. GIERING: Nothing.  
15 MR. SATOW: And there was nothing on.  
16 MR. ROTH-ROFFY: No alarms at all?  
17 MR. SATOW: No, no, nothing. There is  
18 nothing, no.  
19 MR. ROTH-ROFFY: Not, not, zero, nothing.  
20 MR. SATOW: Yeah, not stored something.  
21 MR. ROTH-ROFFY: Right.  
22 MR. SATOW: The alarms now you can see the  
23 screen again, but, not the stored alarms.  
24 MR. ROTH-ROFFY: Okay. So we can see the  
25 screen with the alarms.  
26 MR. GIERING: Yes.  
27 MR. SATOW: Yes.  
28 MR. ROTH-ROFFY: Okay. What is the oldest  
29 alarm on the screen?  
30 MR. GIERING: I don't know, I don't know.  
31 MR. ROTH-ROFFY: Okay. Maybe we can look at  
32 that to see how, how old the alarms are.  
33 Ken Olson.  
34 MR. OLSON: You guys have been in the boiler  
35 industry, shipping industry, steam plant for a long  
36 time, obviously. So, obviously you are experts in  
37 your industry and so on. With that knowledge, what do  
38 you think could cause a causality like that this?  
39 MR. GIERING: I cannot answer this question.  
40 MR. OLSON: You have no, no idea. All right.  
41 MR. SATOW: It is, theoretically, it was, I  
42 was with Mr. Giering very shortly downstairs, so --  
43 MR. OLSON: How about on, like on another  
44 ship, furnace explosions, what could cause that?  
45 MR. GIERING: Furnace explosion can cause,  
46 normally by if they start a combustion, not enough air  
47 or something like this or I have some fuel, remaining  
48 fuel oil and start hot air on it or something like this  
49 and then I get, if I have not correct purge. But, that  
50 looks not so.  
51 MR. OLSON: If I had a furnace burning, we  
52 talked about another ship, but if I had burners burning

1 and I had one bad burner go a flame out.  
2 MR. GIERING: Yes.  
3 MR. OLSON: Of just dribble oil, maybe a bad  
4 tip on the burner.  
5 MR. GIERING: Yes.  
6 MR. OLSON: And that oil entered the boiler,  
7 would that oil burn, or would it gather?  
8 MR. GIERING: That will only burn uncontrolled  
9 on the bottom, maybe. Mostly not, but if you have  
10 stabilized fire in the furnace, it will not get an  
11 explosion by dripping in some oil or something like  
12 that.  
13 MR. OLSON: It would burn but maybe burn  
14 dirty, burn with a lot of smoke, maybe in the  
15 periscope.  
16 MR. SATOW: Then you have smoke indicator.  
17 MR. GIERING: Then you have smoke and see the  
18 smoke and you will do something that you can see on the  
19 screen on the control room smoke and also they have to  
20 watch, especially in the United States, that they have  
21 no black smoke.  
22 MR. OLSON: Yes.  
23 MR. GIERING: I think that was really not, not  
24 possible. And although the -- has since, the beginning  
25 on so many, so plus air, it will not smoke for this  
26 reason.  
27 MR. OLSON: Even if you had a bad burner.  
28 MR. GIERING: Even if you had a bad burner.  
29 That I am sure.  
30 MR. OLSON: Okay. You already answered. On  
31 other ships that might have had a furnace explosion,  
32 you already described that. Okay.  
33 I know you --  
34 MR. SATOW: But, if you have a furnace  
35 explosion then the furnace must be destroyed.  
36 MR. OLSON: Yes.  
37 MR. SATOW: And at the moment I could not see  
38 that the furnace was destroyed.  
39 MR. OLSON: Okay.  
40 MR. SATOW: On this boiler.  
41 MR. OLSON: Did these boilers, the air box is  
42 only in the front of the boiler, right?  
43 MR. SATOW: No, it is complete around.  
44 MR. OLSON: Completely around.  
45 MR. SATOW: It is double, the boiler sign is  
46 double the --  
47 MR. OLSON: Double casing?  
48 MR. SATOW: Double casing was here around the  
49 boiler.  
50 MR. OLSON: Does that include the top and the  
51 sides and the back?  
52 MR. SATOW: The top is open for smoke gas. It

1 is closed, the casing, the other casing for the air is  
2 closed by the economizer -- We can look in the  
3 drawings.  
4 MR. OLSON: Okay.  
5 MR. SATOW: You can easily see that.  
6 MR. OLSON: But, the side wall might not be  
7 air cooled.  
8 MR. SATOW: Sure.  
9 MR. OLSON: Oh, it could be.  
10 MR. SATOW: Everything --  
11 MR. OLSON: Yes. The back wall?  
12 MR. SATOW: Also. You were always down?  
13 MR. OLSON: Yes.  
14 MR. SATOW: You can see the back wall is --  
15 MR. OLSON: Yes. But --  
16 MR. SATOW: The furnace is still inside, okay.  
17 MR. OLSON: Okay. If there was a furnace  
18 explosion in the boiler, what could we expect to see in  
19 terms of damage within the furnace?  
20 MR. SATOW: At least that these tubes, the  
21 walls, the tubes, this -- would be in the tubes -- And  
22 the tubes are bent.  
23 MR. OLSON: Bent.  
24 MR. SATOW: Outside.  
25 MR. OLSON: Outward.  
26 MR. SATOW: Yes. I saw this membrane boiler,  
27 there is an explosion, the tubes, the membrane was like  
28 a drum.  
29 MR. OLSON: Swollen like.  
30 MR. SATOW: Yes.  
31 MR. OLSON: What other things could we look  
32 for to determine if it was a furnace explosion?  
33 MR. SATOW: I do not understand.  
34 MR. OLSON: Okay. Forget that.  
35 If it was an explosion in the, in the outer  
36 casing and then air, what do we call it?  
37 MR. SATOW: In box, air --  
38 MR. OLSON: Yes, what could be things that we  
39 could look for to verify that?  
40 MR. SATOW: That is difficult. Maybe some,  
41 some extra stuff in there, maybe fuel oil.  
42 MR. OLSON: Could we assume that we would  
43 naturally see fuel somewhere below the burners when  
44 looking in and it is down, you know, in the --  
45 MR. SATOW: In the in box, you mean?  
46 MR. OLSON: Yes.  
47 MR. SATOW: The leakage is there, you should  
48 see that.  
49 MR. OLSON: Would we find fuel in the back of  
50 the boiler? Could fuel get to the back of the boiler?  
51 MR. SATOW: Normally not, no. No, in the  
52 back, no.

1 MR. OLSON: Okay.  
2 MR. SATOW: Only underneath the burners.  
3 MR. OLSON: Okay. So, that is where we should  
4 expect to find fuel if it was --  
5 MR. SATOW: Something like that, yes.  
6 MR. OLSON: Okay. This, is it right for me to  
7 think that the item that you need to talk to NCL about,  
8 that you didn't want to discuss, is that, is it right  
9 for me to think that that could have possibly been some  
10 unsafe operating practice?  
11 MR. SATOW: No, personally, I will not, I am  
12 sorry, I have to speak with NCL first.  
13 MR. OLSON: Okay. All right. Okay. That is  
14 okay, thank you.  
15 MR. ROTH-ROFFY: Okay. I think that is about  
16 all the questions we have for right now. Later on, as  
17 we, you know, meet you on the ship, we would like to go  
18 through some of these drawings with you and discuss  
19 with you how we might go about testing the systems to  
20 see if there is a problem.  
21 We are all interested in finding out what  
22 happened and we appreciate your help in determining, if  
23 we can, the cause of this accident.  
24 Thank you very much, sir.  
25 MR. SATOW: Thank you.  
26 MR. GIERING: Thank you.  
27 MR. ROTH-ROFFY: The time is 17:10.  
28 MR. SATOW: Thank you.  
29 (Whereupon, at 5:10 p.m., the interview was  
30 concluded.)