

1
RECEIVED
NTSB OFFICE OF JUDGES
WASHINGTON, D.C.
2010 SEP 27 A 11:04

UNITED STATES OF AMERICA
NATIONAL TRANSPORTATION SAFETY BOARD

* * * * *

Investigation of: *
*
PACIFIC GAS & ELECTRIC COMPANY *
SEPTEMBER 9, 2010 ACCIDENT *
SAN BRUNO, CALIFORNIA *
*

Docket No. DCA-10-MP-008

* * * * *

Interview of: MARK KAZIMIRSKY

Anaheim Room
Marriott Hotel
San Francisco Airport
1800 Bayshore Highway
Burlingame, California 94010

Friday,
September 17, 2010

The above-captioned matter convened, pursuant to
notice, at 8:17 a.m.

BEFORE: KARL GUNTHER
Accident Investigator

APPEARANCES:

KARL GUNTHER, Accident Investigator
National Transportation Safety Board
490 L'Enfant Plaza East, S.W.
Washington, D.C. 20594

RAVINDRA M. CHHATRE, Investigator-in-Charge
National Transportation Safety Board
490 L'Enfant Plaza East, S.W.
Washington, D.C. 20594

LAWSON F. NARVELL, JR., Investigator
Human Performance Group
National Transportation Safety Board
490 L'Enfant Plaza East, S.W.
Washington, D.C. 20594

SUNIL K. SHORI, Engineer
California Public Utilities Commission

TOM FINCH, State Liaison
PETER J. KATCHMAR, Senior Accident Investigator
U.S. Department of Transportation
Pipeline and Hazardous Materials Safety
Administration

ROBERT FASSETT, Director
Integrity Management and Technical Services
Pacific Gas & Electric Company

GEOFF CALDWELL, Police Sergeant
City of San Bruno Police Department

DEBBIE MAZZANTI, Business Representative
International Brotherhood of Electrical Workers
Local 1245

JOSHUA SPERRY, Senior Union Representative
Engineers and Scientists of California
Local 20

DANE B. JAQUES, ESQ.
(Counsel for Mr. Kazimirsky)
Dombroff, Gilmore, Jaques & French
1676 International Drive, Penthouse
McLean, Virginia 22102

I N D E X

<u>ITEM</u>	<u>PAGE</u>
Interview of Mark Kazimirsky:	
By Mr. Gunther	5
By Mr. Katchmar	7
By Mr. Shori	8
By Mr. Chhatre	11
By Mr. Fassett	20
By Mr. Caldwell	21
By Mr. Katchmar	23
By Mr. Shori	27
By Mr. Chhatre	32
By Mr. Fassett	34
By Mr. Chhatre	36

I N T E R V I E W

(8:17 a.m.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. GUNTHER: I'm Karl Gunther, National Transportation Safety Board. We're investigating a September 9th, 2010, accident that occurred in San Bruno, California. It's our document, DCA-10-MP-008.

What I'd like to begin with is make sure that you are aware that you can have anyone you want with you as counsel and -- in this hearing testimony. And, again, are you aware of that and do you have counsel?

MR. KAZIMIRSKY: Yes, I am. And Dane is my counsel.

MR. GUNTHER: Okay.

MR. JAQUES: ^{DANE WK}~~Dan~~ Jaques, I'm noting my appearance on behalf of the witness.

MR. GUNTHER: All right.

MR. GUNTHER: What I'd like to do right now at this point, go around and if everybody could introduce themselves briefly and your affiliation.

MR. CALDWELL: Geoff Caldwell, City of San Bruno.

MR. FASSETT: Bob Fassett, PG&E.

MR. CHHATRE: Ravi Chhatre, NTSB. I'm the investigator in charge of this accident.

MR. SHORI: Sunil Shori, California Public Utilities Commission.

MR. KATCHMAR: Peter Katchmar, US DOT, Pipeline and

1 Hazardous Materials Safety Administration.

2 MR. NARVELL: Rich Narvell, NTSB.

3 MR. GUNTHER: Karl Gunther, NTSB.

4 MS. MAZZANTI: Debbie Mazzanti, IBEW, Local 1245.

5 MR. SPERRY: Joshua Sperry, Engineers and Scientists of
6 California, Local 20.

7 INTERVIEW OF MARK KAZIMIRSKY

8 BY MR. GUNTHER:

9 Q. Okay. What I'd like for you to do is go back to September
10 9th, 2010, I guess, from the time that you arrived at Milpitas Station.

11 Oh, can I get your name, address, and phone for the record?

12 A. My name is Mark Kazimirsky.

13 THE REPORTER: Can you spell the last name, sir?

14 MR. KAZIMIRSKY: K-a-z-i-m-i-r-s-k-y.

15 My address is -- business address?

16 BY MR. GUNTHER:

17 Q. That's fine.

18 A. 375 North Wiget Lane, W-i-g-e-t, Walnut Creek, California
19 94598. My phone number is: XXXXXXXXXX

20 Q. Okay. What I'd like you to do is from September 9th, just
21 go through what you did and just go ahead and describe the actions
22 you took and what observations you made.

23 A. On September 9th, I was on my way to San Francisco. When
24 I came out of the Caldicott Tunnel, I noticed a cloud and -- in the
25 direction of the peninsula. And I -- I knew that we were doing some

1 work in Milpitas, so at first I didn't associate it with the events,
2 but when I heard on the news that there was an explosion and no aircrafts
3 were involved, I made an association that it was potentially
4 work-related.

5 MR. CHHATRE: Excuse me, can you just speak a little louder?

6 MR. KAZIMIRSKY: I'll try.

7 MR. CHHATRE: Thank you.

8 MR. KAZIMIRSKY: After I arrived in San Francisco, I called
9 gas control and they told me that they lost the data from Milpitas,
10 so they didn't know what was happening.

11 When I spoke with them once again around -- just before
12 7:00, they still didn't have the data. And they suspected that
13 something happened with Line 132 and they asked me to go to Milpitas
14 and help with troubleshooting.

15 I arrived in Milpitas just before 9:00. I didn't see the
16 exact time and just before I arrived there, the data came back.

17 We didn't notice anything abnormal at Milpitas at that time
18 and since we knew by then that Line 132 had exploded, we left Milpitas
19 to see if we could help in any way.

20 Later on, we had ^{CHUCK LEWIS MK} ~~Jack Louis~~, one of the PG&E lawyers, arrive
21 to the site to take the statements from everybody at the site. And
22 then we just stayed until about 6:00 in the morning and then we left.

23 BY MR. GUNTHER:

24 Q. Can I get your credentials, including formal training, you
25 know, college, university -- whatever?

1 A. I graduated from the Institute of Technology in Odessa,
2 Ukraine, in automation and control systems. I worked on the pipelines
3 in the former Soviet Union, and then here in the States since 1976.
4 I've always worked in the control system, automation field. And
5 I'm currently supervisor of a SCADA control group for station
6 engineering at PG&E.

7 Q. And have you had any PG&E courses, training?

8 A. Over the years, I've taken a lot of different courses, not
9 only with PG&E, but also with the ^{VENDORS MR} vendor (inaudible), that we're using
10 in our system.

11 Q. And are you qualified under the PG&E OQ program?

12 A. No, I'm not.

13 MR. GUNTHER: Okay. Go ahead, PHMSA.

14 BY MR. KATCHMAR:

15 Q. So your actual title is Supervisor, SCADA, and Control
16 Group?

17 A. I'm a supervising engineer for SCADA and controls group.

18 Q. So would Mark be under you?

19 A. Mark?

20 Q. Mark Cenicerros, was it?

21 A. No, Mark Cenicerros was working for gas system operation
22 in Walnut Creek. It's a different department.

23 Q. Okay.

24 A. He works for gas control.

25 Q. Okay. What's the difference, then? Could you explain --

1 A. We have two different departments within -- or more than
2 two different departments. But in this case, we have gas engineering
3 and planning department and we have gas operations. Gas operations
4 is directly responsible for operating the system. Gas engineering
5 department is responsible for project engineering and tech support
6 on an as-needed basis, to valve controls and maintenance and
7 construction department.

8 Q. Okay. And where were you earlier in the day?

9 A. I was in the office earlier in the day and then I left.

10 Q. Walnut Creek?

11 A. Yes. Then I went home and after that, I was going to proceed
12 to my daughter's house.

13 MR. KATCHMAR: Okay. Thank you very much.

14 MR. GUNTHER: Sunil, from California PUC?

15 MR. KAZIMIRSKY: I want to make a slight correction. The
16 formal degree that I have is not control system, it's -- I think the
17 degree says electro-mechanical engineering.

18 MR. CHHATRE: Research -- electrical/mechanical
19 engineering?

20 MR. KAZIMIRSKY: Electro-mechanical engineering. I was
21 taking both classes, electrical and mechanical.

22 MR. GUNTHER: Thank you.

23 BY MR. SHORI:

24 Q. Could we get an understanding of what happens with the valves
25 at Milpitas on loss of power supply to the UPS?

1 A. I'm not sure if it was the loss of power supply from the
2 UPS. We lost the power supplies downstream from the UPS. The power
3 supplies that feed pressure transmitters, used for both monitoring
4 and control.

5 When we lost these two -- voltage from these two power
6 supplies, the signals from the pressure controllers went to zero,
7 which on the scale of zero to 800 pounds was interpreted by the
8 controllers as minus 200. So it was a negative value.

9 When the controllers saw the negative value, they
10 interpreted it as a low pressure, which results in opening of the
11 regulators. Both monitor and -- I mean the load and ~~primer~~ ^{TRIMMER ~~WV~~} valves.
12 So both load and trimmer valves went wide open.

13 As it happened, the monitors -- which are set at a slightly
14 higher set point -- take over and they limit the pressure to the set
15 point. And ~~best of~~ ^{BASED ON ~~WV~~} what I saw, that's -- ~~best of~~ ^{BASED ON ~~WV~~} all of the trends
16 that I saw after the fact, that's what happened.

17 Q. And, for the record, could we get -- in terms of the --
18 in terms of the pipelines that are connected, essentially they're
19 connected to the same pressure header, which ones are those? Which
20 ones do you have control over and which ones you do not in terms of
21 the pressure that fed from the headers?

22 A. Well, the header control is up -- we have three regulators,
23 17, 21 and 27, I believe -- that control pressure coming to the header.
24 Three lines coming out of the header operate at the header pressure.
25 132 is one of them.

1 Two other lines have additional regulation downstream from
2 the header. And they operate at a lower pressure than the header,
3 ~~maybe.~~ ^{WV}

4 Q. And the normal status of Milpitas Terminal, as far as manned
5 or not manned?

6 A. It is an unmanned facility.

7 Q. And can you state the lines that Milpitas -- the incoming
8 lines into Milpitas?

9 A. There are four incoming lines: 300-A, 300-B, 107 coming
10 from Livermore Junction, and -- I've forgotten the line number coming
11 from Rio Vista. I think it's 100.

12 MR. FASSETT: Point of clarification: I believe it's 131.
13 So 131, 107, and 300-A and B. Is that correct?

14 MR. KAZIMIRSKY: 107, for sure. And 300-A and B, too.
15 The last one, I forget.

16 MR. FASSETT: Okay. We'll verify.

17 BY MR. SHORI:

18 Q. Earlier you said that under a loss of power, the signal
19 that goes to the trimmer --

20 A. To the controllers.

21 Q. -- to the controllers and, in turn, to the control valves,
22 it shows a pressure of minus 200?

23 A. Well, the signal normally is ranged between either four
24 to 20 milliamps or one to five volts. So the controller shall always
25 see at least one volt. One volt ^{CORRESPONDS WV} ~~can respond~~ to a zero pressure.

1 Five volts ^{CORRESPONDING UNIT} ~~can respond~~ to 800. So a zero volt means 25 percent of
2 full scale, one to five.

3 So for the controller, that would be 25 percent of 800 pounds,
4 ~~scaled.~~ SCALE UNIT

5 Q. And that's if the default -- the default value in terms
6 of how it interprets that zero?

7 A. It's not a default, but it's a faulted value. Because we
8 can never have pressure lower than zero.

9 MR. SHORI: That's it for me. Thank you.

10 MR. GUNTHER: Are you done?

11 MR. SHORI: Yes, for now.

12 MR. GUNTHER: Ravi?

13 MR. CHHATRE: Yes.

14 BY MR. CHHATRE:

15 Q. In an unmanned station, if something like this were to happen,
16 when nobody is there, how would anybody know that the pressure had
17 gone to 685 -- 386? Would anybody -- an alarm, telephone, in-house?

18 A. All of normal conditions are alarmed to gas control. We
19 also have some local alarms, but since the station is unmanned, these
20 alarms are only -- can only be used while we're doing troubleshooting
21 or maintenance work. But when the station is unmanned, all alarms
22 are sent to SCADA. And the alarms are generated not only by the station
23 control itself, but gas control can also add some alarms on an as-needed
24 basis.

25 Q. And that is San Francisco?

1 A. Yes.

2 Q. And once they see those, can it be remotely control -- can
3 they control any valves, anything from San Francisco to Milpitas
4 Terminal?

5 A. They can control some of the valves. They can control
6 pressure and flow separation.

7 Q. Okay. And which valves they can control? I understand
8 maybe the -- the valves which are -- I mean you said the 350 and you
9 said 386.

10 A. They can control the regulators, the valves that have
11 electronic controls.

12 Q. Okay.

13 A. And they can control the valves themselves. They can
14 manually position the valve or they can change a set point and leave
15 the valves in automatic, in which case they will stop on their own.
16 These are the regulators.

17 The monitors, have strictly pneumatic controls -- gas
18 control has no access to them. They are set to the maximum pressure
19 locally and the set points can only be changed locally. Gas control
20 ~~cannot~~ ^{CAN NOT} change neither the set point ~~nor~~ ^{OR NOT} position of those valves.

21 Those are safety valves.

22 Q. Right. And you may not even be aware, depending upon when
23 you joined -- but is there any incident that is manual valves
24 malfunction or got stuck in any way?

25 A. I'm not aware of any malfunctions, whatsoever.

1 Q. Good. Any -- if these valves were to fail, how -- what
2 component of the valve could fail? Not that it would, but could fail?

3 MR. JAQUES: I'm going to object to that. It calls for
4 speculation.

5 MR. CHHATRE: Okay. Let me rephrase, then.

6 BY MR. CHHATRE:

7 Q. If these valves were to fail, for whatever given reason,
8 what would happen then to the header?

9 A. The monitor -- the control valves, the controllers, the
10 regulators, are fail-open valves. So if anything -- if there is any
11 failure with the control system, the valves will fail open.

12 The monitor valves are fail-closed valves. So if anything
13 happens with the monitor valves, they would go closed. That gives
14 us the ability to provide gas to the customers, and yet we always
15 have -- we always -- the system is always protected from high pressure.

16 Q. And how often is training given to operators for SCADA?

17 A. Operators in gas control?

18 Q. Both. To me, I look at it to be gas controllers are also
19 SCADA operators -- whatever the title may be -- because they are
20 controlling SCADA in San Francisco, are they not?

21 A. Yes, they are in San Francisco and I cannot answer that
22 question completely. I can tell you what training I provide to them,
23 or my group provides to them.

24 Q. Okay.

25 A. In addition to that, they have some other trainings that

1 are part of their work.

2 Q. Sure.

3 A. And from my part, when the system had been installed or
4 if we do any work on the system, we will usually schedule a training
5 class with the gas control operators. Depending on the complexity
6 of the system or complexity of the changes, it may be longer or shorter
7 -- a few hours, an hour class with all gas control operators, where
8 we would describe what changes had been made and how the system operates.
9 But that does not involve training them in how to run the system.
10 You tell them what access they have from a control perspective.
11 But as far as running the system, that's not part of what we do.

12 Q. It is not part of your training to them or it is not part
13 of the training, period?

14 A. I can speak of how the control system works, but I cannot
15 speak of the pipeline system, as such.

16 Q. Okay. And how often the training is given?

17 A. Again, I can't say. Training for the control system is
18 usually done when the changes are made or a new system is installed.
19 After that, they have -- perhaps they have a routine training or
20 refreshers, but, again, I'm not familiar with how they get trained.

21 Q. So gas control has -- if I can use the term -- like do they
22 have your equivalent in San Francisco?

23 A. I'm sorry?

24 Q. The gas control operators, do they have kind of your
25 equivalent or supervisor doing training in San Francisco?

1 A. No, I wouldn't say it's equivalent. They have their own
2 structure.

3 Q. Okay.

4 A. And I can't speak of that.

5 Q. Okay. We'll check our records, and if we don't have that
6 information, then we'll investigate it. We haven't gone through all
7 of the documents yet.

8 In this particular situation for line 132, that happened
9 on September 9th, when did you become aware of it?

10 A. About --

11 Q. Let me even clarify it more: The loss of power from UPS
12 -- uninterrupted power supply?

13 A. I became aware of something abnormal -- some abnormality
14 around 6:30.

15 Q. Okay.

16 A. When I called gas control and then I called Milpitas and
17 I spoke with people in both locations.

18 Q. And I don't know what this is called, but I guess there
19 are two UPS connections by diodes?

20 A. Two power supplies, not two UPSs.

21 Q. Okay. Two power supplies with one diode connected to them
22 in between?

23 A. No, each of them has an diode on the outgoing power. So
24 they can work in parallel as a redundant system.

25 Q. That -- I was told yesterday by somebody, if I remember

1 it correct, the troubleshooting, because of the loss of power when
2 they are doing it, the thinking was either the diode failed --

3 A. That's correct.

4 Q. -- and that needs to be replaced. And I thought that diode
5 was between the two units. Or am I wrong?

6 A. No, you're correct. There are two diodes between the units.

7 Q. Okay.

8 A. And should either one of them fail, that could cause a
9 problem with the power supply. What really happened, we don't know
10 yet.

11 Q. I understand. Everything is on a stand-still right now.
12 But my question is do you keep those diodes at the compressor station,
13 like supplies?

14 A. You mean as spare parts?

15 Q. Right.

16 A. I'm not sure if we keep them, but they're available off
17 the shelf in any ~~(inaudible)~~ ^{electronic supply store} ~~we~~.

18 Q. So what happens if the diode were to fail, do you need to
19 kind of goes down there for a while?

20 A. You mean what we could do if ~~it~~ ^{WE} didn't have a spare diode?

21 Q. Correct.

22 A. We could disconnect one power supply and leave the system
23 on the other one and it would work just fine.

24 Q. And the system is still capable of running with one?

25 A. Right. The diodes are only necessary to run two power

1 supplies in parallel. So if one of them fails, the other will continue
2 to work.

3 Q. Still, the system is good. I'm just trying to understand.

4 A. Right.

5 Q. The system is still good, then?

6 A. Absolutely.

7 Q. Okay. And the comment was made also that where the diode
8 is it is either cumbersome or difficult to reach that, to check that
9 out if the diode is working or not working. There was a comment made.
10 Was it ever discussed internally, that, you know, maybe we should
11 change or do something?

12 A. I don't think replacing a diode would be difficult. They're
13 easily accessible.

14 Q. Okay. Now, was any --

15 MR. FASSETT: Point of clarification?

16 MR. CHHATRE: Sure.

17 MR. FASSETT: I think the record will show, if you're
18 speaking about Mr. Beck, I think that the record will show that it
19 was an uncomfortable position.

20 MR. CHHATRE: Something like that. I remember -- there
21 was some comment made.

22 MR. FASSETT: He didn't say it was difficult. I believe
23 it said it was an uncomfortable position to work in.

24 MR. KAZIMIRSKY: Yes, it is uncomfortable, because it's
25 at about knee level.

1 MR. CHHATRE: Okay.

2 MR. KAZIMIRSKY: But it's very easily accessible.

3 BY MR. CHHATRE:

4 Q. Okay. Now, on September 9, when there was a problem with
5 the power supply -- I think whatever the problem may be -- the system
6 was backed up with the wire changing -- and I'm using that term very
7 loosely here -- but whatever the technicians did, they started getting
8 the juice at 34 volts from the two units. And my question is: Was
9 anything discussed to find out what happened and why the power came
10 back on, when you came?

11 A. Yeah, we tried to guess what could have happened. Obviously,
12 we wanted -- we wanted to understand what caused the problem.

13 We still don't know the answer to that.

14 Q. Sure. But I'm trying to understand. You did the repair
15 work that needs to be done. I believe that some kind of a ticket
16 or something needs to be done? We were told yesterday if we get the
17 repair work done, something needs to be done in the system -- and
18 I forget what the terminology was, but something has to be initiated,
19 is what I was told. And was that being discussed? Do you know what
20 I'm talking about? And, if you don't --

21 A. I'm not sure that I understand.

22 Q. Okay. If something has failed and you want to repair
23 something, what is the process?

24 A. There -- we'll try to get to the real cause of that problem,
25 especially when the problem is intermittent. We need to find out

1 what it is. We haven't done anything yet, other than kind of discussing
2 it. In order to find the problem, we need to get to the site and
3 we need to start checking the components and checking the wires.

4 Q. Sure.

5 A. And, obviously, we haven't done it yet.

6 Q. But, I guess, my last question: Have you got any paperwork
7 initiated to look at the problem -- or was it initiated that day between
8 6:00 and whatever time the technicians went home -- 4:00 in the morning?

9 A. We pulled -- well, we made a record of -- Jody Garcia made
10 the record of the sequence of events. We pulled out all of the drawings
11 we had at the site, to start troubleshooting. And that's about as
12 much as we could do that night. We did pull more drawings back at
13 the office and we are looking into what could have caused the problem.
14 But, like I said, it's -- so far it's strictly on paper. We haven't
15 done any physical work yet.

16 Q. I'm a little confused. When you say "on the paper," meaning
17 what --

18 A. ~~I'm -- troubleshooting, we are doing.~~ ^{WERE} We ^{WERE} looking at the
19 drawings and trying to understand what could have failed. But to
20 do the real troubleshooting, we need to get to the site and we need
21 to start testing the components of the system.

22 Q. So you will do your own troubleshooting? You do not have
23 to request anybody outside of Milpitas?

24 A. No.

25 Q. Okay. And you can order your own diodes or whatever needs

1 to be ordered at Milpitas?

2 A. We will test the existing diodes to see if they failed.
3 We will probably replace them, but, again, it's really early to talk
4 about what we're going to be doing.

5 Q. Sure. I understand.

6 A. It will take more work.

7 MR. CHHATRE: Okay.

8 MR. GUNTHER: Are you done?

9 MR. CHHATRE: Thank you.

10 MR. GUNTHER: Mr. Fassett, PG&E?

11 BY MR. FASSETT:

12 Q. Good morning. We've been throwing "SCADA" around. It's
13 an acronym, I understand that. But can you explain -- at least define
14 what SCADA means?

15 A. Yeah. SCADA is Supervisory Control and Data Acquisition
16 System. Different companies, different industries are using it in
17 kind of different ways.

18 In PG&E terminology, we call SCADA a part of a control system
19 that is used by gas control to operate the pipeline.

20 So in our terminology, SCADA is the computer ^{OR MW} ~~is the~~ servers
21 that run the software for the gas control operators. Everything else
22 we have in the field, we consider local control systems that provide
23 data to SCADA or accept commands from the SCADA. That's the context
24 in PG&E.

25 Q. Okay. So, to clarify, there's really two things in there.

1 There's supervisory control and there's data acquisition. So
2 sometimes they're just acquiring data. They have no control at the
3 locations it's coming from. It could be just a pressure -- and
4 something they can control the device at their location that they're
5 reading?

6 A. Even the supervisory part is -- for gas control is fairly
7 limited. What we call supervisory part for gas control is their ability
8 to send a command or a set point. Start, stop, open, close, so many
9 psi.

10 That's what we call supervisory points. These are commands
11 that are generated in San Francisco, sent to the local control system,
12 and the execution of that command is done always by a local control
13 system.

14 MR. FASSETT: Thank you.

15 MR. CHHATRE: Thank you.

16 MR. GUNTHER: City of San Bruno?

17 MR. CALDWELL: Yeah, Geoff Caldwell.

18 BY MR. CALDWELL:

19 Q. Thanks for being here today.

20 The one question you -- or the one answer to a question
21 earlier was what -- when you were gaining information when you driving
22 over through the Caldicott. I'm led to believe that you were calling
23 gas control when they told you that there was no -- there was a loss
24 of data from Milpitas?

25 A. I called gas control and they told me that they lost data

1 from -- some of the data from Milpitas.

2 Q. And that data has been retrieved eventually. It was just
3 not sent up immediately --

4 A. No, that was when the power supply failed.

5 Q. Right.

6 A. So during that time, they did not have some of the data.

7 Q. Okay.

8 A. Some of the points are fed off the power supplies that failed
9 and some are fed from different power supplies. We have several
10 different power supplies. So they lost the data that were related
11 to the failed power supplies. They still had the data from the other
12 points.

13 Q. Okay.

14 A. And that data is not retrievable, because we didn't read
15 anything.

16 Q. The other part of this question is: Is it possible that
17 due to that power loss an alarm would not be sent via SCADA to gas
18 control or did the alarms operate properly during the whole time?

19 A. We might have missed some of the alarms, as well.

20 Q. Okay.

21 A. The alarms are triggered generally when the parameter is
22 -- either the pressure or valve position or anything else -- is outside
23 of the limits. So if we didn't have the data, we probably could have
24 missed some of the alarms, as well.

25 MR. CALDWELL: Got you. Thank you.

1 MR. GUNTHER: International Brotherhood of Electrical
2 Workers?

3 MS. MAZZANTI: No.

4 MR. GUNTHER: Engineers and Scientists?

5 MR. SPERRY: No questions.

6 MR. GUNTHER: PHMSA?

7 MR. KATCHMAR: Yes, sir.

8 BY MR. KATCHMAR:

9 Q. You mentioned about how the voltage from zero to five or
10 the milliamps from four to 20 works. Is there -- how do you know
11 those facts? Is there a log that you looked at when you went to
12 Milpitas?

13 A. How do I know?

14 Q. That the voltage actually went to zero or one and you said
15 it was equal -- equivalent to minus 200 psi.

16 A. I don't have a record. I have the statement from the crew
17 that was working there. They told me that they lost power supplies.
18 On the loss of a power supply, like I said, the readings go to minus
19 25 percent of a full scale.

20 Q. Okay.

21 A. So that's kind of -- for me, it was self-evident.

22 Q. Okay. No, I was just wondering if you actually looked at
23 a log or if it was a deduction.

24 A. There was no log at the time.

25 Q. All right. Can you discuss the remainder of your forensic

1 analysis of the event after you arrived at Milpitas through the evening?

2 You mentioned something about pulling drawings. Could you just go
3 through a little bit more detail of, you know -- did they do any testing
4 in the boxes or --

5 MR. JAQUES: Do you mean after he arrived?

6 MR. KATCHMAR: Yes.

7 MR. JAQUES: Okay.

8 MR. KAZIMIRSKY: After I arrived, the power has already
9 been restored. Just a few minutes before I arrived, the power was
10 back in place. So we pulled out all of the drawings that we had
11 available at the site.

12 I discussed what happened and what's been done with the
13 crew working there, with the engineer and the construction technician
14 personnel. And I tried to follow through the drawings to see how
15 the wire -- how the wiring was done, what could have caused that problem.

16 What sensors they lost and which ones were still operational. But
17 there was very little more we could have done -- or I could have done
18 than become familiar with the work that we're doing -- or with the
19 events that happened while they didn't have power.

20 Q. Yes, sir. Did any one of the workers express to you something
21 that you said, "Ah ha"? You know, like did they mention something
22 that you went, "Oh, that's significant"?

23 A. No.

24 Q. Okay. What -- you discussed the control valves as regulators
25 and then the monitor valve. Could you explain, are they the same?

1 Do you know the manufacturer? How is the monitor valve?

2 A. I don't remember the manufacturer. The monitor valves have
3 pneumatic actuators with a spring return. They're fail-closed valves.
4 So in a loss of signal, the spring will push the valves in a closed
5 position.

6 The -- the regs, the loads and the trimmers are electric
7 actuators. I believe the load valves there are ~~limit~~^{LIMITORQUE} arcs, but that's
8 just the best I remember.

9 Q. I was just wondering about the actual monitor valve. And
10 is it -- does it look exactly like the control valves, but it's just
11 operating differently?

12 A. It is a control valve. It just has a different type actuator.

13 Q. Actuator, okay. Thank you.

14 If you had, you know, all the time and money in the world
15 and you wanted to make an enhancement to this system, to make it better
16 to be operated, easier to be operated, or some enhancement that you
17 would like to see on this line, what would that be?

18 MR. JAQUES: I'm going to have to object to that. It calls
19 for speculation and unless he's actually gone through that analysis,
20 I don't think it's appropriate for him to respond.

21 MR. KATCHMAR: Okay.

22 BY MR. KATCHMAR:

23 Q. Have you gone through an analysis of what the next
24 enhancement to this control system might be?

25 A. I didn't look from the standpoint of an enhancement. So

1 far, I've been trying to figure out what could have caused the problem.

2 Q. Right. I'm not asking since September 9th. I'm asking
3 -- you know, you've been doing this job for how many years?

4 A. Close to 40.

5 Q. Okay. You've probably, in that time, seen different systems
6 -- you've worked for different companies, like in the USSR. Have
7 you -- and I understand that in 2006, and you -- and I'm saying "you"
8 as the company -- PG&E installed a -- the current SCADA system. And
9 it took maybe a year to get it in. And so I do understand that you
10 had to put PLCs in the field. You had to put remote transmitting
11 units in the field, so that you could see at the control center.
12 But it appears that that's -- yes, sir?

13 MR. FASSETT: You're losing me.

14 MR. KATCHMAR: I'm sorry. I'll ask it more direct.

15 MR. FASSETT: Let me clarify.

16 You gave him no boundaries of a solution.

17 MR. KATCHMAR: Right.

18 MR. FASSETT: And you asked, in heaven, how would you like
19 to operate the system? We are not in heaven.

20 MR. KATCHMAR: No, you're right.

21 MR. FASSETT: Any solution is bounded by parameters that
22 come from various degrees. They come from business needs, they come
23 from customer needs. They come from codification needs. They come
24 from a lot of things.

25 MR. KATCHMAR: Right.

1 MR. FASSETT: I do not see why this is at all relevant.

2 MR. KATCHMAR: I will change my question.

3 MR. FASSETT: There's been no analysis done. The purpose
4 for this meeting is to acquire facts to write a factual report. It
5 is not, at this point, to determine what the root cause is. We cannot
6 determine what the root cause is until there is further work done
7 at the lab.

8 MR. KATCHMAR: Right. I will change my question.

9 BY MR. KATCHMAR:

10 Q. Would a good enhancement to this control system be adding
11 flow monitors?

12 MR. JAQUES: I'm going to object to the question.

13 MR. KATCHMAR: Okay.

14 MR. JAQUES: It's not appropriate.

15 MR. KATCHMAR: Okay.

16 MR. GUNTHER: Sunil, California Public Utilities
17 Commission?

18 BY MR. SHORI:

19 Q. Just some follow-up questions. Okay? It was indicated
20 by another witness that the power supply was being changed from a
21 three-phase to a single-phase for the new power supply.

22 A. Not the power supply. Not the power supply. We were going
23 to be changing the UPS power from three-phase to one phase. But that
24 -- that's the limit of the change.

25 Q. And you're correct, it is UPS.

1 Any particular reason for that?

2 A. Perhaps lower cost. From the engineering perspective, there
3 is no need for a three-phase.

4 Q. Okay.

5 A. I frankly don't remember, maybe 20 years we simply didn't
6 have a choice but to go with the three-phase system.

7 Q. Okay. Fair enough.

8 What written procedure would you expect to be in place for
9 the kind of work that was being performed for the UPS replacement?
10 And what existed, that you know of -- written procedure-wise?

11 A. We would need construction drawings, which we do have.
12 We would need all wiring diagrams, how the existing system is wired.
13 We would need -- which we also have. We would need a sequence --
14 sequential steps on how we're going to perform the work, which we
15 partially have. And we would need a start-up procedure for the new
16 system, which we also have. We scheduled having a vendor
17 representative come to the site to assist with the start-up. We never
18 got to that point, but that was the plan. And their representative
19 was scheduled to be at the site -- I don't remember the date, but
20 we have it scheduled.

21 Q. Okay. So there is a written -- a copy of the written
22 procedure that you reviewed that would be available to us?

23 A. I didn't review it. I wasn't directly involved with the
24 project.

25 Q. Okay. But you would expect as a supervisor for this, to

1 -- there would be one in place?

2 A. Yes.

3 Q. Would you expect --

4 A. There is different -- there is various level of details,
5 but it was a fairly simple job, so I wouldn't expect many details
6 on that.

7 Q. Would you expect the procedure to detail -- in terms of
8 any abnormal conditions or how to respond to abnormal events that
9 could occur in the performance of that procedure?

10 A. Probably not.

11 Q. What -- other than electronic monitoring for pressures at
12 Milpitas, and in regards to the supply into 132, are there any charts
13 -- non-electronic pressure monitoring?

14 A. Not that I'm aware of, no.

15 Q. As far as the work that's being done --

16 A. Excuse me, back to the charts. When you say "charts," do
17 you mean mechanical charts?

18 Q. Some sort of mechanical charts, something not relying on
19 an electronic SCADA signal or --

20 A. No. We don't have that.

21 Q. Is there -- in the course of this kind of work, is there
22 an expectation to have some non-electrical pressure monitoring? Some
23 sort of physical, on-the-line, gauges?

24 A. In some cases, yes. Where we expect losing the data, we
25 do install temporary pressure gauges.

1 Q. In this particular work being performed, were there any
2 temporary pressure gauges installed?

3 A. As far as I know, yes. Again, I haven't seen it myself,
4 directly, but from talking to the technicians, I know that they
5 installed some gauges.

6 Q. Was there anybody that was monitoring those gauges?

7 A. Part of the construction crew. Again, I don't know the
8 details. I don't know how frequently they did it or they -- or if
9 they were planning on doing it on an as-needed basis.

10 Q. One of your -- who -- which techs are normally assigned
11 to this Milpitas Terminal -- techs to main the control facilities
12 of the SCADA facilities?

13 MR. FASSETT: He's not the supervisor of the facility.
14 He's a supervising engineer. He's supervises engineers, not the
15 technicians of the facility.

16 BY MR. SHORI:

17 Q. Do you supervise employees that program controllers?

18 A. Yes, I do.

19 Q. Okay. So if you've got a tech person or an employee that's
20 capable of programming controller, who would be the -- is there an
21 individual assigned to this particular area to do that kind of
22 programming for the controllers?

23 A. We have a policy of all programming to be done by the
24 engineers on the control group. The techs are not doing any programming.
25 They may be allowed to install a program to a controller, but the

1 program will be developed by someone in my group.

2 They can work with the program, they can use it for
3 troubleshooting, but not to -- not edit it or change it in any way.

4 Q. What does the program involve? What essentially -- what
5 does the program entail?

6 A. We would develop a system description -- system
7 functionality that would be reviewed and approved by the operating
8 department, by gas control. And once we agree on how the system shall
9 operate, then one of the controls engineers would use as software
10 for the controller that is going to be used to write the actual code.

11 Q. So if a tech did have, for example, programming for a Siemens
12 352, what would be the purpose of him having that if, essentially,
13 the tech can't do any programming on it?

14 A. He can -- he can install the program to a new controller.
15 If the controller needs to be replaced, he can download the program
16 to the controller. And in many cases knowing how to use the program
17 is a troubleshooting tool. They can see some of the data that may
18 not be readily available elsewhere. Or they can look in the program
19 to confirm that what they see on the display, for example, is indeed
20 what comes to the controller.

21 Q. And are you aware of which controllers are installed at
22 Milpitas?

23 A. We have 26 or 28 Siemens controllers.

24 Q. Which model?

25 A. 353s, I believe.

1 Q. Do you have any Siemens 352s?

2 A. Elsewhere in the system?

3 Q. No, at Milpitas.

4 A. At Milpitas? I do not remember. And I know we had 352s.

5 I believe they have been upgraded several years ago to 353s, but

6 I can't say that with certainty.

7 Q. As part of the UPS work taking place at Milpitas, was there
8 -- were there any temporary measures that could have been taken by
9 the crew doing that work to reduce -- or, basically, retain control
10 of the controller and the trimmer?

11 A. I don't believe so. I -- the failure that we experienced,
12 in my opinion, was unrelated to the work that they did.

13 And when they did the work related to the valves directly,
14 they did do what would be expected. They switched the controllers
15 to manual, froze the position of the valves, and did the work, and
16 then switched the controllers back to auto. So they did it exactly
17 as it should have been done.

18 Q. Okay.

19 A. When they lost power, that was unanticipated. That was
20 unexpected.

21 MR. SHORI: Thank you. That's it for me.

22 MR. GUNTHER: Ravi?

23 MR. CHHATRE: Yeah, just a couple of questions.

24 BY MR. CHHATRE:

25 Q. For this SCADA unit at Milpitas, do you have any document

1 like operation --

2 A. When you say "SCADA," do you mean -- what do you mean?

3 Q. I'm talking about the control unit that we visited the other
4 day.

5 A. Yes, we have -- we have a complete station description that
6 describes essentially how all the components of the control system
7 work. How the terminal works and how the control system components
8 work.

9 Q. No, I wasn't looking for a description. I said operation
10 and repairs. I mean, if you want to maintain that unit, how you do
11 --

12 MR. FASSETT: Clarification: Code requires us to have an
13 operations, maintenance, and instructions for the appropriate station.
14 I believe he's referring to -- we have an OM&I for that station.

15 MR. CHHATRE: You do have that, okay. And have we requested
16 a copy already for that, Karl?

17 MR. GUNTHER: We may already have a copy of that.

18 MR. CHHATRE: Okay. We'll check. If not, we request a
19 copy of that.

20 BY MR. CHHATRE:

21 Q. And would that procedure review replacing components like
22 diodes or diagnostic steps a person should be taking?

23 A. Probably not, if -- if the diagnostic is involved, generally
24 you would expect to find that information in the manufacturer manuals,
25 not our manuals.

1 Our manuals may include manufacturer manuals, in which case,
2 yes, it would be there.

3 Q. Okay. And what I was referring to, like, first disconnect
4 this and then disconnect that and then follow whatever the -- I'm
5 looking for like a step-by-step procedure and --

6 A. No, if you think about the entire system, no. And I think
7 it's impractical. I think it's impossible for us to write that.

8 MR. CHHATRE: Thanks. That's all I have.

9 MR. GUNTHER: Mr. Fassett, PG&E?

10 BY MR. FASSETT:

11 Q. The word "troubleshooting," that's an interesting word.
12 It means you have found trouble and you have to figure it out, is
13 that correct?

14 A. Yes, it is.

15 Q. Generally, it means you have found an anomaly and to this
16 point you don't know what it is or how to solve it, is that correct?

17 A. Yes.

18 Q. So to have a procedure to address an anomaly that you've
19 never seen before, is, therefore, impractical, is that correct?

20 A. That's correct.

21 Q. Thank you.

22 So to clarify and to sum all of this up, we've stated that
23 the regulators are electrically controlled?

24 A. Electronically.

25 Q. Electronically controlled. The monitor is pneumatically

1 controlled, is that correct?

2 A. Yes.

3 Q. The work that they were assigned to do was completed --

4 A. That's correct.

5 Q. -- and control was re-established.

6 A. That's correct.

7 Q. So it went from manual to automatic?

8 A. That's right.

9 Q. It was some time after that switch-over that they lost power.
10 Therefore, the regulator saw, in its mind, zero pressure and went
11 wide open, is that correct?

12 A. That's what I've been told, yes.

13 Q. At which point the monitor, also sensing downstream pressure
14 like the regulator does, said, "Regulator is wide open. I need to
15 catch this." Is that correct?

16 A. Yes.

17 Q. Oscar mentioned earlier that he went out and checked monitor
18 pressure.

19 A. Yes, he did. I was at the site. I was already at the site
20 when we checked the calibration on every monitor.

21 Q. So is it accurate, therefore, to say that there are gauge
22 taps on each monitor that he could put his analog gauge on and read?

23 A. Yes.

24 Q. And there were at that time?

25 A. I'm not sure if they were gauges. But, like I said, the

1 monitor are controlled, clearly, on automatic, and each monitor
2 controller -- we have Bristol controllers there -- each controller
3 actually has a dial where you see the actual line pressure.

4 Q. Built into the Bristol itself?

5 A. Right. So if you want to verify it, he checked the set
6 point of each Bristol controller, as well as what the actual pressure
7 was.

8 MR. FASSETT: Thank you.

9 MR. GUNTHER: City of San Bruno?

10 MR. CALDWELL: No, sir.

11 MR. GUNTHER: International IBEW --

12 MS. MAZZANTI: No.

13 MR. GUNTHER: Engineers union?

14 MR. SPERRY: No.

15 MR. CHHATRE: Can I ask one question?

16 MR. GUNTHER: Okay.

17 MR. CHHATRE: Just one question.

18 BY MR. CHHATRE:

19 Q. On this particular event, the power was lost from 34 volts
20 to three or seven volts, somewhere around that line. The people working
21 on it initially could not diagnose it, but they pulled all of the
22 wires and they put all of the wires in. And somehow the power came
23 back to 24 volts. That is what I was told. Is that correct?

24 A. I didn't see what they were doing. I can only tell you
25 what they told me and I'm not sure if they pulled the wires out or

1 not.

2 Q. Okay. Let me back up, then.

3 Did they tell you what I've just described, in so many words?

4 A. They told me that they checked the voltage on both power
5 supplies and the voltage was, like I said, within about three to five
6 volts. They didn't tell me exactly they disconnected any wires or
7 they simply pulled on them to see if they had a good connection.

8 I can't answer that.

9 Q. Did you ask them?

10 A. I didn't really watch them.

11 Q. Did you ask them what did they do and how the power came
12 back on?

13 A. I did. And, like I said, they told me that they were wiggling
14 wires, trying to figure out what it was. And then all of the sudden,
15 the power came back. There was no -- they could not pinpoint what
16 made the power to come back.

17 Q. And would you consider that as problem resolved?

18 A. No.

19 MR. CHHATRE: Thank you.

20 MR. GUNTHER: Okay. Does anybody have any more operations
21 questions?

22 All right. Go ahead, Rick?

23 MR. NARVELL: No questions.

24 MR. GUNTHER: Okay. In that case, is there anything that
25 you haven't told us that we should know?

1 MR. KAZIMIRSKY: No.

2 MR. GUNTHER: Would you like to make a statement for the
3 record?

4 MR. KAZIMIRSKY: No.

5 MR. GUNTHER: Okay. Now, we're off.

6 (Whereupon, the interview was concluded.)

7  A handwritten signature is present on line 7, but it is almost entirely obscured by a thick black redaction bar. Only the top portion of the signature is visible above the bar.

8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD


IN THE MATTER OF: PACIFIC GAS & ELECTRIC COMPANY
SEPTEMBER 9, 2010 ACCIDENT
SAN BRUNO, CALIFORNIA
Interview of Mark Kazimirsky

DOCKET NUMBER: DCA-10-MP-008

PLACE: Burlingame, California

DATE: September 17, 2010

was held according to the record, and that this is the original,
complete, true and accurate transcript which has been compared to
the recording accomplished at the hearing.

 / km
Richard Friant
Official Reporter