

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

\* \* \* \* \*

Investigation of:

\*

\*

ENBRIDGE - LINE 6B RUPTURE IN  
MARSHALL, MICHIGAN

\*

\*

\*

Docket No.: DCA-10-FE-007

\* \* \* \* \*

Interview of: AARON SUTTON

Enbridge Headquarters  
Edmonton, Alberta  
Canada

Thursday,  
December 8, 2011

The above-captioned matter convened, pursuant to notice.

BEFORE: MATTHEW NICHOLSON  
Investigator-in-Charge

APPEARANCES:

MATTHEW NICHOLSON, Investigator-in-Charge  
Office of Railroad, Pipeline, and  
Hazardous Materials Investigations  
National Transportation Safety Board

[REDACTED]

RAVINDRA CHHATRE, Chair  
Integrity Management Group  
National Transportation Safety Board

[REDACTED]

MATTHEW FOX  
Materials Lab  
National Transportation Safety Board

[REDACTED]

BRIAN PIERZINA, Accident Investigator  
Pipeline and Hazardous Materials Safety  
Administration (PHMSA)

[REDACTED]

JAY JOHNSON, Supervisor  
Audits and Inspections  
Enbridge Pipelines

[REDACTED]

<u>ITEM</u>	<u>I N D E X</u>	<u>PAGE</u>
Interview of Aaron Sutton:		
By Mr. Nicholson		5
By Mr. Chhatre		8
By Mr. Nicholson		12
By Mr. Pierzina		18
By Mr. Chhatre		45
By Mr. Fox		51

I N T E R V I E W

1  
2 MR. NICHOLSON: This is NTSB Pipeline Case Number  
3 DCA10MP007, Enbridge Energy July 2010 crude oil release in  
4 Marshall, Michigan. These are the Integrity Management Group  
5 interviews being conducted in Edmonton, Alberta, Canada, Enbridge  
6 Headquarters. Today is Thursday, December 8th, 2011.

7 This interview is being recorded for transcription at a  
8 later date. Copies of the transcripts will be provided to the  
9 parties and the witness for review if transcribed.

10 For the record, Aaron, please state your full name, with  
11 spelling, employer name, and job title.

12 MR. SUTTON: My name is Aaron Craig Sutton, A-a-r-o-n,  
13 C-r-a-i-g, S-u-t-t-t-o-n. I am currently an employee of Enbridge  
14 Pipelines, Inc. in the materials group, or I guess the crack  
15 management program now, I guess, is what we're called. I've been  
16 here for almost 3 years. My predominant roles are dealing with  
17 fatigue analysis and collecting our pressure data as well as being  
18 a line subject matter lead.

19 MR. NICHOLSON: Okay. And can you just give us a  
20 contact phone number and e-mail address?

21 MR. SUTTON: E-mail is [REDACTED] and my  
22 phone number is [REDACTED]

23 MR. NICHOLSON: Okay. Aaron, you realize you're allowed  
24 to have one other person of your choice present during this  
25 interview. This other person may be a friend, attorney, family

1 member, co-worker, or nobody at all. If you would, please  
2 indicate whom you've chosen to be present with you during this  
3 interview?

4 MR. SUTTON: I've chosen no one.

5 MR. NICHOLSON: Okay. We'll go around the room and have  
6 each person introduce themselves for the record. My name is  
7 Matthew Nicholson, M-a-t-t-h-e-w, N-i-c-h-o-l-s-o-n.

8 I am the NTSB IIC. My phone number is [REDACTED]

9 [REDACTED]

10 MR. FOX: Matt Fox, NTSB Materials Lab, M-a-t-t, F-o-x,  
11 phone number is [REDACTED] e-mail is [REDACTED]

12 MR. JOHNSON: Jay Johnson, Enbridge Pipelines,

13 [REDACTED] Cell: [REDACTED]

14 MR. PIERZINA: Brian Pierzina [REDACTED]

15 [REDACTED], B-r-i-a-n, P-i-e-r-z-i-n-a, [REDACTED] Phone  
16 number is [REDACTED]

17 MR. CHHATRE: Ravi Chhatre. I'm with NTSB and Integrity  
18 Management Group chair for this investigation. My e-mail is

19 [REDACTED] Phone number is [REDACTED].

20 INTERVIEW OF AARON SUTTON

21 BY MR. NICHOLSON:

22 Q. All right, Aaron, I guess we brought you up here to kind  
23 of walk us through FlawCheck and show us -- actually we're  
24 interested in the 2005 data, maybe just walking us through how  
25 fatigue counts are done using FlawCheck.

1 A. Okay.

2 Q. We've seen CorLAS earlier, so --

3 A. Great.

4 Q. -- we've seen that demonstration. So go right ahead.

5 A. Okay. Do you guys want background kind of relating to  
6 how we get our pressure data and clean it and manage it like that  
7 as well, or --

8 Q. Well, we've heard some of that. If you want to give us  
9 a --

10 MR. CHHATRE: Quickly, yeah.

11 MR. SUTTON: Sure.

12 BY MR. NICHOLSON:

13 Q. -- high level, that wouldn't hurt.

14 A. So if we go to -- where do we have it now?

15 Q. Is something you would do, Aaron?

16 A. Yeah, this is something that I'm responsible for.

17 Q. Oh, okay.

18 A. I'm just going to pull up a couple different things  
19 here.

20 Q. Sure. Take your time.

21 A. Okay. So in this one spreadsheet here just  
22 demonstrates, I guess, how we go about pulling our pressure data.  
23 So in the first column it just states what the pressure trend's  
24 user tag number is that we reference out of our SCADA data; the  
25 time period that we want to pull the pressure data for, the start

1 and stop; what we're saving the data as; where we're saving the  
2 data; along with some of the pipe properties. So we've just got  
3 the nominal diameter, the grade, the wall thickness, as well as in  
4 this folder or this file -- I've updated it with the pressure, the  
5 maximum pressure that's observed in this time period that we've  
6 pulled.

7           So what we'll do is we'll take this file and run a macro  
8 that will pull all our data out of a SCADA and create these files  
9 that we've specified here under this name and directory. And then  
10 when we actually go into those folders, we save it as a CSV file.  
11 And so that file just states the tag that we've pulled up at the  
12 top, the time period that we've pulled, so the start and stop, the  
13 number of data points, the time stamp and the corresponding  
14 pressure at that time.

15           This zero column we have here is just used for  
16 formatting in our FlawCheck software. It just uses that to know  
17 when to terminate.

18       Q.   Why do you have to go to the first spreadsheet just to  
19 dump the CSV? Why couldn't you just pull the PI data right out to  
20 a CSV?

21       A.   That's what we're doing.

22       Q.   Oh.

23       A.   That's just, I guess, the input to say where to save it  
24 and where to be pulling it from.

25       Q.   Oh, okay.

1 BY MR. CHHATRE:

2 Q. How frequently are you collecting pressure data?

3 A. We do it on a quarterly basis. So every 3 months, we'll  
4 go through and pull all the data.

5 Q. But from the transducer, how often?

6 A. How often does it read?

7 Q. Yeah.

8 A. Transducer, I believe, reads every about 4 seconds or  
9 when there's a delta P of greater than 2 psi.

10 Q. Okay.

11 A. It'll take a measurement.

12 Q. And so your last numbers, they include every single data  
13 point that the transducer provided in 3 months?

14 A. Right. We will go through the data once it's pulled and  
15 we'll scrub it to remove any, what we're classifying as noise. So  
16 any delta P's less than 2, we'll remove that just to say, oh, we  
17 don't need to have 50 data points saying that the pressure was  
18 held constant for 2 hours. We'll remove it and just have a start  
19 and stop.

20 So once we have, I guess, our pressure data we'll go  
21 through and we'll do a manual review on it so I should manually  
22 clean the data to remove any bad data points. So this is the  
23 spreadsheet that we use. And this just has an example of a  
24 potential bad data point, just one random point off on its own.  
25 So what we'll do there is we'll actually go back into our SCADA



1 data and all of our pressure tags that we have -- we have multiple  
2 tags monitoring the same location.

3           And so this is just showing the same thing here. This  
4 is that pressure spike right here that we're questioning whether  
5 it was valid or not. And if we actually zoom in to that point, we  
6 can see here that both the teal and pink transducers did not see  
7 that pressure spike. So we'll say that that is an invalid data  
8 point, and we'll remove that data point. So we'll go through all  
9 our pressure data that we collect and do this.

10           MR. NICHOLSON: You do that manually? The macro can't  
11 just say I've got two out of three that are valid, dump the last  
12 value?

13           MR. SUTTON: I guess not with the current software that  
14 we have, we can't do that. But there's not usually a lot of data  
15 points that need to be removed. And a lot of them usually are  
16 pretty obvious. Sometimes it'll be like a pressure point of a  
17 thousand or a million psi or something. It's like, I'm pretty  
18 sure that's a bad data point.

19           MR. NICHOLSON: Um-hum.

20           BY MR. CHHATRE:

21           Q. Did you say that -- this is Ravi-- you said if you have  
22 whole set of data points with the same numbers of -- you delete  
23 those?

24           A. Right. So we'll just keep kind of the endpoints. If  
25 the delta P is less than 2, we'll dump all those data points.

1 Q. So, for P analysis, wouldn't you need some time in the  
2 future to see how often a certain pipe segment is cycling?

3 A. Right. But I guess we're only removing it basically  
4 when we're saying that the line isn't cycling.

5 Q. Okay. All right. But how do you compare the two lines  
6 when one is more cycling than the other after -- massaging the  
7 data this way, all you are going to see really, is really similar  
8 lines, right?

9 A. No, because all you're doing here, I guess, is removing  
10 data points if you're -- say you were shut down or something and  
11 holding 50 pounds at your discharge, or whatever, and it was just  
12 transducers bouncing back and forth between 50, 51; 50, 51.

13 Q. Okay.

14 A. We'll just flat-line that at either 50 or 51 psi.

15 Q. Okay.

16 A. So, I guess that's how we do our manual review of our  
17 data and clean it before we do our fatigue analysis.

18 MR. NICHOLSON: Is that a -- this whole scrubbing  
19 process, is in a PI standard, or --

20 MR. SUTTON: Yes.

21 MR. NICHOLSON: Oh, it is? Okay. What's the -- the  
22 tabs that say Weighting Factors, is that of any significance?

23 MR. SUTTON: I believe this is -- this is before my time  
24 when I was here. I know -- I think this was something that Sean  
25 Keane was using more so when he was monitoring this. We're not

1 using this, though, for our current programs.

2 MR. NICHOLSON: Okay.

3 BY MR. CHHATRE:

4 Q. But you do not know what the weighting factor is? Use  
5 it or not use --

6 A. No, I don't use that at all.

7 Q. But do you know where it comes from, I guess? I realize  
8 you might not use it anymore.

9 A. No. I'm not even sure where it comes from.

10 Q. Oh, okay. All right.

11 A. I know these two tabs, what's on them don't influence  
12 what I'm doing up front here.

13 Q. Okay. Okay.

14 A. So I guess what we'll do once we have our pressure data  
15 is we'll do rain flow counting on it. I believe this -- use the  
16 template. I'll bring up the other one as well.

17 So this one here just shows, I guess, what the numbers  
18 are we're putting in on this rain flow and what they represent.  
19 So the first part is just the string, what we're naming this file.  
20 Then we're defining whether it's a metric or imperial file. The  
21 load type, so when we pull our data we pull it in pressure. This  
22 row here is just if you're using another type of load type, but  
23 we're still using just the standard defined ones. We just put one  
24 there. Our bin size that we're using is, we use a bin size of 5  
25 psi. Our ratio bin size, we set it to unknown. We have bin size

1 zero as well.

2 We do use, sometimes, a severity spectrum indicator.  
3 So, what this will do is it will go through the rain flow  
4 analysis. And what we break it down to is quarter yield cycles.  
5 So we'll tell it to go through -- it'll add up all the cycles that  
6 are there, and then it'll try and break all those cycles down into  
7 what's defined as a quarter yield cycle. So it might take a cycle  
8 that's 500 psi and it'll turn that into the equivalent number of  
9 cycles, the equivalent number of quarter cycles that will cause  
10 the same amount of damage on the same size of flaw.

11 MR. PIERZINA: I think that's important to understand  
12 that. So what does that -- so that takes a severe cycle and  
13 converts it to a comparable number of smaller cycles, or --

14 MR. SUTTON: Right. Or scaling your smaller ones to a  
15 bigger one. Basically what you're trying to accomplish with that  
16 is changing it into a repeatable cycle. So you're saying I'm  
17 having this many quarter yield cycles. So you're doing a repeated  
18 cycle of the same amplitude over and over again.

19 BY MR. NICHOLSON:

20 Q. Instead of one large swing, one cycle --

21 A. Right.

22 Q. -- break it into four equivalent? Okay.

23 A. Right. So it's just another way of doing, I guess, if  
24 you wanted to do a constant amplitude loading. But we're saying  
25 that constant amplitude loading is a quarter yield cycle. This

1 actually doesn't have anything to do in with the fatigue analysis  
2 itself, it's just another way that you can potentially compare a  
3 line to another line and compare, well, how many of the same size  
4 of cycle is it having?

5 Q. Okay.

6 A. So here we're just defining -- here's our wall thickness  
7 for Line 6B. A quarter inch is our nominal wall thickness, our  
8 nominal diameter of 30 inches. We're assuming a crack growth  
9 depth of 20 percent.

10 Q. So go back to your wall thickness. This is a fatigue  
11 analysis that was used on the 2005 USCD run?

12 A. Yes.

13 Q. So you don't use the wall thickness off the tool?

14 A. Off the joint itself. No. Because what we're creating  
15 here is just the spectrum file that we're going to use for the  
16 fatigue analysis of all the features. This portion down here on  
17 the chart is actually only used for the spectrum severity  
18 indicator.

19 Q. Oh.

20 A. So if we didn't want to use that, we don't have to put  
21 that data down here. So we're just defining, I guess, a 20  
22 percent deep crack, two-square root DT length, the same as we do  
23 in our pressure cycle monitoring. That was just our yield  
24 strength of the pipe. We're defining it as a quarter yield cycle,  
25 so 25 percent.

1           And then here we're just saying this is where the files  
2 are that I want to use and these are the two files that I want to  
3 use for this rain flow count that I am doing.

4           MR. PIERZINA: Oh. So, from where are we looking --  
5 where we're looking at the spectrum severity factor data, or the  
6 data that's going in just for that?

7           MR. SUTTON: All that there from row 9 to row 15.

8           MR. PIERZINA: And row 8 is just -- is just --

9           MR. SUTTON: It's just, do you want to do this?

10          MR. PIERZINA: -- saying whether you want to do it or  
11 not?

12          MR. SUTTON: Right.

13          MR. PIERZINA: Okay.

14          BY MR. NICHOLSON:

15          Q. Aaron, if -- back on the pressure bin size, if you  
16 wanted to, say, compare a fatigue calculation for a 5 psi bin like  
17 you're using to a 25 psi bin or a 50, would you just redo this  
18 with a different bin size and then --

19          A. Yeah. You would just copy the same column that you've  
20 got, paste it over and then instead of 5, you just put 25. And  
21 then it would spit out your two spectrums using your different bin  
22 sizes.

23          Q. Okay. So each column's going to give me another  
24 spectrum?

25          A. Yeah. Each column will give you one spectrum.

1 MR. PIERZINA: So, are you going to do that? Or you've  
2 already done that for the 5 psi bin, I'm sure.

3 MR. SUTTON: Yeah.

4 MR. PIERZINA: I would have an interest, if it's not too  
5 difficult, to compare, say, a 5 -- you know, 5, what you've done,  
6 to say a --

7 MR. CHHATRE: 100?

8 MR. PIERZINA: No, 50, for sure, maybe 25.

9 MR. SUTTON: Sure.

10 MR. PIERZINA: I don't know if that --

11 MR. SUTTON: I just got here -- I guess this is just --  
12 this one's just a template showing what the values are. And then  
13 this would have been what we actually did for the input. So I can  
14 just change this.

15 BY MR. NICHOLSON:

16 Q. Well, what are your two spectrums? What's the  
17 difference between your two columns there?

18 A. Between these two that I have here?

19 Q. Yeah, A and B.

20 A. The only difference is the pressure data that I'm using.

21 Q. Oh, okay.

22 A. So with this first one, I'm only using the pressure data  
23 from Marshall discharge for 2008, quarter one.

24 Q. Okay.

25 A. Whereas in the second one I'm using from 2005, quarter

1 four, until the end of 2010, quarter two.

2 MR. CHHATRE: So you just give the second one, I guess.  
3 Right?

4 MR. NICHOLSON: Oh, yeah, what do you want to do with --  
5 which one are you going to use for your bin comparison? Worst  
6 case, or --

7 MR. PIERZINA: Fifty -- I think I'd like to use 50  
8 because that's kind of close to the FlawCheck default, right?

9 MR. NICHOLSON: But what pressure?

10 MR. FOX: But which --

11 MR. NICHOLSON: Which pressure cycle?

12 MR. FOX: -- which date range?

13 MR. PIERZINA: Oh.

14 MR. SUTTON: The pressure data from 2008, quarter one,  
15 is actually more aggressive than --

16 MR. NICHOLSON: Right. It's -- right.

17 MR. PIERZINA: As long it's compared to the same --

18 MR. SUTTON: Same thing.

19 MR. PIERZINA: -- pressure data, that's really what I'm  
20 looking for.

21 MR. SUTTON: Okay.

22 MR. FOX: So, let's do it for the quarter one 2008.

23 MR. SUTTON: And then you said you wanted to do 50 psi  
24 bins?

25 MR. PIERZINA: Yes. Well, if you can do it for both?



1           MR. SUTTON: Yeah. I've actually got the one for 5  
2 already created. Or do you want me to run that one as well?

3           MR. PIERZINA: No, we can do it -- we can demonstrate it  
4 with this one then if you've got the other one already run.

5           MR. SUTTON: Sure. So we'll just go into FlawCheck. We  
6 run it and we select the type of analysis that we want to do. So  
7 here we're just doing rain flow counting, so it's just a little  
8 characterization.

9           MR. NICHOLSON: So the rain flow counting is done within  
10 FlawCheck?

11          MR. SUTTON: Yes.

12          MR. NICHOLSON: Okay. We're going to want to save these  
13 too, because you'll be sending them out to us afterwards. So,  
14 just FYI if you want to put it --

15          MR. JOHNSON: As you save them, maybe give them a name  
16 that --

17          MR. NICHOLSON: Yeah, put them in a directory.

18          MR. JOHNSON: -- so when we give it to them, they'll  
19 have a pretty good idea of what it is.

20          MR. SUTTON: Okay.

21          MR. JOHNSON: Like Brian's Request 1, Brian's Request 2.  
22 I see that's where we'll be going.

23          MR. NICHOLSON: Start a spreadsheet for this.

24          MR. SUTTON: It might take a little bit to run here.

25          MR. JOHNSON: Huh. You got a correction?

1 BY MR. PIERZINA:

2 Q. So, have you -- Aaron, have you ever done any work to  
3 try and fit a failure analysis to -- you know, and pressure to  
4 come up with C and M values that, you know, more closely match,  
5 you know, a failure?

6 A. Right. Personally myself I've never done that.

7 Q. No? Okay.

8 A. I guess while we're waiting for that, we can go over --

9 Q. Okay. One other question related to that. Would  
10 FlawCheck allow you to do that? Could you calculate a C or M  
11 value based on, you know, holding the other values?

12 A. Right. I'm not aware if you can do that in FlawCheck.  
13 I know in FlawCheck, though, you can vary what your C and M values  
14 are. So you can, I guess, guess and check kind of thing just --

15 Q. Sure. Iteration to --

16 A. To get it to fit.

17 Q. Thanks.

18 MR. NICHOLSON: So we're waiting now for the rain  
19 flow --

20 MR. SUTTON: Right.

21 MR. NICHOLSON: -- to finish? Okay.

22 MR. SUTTON: I'm just going to pull up, I guess, our  
23 fatigue templates that we use. And all of these too I'm showing  
24 you guys the templates. You can also do all this manually in  
25 FlawCheck. I guess when you're running thousands or hundreds of

1 thousands of features, though, it makes a lot more sense to be  
2 using these batch files. If we're just having to do one or two  
3 calculations, we'll go in and do it the manual way, but otherwise  
4 it's just too long for time.

5           So I guess this here is our batch template, then, for  
6 actual fatigue analysis. And so below I've just got the example  
7 data that we'll be running through. This is the joint where we  
8 had the failure on Line 6B. So this is a couple of different ways  
9 that we have run the feature that itself failed, as well as the  
10 other features on the joint. So just in the first column here,  
11 we've got just what we're naming it. So here we always usually  
12 specify the line, the station and then whatever the unique feature  
13 identifier is that we get from our ILI vendor.

14           Then we just state which standard we're using. So we  
15 always use the VS7910 level 2 analysis for ours. Then we're just  
16 defining our units that we're using for defining our features as  
17 well as in our pressure spectrums, whether we're using a curve  
18 shell or flat plates. We'll use a curve shell.

19           This is our flaw type. So we use a surface flaw in this  
20 case. The analysis type; so we're using internal pressure for our  
21 pressure data. The surface location, just inner/outer. All of  
22 these ones happen to be outer surface features. The flaw  
23 orientation, they're axial flaws. Flaw location, we have them  
24 entered as base metal flaws. Orientation, we have parallel to our  
25 weld. But again, this value here, some of the columns are

1 highlighted here with orange. And they're only for the failure  
2 aspect of this.

3           So when we're doing our fatigue analysis, we first run  
4 through CorLAS to determine what our critical crack depths are.  
5 So that's where we're using our fracture component to this. We're  
6 just using this for strictly the fatigue analysis of it. So, in  
7 this spreadsheet we can actually specify what our critical depth  
8 is, and so to stop there instead of using the VS7910 to do failure  
9 calculations where it's doing fatigue growth and failure  
10 calculations at the same time. So we'll just specify, well, we  
11 want it to stop at this point based on our CorLAS calculations.

12           Then just the depth of our feature that we're inputting.  
13 The length of our feature. When we're doing our fatigue analysis,  
14 we cap the length of the feature to 2 square root DT. The reason  
15 why we're using this is it's outlined in T05 that cracks that  
16 grow by fatigue are somewhere in the range of square root DT to 2  
17 square root DT in length when they're growing. So we just stop it  
18 at that length there.

19           When we do our CorLAS calculations, though, we do use  
20 the full length that the ILI vendor provides.

21           MR. NICHOLSON: I'm sorry. You cap it at 2 square root  
22 DT?

23           MR. SUTTON: Yes.

24           MR. NICHOLSON: Okay.

25           MR. FOX: And the depth is -- that's the depth that

1 comes from either the profile or the bin?

2 MR. SUTTON: Right. So, yeah, it'll give you your max  
3 profile depth, your max bin depth, your max bin depth plus bias,  
4 whether you're using just the tool bias or whether you want to  
5 throw some more bias on there because you've done some digs and  
6 can see the tools trending non-conservatively.

7 MR. FOX: So for the rupture flaw, there's three depths  
8 there?

9 MR. SUTTON: Right.

10 MR. FOX: Or and then we've got -- you know, this is the  
11 first three and there's two that are at 097 and then one that's  
12 071?

13 MR. SUTTON: Right. So I guess the difference between  
14 these three is Steven Bott showed you guys, I believe, some  
15 critical crack growth curves here the other day, yesterday? Two  
16 of them show the feature when we assessed it at the 97 thou deep  
17 and one of them was for the 71 thou deep. So what we did for  
18 difference here is, these two for the 97 thou are run using  
19 different pressure spectrums. So the one uses a spectrum from  
20 2008 quarter one, whereas the other one uses the entire spectrum  
21 from the tool run, so just to give the different curves there.  
22 And then this one here, I believe, uses also the spectrum from  
23 2008 quarter one, just with a different starting depth.

24 So then we've just got our nominal --

25 BY MR. NICHOLSON:

1 Q. I'm sorry. What are the starting depth? The 097 is  
2 with the bias, I think, and --

3 A. Yes.

4 Q. Okay.

5 A. And I believe this one was just with the tool reported  
6 depth. So, I'm not sure whether that was just max bin depth or  
7 max profile depth. I'm not sure offhand.

8 Q. The methodology and the values you guys are using, the  
9 limitations, like a cap, that's unchanged, right? And that's how  
10 you would have done it in 2005?

11 A. Yeah.

12 Q. Okay. Except the bias was not part of this --

13 A. Right.

14 Q. Okay.

15 A. So then we've just got our nominal diameter. Our plate  
16 width or cylinder length, we just put it to the default of 40.  
17 When this comes into play is if you're using a long flaw, and what  
18 it'll assume there is that your flaw is the length of whatever  
19 you're defining your cylinder as. But in this case, all of our  
20 features are shorter than that.

21 MR. NICHOLSON: Well -- I'm sorry --

22 MR. CHHATRE: Well, you just --

23 MR. NICHOLSON: -- if we have a flaw that's 51 inches --

24 MR. SUTTON: Right. But when we're doing --

25 MR. NICHOLSON: Because you cap it?

1 MR. SUTTON: Yeah, because we cap the length.

2 MR. NICHOLSON: Okay.

3 MR. FOX: No, the plate thickness is the 28 PI?

4 MR. SUTTON: Right. And I believe this was the USCD  
5 wall measurement that they had used in their initial analysis.

6 MR. FOX: Okay.

7 MR. CHHATRE: But I thought earlier you said you always  
8 use .25 nominal?

9 MR. FOX: That's for the severity.

10 MR. SUTTON: That was just when we're doing the severity  
11 indicator for this line. We'll use what the nominal wall  
12 thickness is for that segment.

13 MR. CHHATRE: Okay.

14 MR. JOHNSON: Brian, request him to -- no, have you done  
15 250, you know, the nominal wall thickness fatigue life  
16 calculation?

17 MR. SUTTON: I don't have it with me here, but we can  
18 definitely run it.

19 MR. NICHOLSON: Yeah. Yeah, we want it. And can we --  
20 I mean, you can just add rows at this point, right?

21 MR. SUTTON: Yep.

22 MR. NICHOLSON: Yeah. So why don't we -- why don't you  
23 get all your iterations out there now, Brian, and we'll load the  
24 sheet up.

25 MR. JOHNSON: Yeah, we -- yeah.

1 MR. NICHOLSON: So we'd like to see 250 --

2 MR. CHHATRE: And .071, right?

3 MR. PIERZINA: Well, actually for each of those rows  
4 that you did, if you could just copy them --

5 MR. SUTTON: And just do the same thing with --

6 MR. PIERZINA: -- and make new rows with 250?

7 MR. SUTTON: Sure.

8 MR. CHHATRE: But, now, question, .097 was with bias.  
9 They didn't use bias in --

10 MR. PIERZINA: Right. We'll have that --

11 MR. CHHATRE: You have (indiscernible) --

12 (Simultaneous speaking.)

13 MR. PIERZINA: -- we'll have that example, right?

14 MR. CHHATRE: Okay.

15 MR. NICHOLSON: You're going to get both here. You're  
16 going to get 071 and you're going to get bias.

17 MR. JOHNSON: Right. You'll get no bias and bias.

18 MR. CHHATRE: Bias, okay.

19 MR. JOHNSON: And 285 and 250.

20 MR. NICHOLSON: And 250.

21 MR. SUTTON: So then here you just define whether it's  
22 an embedded flaw or not. And ours aren't; they're surface  
23 breaking, or we're assuming surface flaws. Just our materials  
24 name, X52. Our fatigue growth constants that we have, so we use  
25  $8.61 \times 10^{-19}$ . And as well --



1 MR. CHHATRE: Well, where does that number come from?

2 I'm sorry.

3 MR. SUTTON: This number? It's out of API 579.

4 MR. CHHATRE: Okay.

5 MR. NICHOLSON: And it was in 2005 as well?

6 MR. SUTTON: Yes.

7 MR. NICHOLSON: That didn't change? Okay.

8 MR. SUTTON: No. And then the M that we use is 3.

9 MR. CHHATRE: What is that 3 number? Oh, the constant?

10 MR. SUTTON: Yeah. Yeah, both of these are your  
11 material constants.

12 MR. CHHATRE: So they are material -- based on material  
13 properties?

14 MR. SUTTON: Yeah.

15 MR. CHHATRE: Okay. And they are both from API?

16 MR. SUTTON: Yes.

17 MR. FOX: That's the C and -- C and M values.

18 MR. CHHATRE: Oh, okay. C M (indiscernible) -- okay.

19 All right.

20 MR. SUTTON: Here you can define other ones, but since  
21 we don't use a threshold value for our fatigue analysis, we ignore  
22 these and just stick with the one value that we have. And it's  
23 just our yield, then; tensile strength, ultimate strength of our  
24 materials that we're using. All these columns here from Y to AF  
25 -- actually, even farther than that -- are all corresponding to

1 the failure. So if we're doing fracture mechanics, if we're using  
2 the VS7910 model for failure -- some of them we do have populated.  
3 It doesn't use these, though, because we're only running the  
4 fatigue aspect of it since we're using our CorLAS to do our  
5 failure calculations.

6 This is just referencing the pressure spectrum that  
7 we're using. So in this one, we're referencing the 2005 quarter  
8 four to 2010 quarter two. Our membrane transfer function, which  
9 is just our radius divided by our wall thickness. And there is a  
10 bunch more columns related to your failure pressure, or your  
11 failure calculations, not your fatigue.

12 The only other ones that we use for our fatigue analysis  
13 is the critical depth that we calculate through CorLAS, as well as  
14 the software gives you the ability to cap a life on your features.  
15 So, if you didn't want your analysis to run for 3 hours on one  
16 feature, potentially, you could say, oh, I can run my life for 30  
17 years and that's sufficient for my purposes. I'll stop there  
18 instead of having it run 200 years.

19 MR. FOX: So we may have -- some of those depths are  
20 going to be different probably for --

21 MR. SUTTON: If we change the wall thickness.

22 MR. FOX: Where we change the wall thickness.

23 MR. SUTTON: Yeah.

24 MR. NICHOLSON: That's right. Except he calc'd that.  
25 We've got that number --

1 MR. FOX: Yeah, we've got the calculations, so --

2 MR. NICHOLSON: -- on the spreadsheet.

3 MR. FOX: I mean, we did the calculations.

4 MR. NICHOLSON: I can find that spreadsheet.

5 MR. SUTTON: I might be able to pull it up too. I might  
6 have it on my computer, so --

7 And then the rest of this is actually just more dealing  
8 with the failure aspect. We're doing fatigue on more complex  
9 structures. So, this software wasn't just specifically designed  
10 for pipelines. It's also for offshore steel structures or ships  
11 or if you've got some sort of complex geometry from your weld you  
12 can factor in all of that with different stress intensity factors  
13 here. But for our purposes we don't use those.

14 So, again, this is just that same thing copied over,  
15 just remove the top headers and this is what your inputs would  
16 actually look like. We'll have to reference, I guess, these  
17 bottom three -- potentially calculate different critical pressure  
18 for them or critical depth. And I can show you the result of  
19 that.

20 So this here is your different fatigue lives for the  
21 different ways that we've set up the features. So there's your  
22 initial depths, initial lengths, and then the final depths which  
23 were the critical depths that we terminated that.

24 MR. FOX: We don't have -- those are the initial ones  
25 that we put in and --

1 MR. JOHNSON: Yeah, not the 250s?

2 MR. NICHOLSON: No, this is just from the past. He's  
3 just --

4 MR. FOX: From previous, a previous --

5 MR. JOHNSON: Oh, okay.

6 MR. SUTTON: This is from previous. I didn't just run  
7 this, no.

8 MR. FOX: From the previous -- oh, okay.

9 MR. JOHNSON: Oh, he said yours. I thought he meant  
10 Brian.

11 MR. SUTTON: No.

12 MR. PIERZINA: Or you could ask --

13 MR. NICHOLSON: No, you can just --

14 MR. PIERZINA: So the initial length for the top row,  
15 that's the 9.3-inch long defect, right, for that --

16 MR. SUTTON: The top three rows are, yeah, the feature  
17 that failed, I believe.

18 MR. PIERZINA: Oh, the feature that --

19 MR. NICHOLSON: Yes. Yeah, that's the feature --

20 MR. PIERZINA: So --

21 MR. SUTTON: Yes.

22 MR. PIERZINA: So we have an initial length of 5.8 for  
23 -- what does that refer to?

24 MR. SUTTON: That's just that 2 square root DT where  
25 we'll cap our length for fatigue.

1 MR. PIERZINA: You have -- it's saturation. I'm just  
2 trying to think. And this is the failure -- failed feature,  
3 right?

4 MR. SUTTON: Right.

5 MR. PIERZINA: Which was 51 inches long?

6 MR. SUTTON: Right.

7 MR. NICHOLSON: Yeah.

8 MR. PIERZINA: But we're taking, we're taking --

9 MR. CHHATRE: Only five.

10 MR. PIERZINA: -- only five, like just almost six inches  
11 of that?

12 MR. SUTTON: Right. Even if you see here -- this one's  
13 showing your final length -- the length of your feature hasn't  
14 changed much. Once it hits that, kind of at  $2\sqrt{DT}$ ,  
15 that's almost your cap that your feature's going to grow in  
16 length.

17 MR. NICHOLSON: Two square root  $DT$ , I guess diameter  
18 times wall thickness square root times 2?

19 MR. SUTTON: Twice your diameter --

20 MR. NICHOLSON: Oh, twice your diameter --

21 MR. SUTTON: Yeah.

22 MR. NICHOLSON: -- times wall thickness, square root of  
23 all of that?

24 MR. SUTTON: Two times your diameter, times the square  
25 root of  $DT$ . Yes.

1 MR. NICHOLSON: Two times your diameter times the square  
2 root?

3 MR. PIERZINA: Times the square root of?

4 MR. SUTTON: DT.

5 MR. PIERZINA: DT. Which is diameter times wall  
6 thickness?

7 MR. SUTTON: Yeah.

8 MR. FOX: No, it should just be 2 square root of DT.

9 MR. NICHOLSON: Yeah.

10 MR. SUTTON: Or, sorry. Sorry. Yeah, sorry, it's just  
11 2. Sorry.

12 MR. FOX: Yeah, otherwise you got --

13 MR. PIERZINA: The square root of 2. Okay. All right.  
14 Well, that --

15 MR. NICHOLSON: I was getting 5.48 -- I was getting  
16 something different.

17 MR. FOX: That's why I asked.

18 MR. PIERZINA: So that's obviously some type fracture  
19 mechanics principle or property that I have no clue about. I  
20 don't know.

21 MR. CHHATRE: I just want to know like where it comes  
22 from, (indiscernible) API?

23 MR. NICHOLSON: I get 5.48. He's got 5- --

24 MR. SUTTON: It's in T05. That's where we reference  
25 from.

1 MR. CHHATRE: Okay.

2 MR. FOX: Is it -- are you using the 285?

3 MR. NICHOLSON: Oh, that's, that's the problem. I'm  
4 using quarter inch. Got you. Yeah. Okay.

5 MR. CHHATRE: So with your 50 psi bin, you are getting  
6 much longer life than the --

7 MR. JOHNSON: No, that would be --

8 MR. SUTTON: We haven't ran it yet with this 50 psi --

9 MR. CHHATRE: Oh, I see.

10 MR. SUTTON: So we can go and set --

11 MR. JOHNSON: Ours. It's our 50 psi data, Ravi.

12 MR. CHHATRE: Yes.

13 MR. SUTTON: So we'll go and set that up, I guess, then.  
14 So now when you want to run it for the 50 psi bins, you want to do  
15 it for all three again, for the top three of the failed feature?  
16 So like with the --

17 MR. PIERZINA: Yes. Yes.

18 MR. SUTTON: Or I guess you only need two then. It's  
19 the different starting depths because the difference between one  
20 and two was the different pressure spectrums.

21 MR. PIERZINA: Right, different pressure.

22 MR. CHHATRE: What is the frequency of cycles you are  
23 using?

24 MR. SUTTON: The frequency?

25 MR. CHHATRE: Yeah.

1           MR. SUTTON: It'll be just actual pressure data. So  
2 it'll be random depending on how the line operated.

3           MR. JOHNSON: Right. Everything that happened in those  
4 3 months, just --

5           MR. NICHOLSON: Run through rain flow counting.

6           MR. JOHNSON: Right.

7           MR. NICHOLSON: And then into the FlawCheck.

8           MR. JOHNSON: Yup.

9           MR. NICHOLSON: So it goes through that rain flow  
10 counting that you heard.

11          MR. CHHATRE: (Indiscernible), right.

12          MR. NICHOLSON: Yeah.

13          MR. PIERZINA: So it's whether, you know, if they had  
14 three shutdowns every day then, you know, it would show all the  
15 cycles. If they had, you know, went for 2 days without a shutdown  
16 and steady state, you know, may very well cycle.

17          MR. SUTTON: By any chance, do you guys have what the  
18 critical depths would be if we did use quarter-inch wall?

19          UNIDENTIFIED SPEAKER: Did you write those down?

20          MR. PIERZINA: I don't know that I wrote down the  
21 critical depths. I don't know, did we get them?

22          MR. NICHOLSON: Yeah. Had them side by side on that  
23 Excel spreadsheet, remember?

24          MR. PIERZINA: I just remember the different failure  
25 pressures, but I didn't remember --



1 MR. FOX: Yeah. I wrote down the pressures, but not --

2 MR. NICHOLSON: I actually did it twice: once for  
3 everyone, and then once for Ravi.

4 MR. PIERZINA: If we just has a little faster delivery  
5 on those IRs, we'd --

6 (Laughter)

7 MR. JOHNSON: You got to put them in first.

8 Come on, Ravi, come through for us here.

9 MR. NICHOLSON: There's no way to -- can you just run  
10 it?

11 MR. SUTTON: Yeah. I can just run it.

12 MR. NICHOLSON: I mean, it was really pretty quick. We  
13 ran it in Excel, in Excel front-end for CorLAS.

14 MR. SUTTON: Right. I don't know if I have access to  
15 that right now, though.

16 MR. NICHOLSON: Oh, okay.

17 MR. PIERZINA: Well, you can -- you could still run the  
18 FlawCheck and --

19 MR. NICHOLSON: The .285 case.

20 MR. SUTTON: Using the quarter-inch wall but just the  
21 critical depth is what it was for the thicker wall?

22 MR. PIERZINA: Yeah.

23 MR. JOHNSON: And skew it, as much you want.

24 MR. FOX: Yeah.

25 MR. PIERZINA: I don't want that.

1 MR. SUTTON: No?

2 MR. FOX: No.

3 MR. JOHNSON: No, don't run it if it isn't going to --

4 MR. NICHOLSON: He could run your analysis where you do  
5 the 50 bin compared to the 5 bin.

6 MR. JOHNSON: Do that with the 285. Just run the 50 --

7 MR. SUTTON: Yeah.

8 MR. JOHNSON: -- but don't try to run it without the  
9 right numbers. See if Steven's still around.

10 MR. NICHOLSON: Sorry, Aaron. Does that make sense?

11 MR. SUTTON: Yeah, yeah. No, for sure.

12 MR. FOX: And there might -- I mean, considering the  
13 start, you know, we need to know more about the tool and what it's  
14 detecting to know what our start depth is with the .25 wall. Is  
15 it percent of the --

16 MR. NICHOLSON: Yeah.

17 MR. FOX: -- the total wall thickness, or is it the  
18 remaining ligament, or -- as I understood it, you know, you've got  
19 the remaining ligament that's just going to push the number way  
20 down if you've got a quarter long --

21 MR. NICHOLSON: What do you mean the remaining? You  
22 have a decent amount of (indiscernible) --

23 MR. SUTTON: So when you're running FlawCheck it's much  
24 the same, just instead of picking the load characterization you're  
25 just saying fatigue analysis. Counting bin psi --

1           MR. JOHNSON: That would have come up a lot sooner if I  
2 was doing it, I can tell you that.

3           MR. SUTTON: I might be telling it to look in the wrong  
4 spot.

5           (Pause)

6           MR. PIERZINA: Probably -- found the problem that fast?

7           MR. SUTTON: Hopefully.

8           MR. PIERZINA: It's running, huh?

9           MR. SUTTON: Slowly.

10          MR. JOHNSON: You don't have to wait until 7:30. You  
11 can do home --

12          MR. PIERZINA: Oh, I still have some stuff to do. Thank  
13 you.

14          MR. SUTTON: So when it's running here it's actually  
15 spitting out crack growth curve for every feature that we're  
16 running.

17          MR. NICHOLSON: I didn't see it, but you have to run the  
18 rain flow separately?

19          MR. SUTTON: Yes.

20          MR. NICHOLSON: And it saves the rain flow file  
21 somewhere and then it grabs that --

22          MR. SUTTON: Yeah.

23          MR. NICHOLSON: -- for the next analysis?

24          MR. SUTTON: Yeah.

25          MR. NICHOLSON: Okay.

1 MR. FOX: So the rain flow --

2 MR. PIERZINA: That's what you did right away for us,  
3 right?

4 MR. SUTTON: Yeah. What --

5 MR. PIERZINA: That first 50-pound bin?

6 MR. SUTTON: Yeah, that 50 pound one, I just let it run  
7 on the background, but yeah.

8 MR. NICHOLSON: Well, what's it save it as? Just a CSV?

9 MR. SUTTON: A spectrum. It's essentially a CSV file,  
10 but they call it a spectrum file. It's in a CSV format, though.

11 MR. NICHOLSON: But it's not CSV? Okay.

12 MR. SUTTON: I'll just open one and show you.

13 MR. NICHOLSON: I'm just curious about that.

14 MR. FOX: So the rain flow had finished running in the  
15 time that we've been --

16 MR. SUTTON: Yeah. Yeah, the rain flow doesn't usually  
17 take too long depending on how many files you want though.

18 MR. JOHNSON: I suppose if you were doing 4 years worth  
19 of -- it would take four times, or (indiscernible) --

20 MR. NICHOLSON: Can you plot the rain flow against the  
21 raw data, and does it look different?

22 MR. SUTTON: Yes. Once you --

23 MR. NICHOLSON: Okay. I'm just curious.

24 MR. SUTTON: -- are using -- I'm just wondering if it's  
25 safe for me to use these.

1 MR. NICHOLSON: Oh. We can just (indiscernible) --

2 MR. JOHNSON: Steven's gone home already.

3 MR. SUTTON: I think I've got just a redundant one I can  
4 pull up.

5 MR. JOHNSON: Correction. He's on the bus heading home,  
6 so he's not home. He's in transit.

7 MR. NICHOLSON: Who is? Steven Bott?

8 MR. JOHNSON: Steven Bott. Because I thought if he was  
9 here --

10 MR. NICHOLSON: Just say, it was the path to that file.

11 MR. JOHNSON: I copied him on it. Sean just said he's  
12 gone. Steven may -- you know, if he responds in transit, you can  
13 ask him that, but --

14 MR. SUTTON: So I guess this is just one of your  
15 spectrum files opened up. So what it's saying here is the version  
16 of the software that we used.

17 MR. NICHOLSON: Okay.

18 MR. SUTTON: -- the number of files that we appended.  
19 It was 55 in this case. And then all the files that we used.

20 MR. NICHOLSON: Oh, I see. Okay. Then you get a  
21 pressure and a frequency.

22 MR. SUTTON: Right.

23 MR. NICHOLSON: That's all you need, Matt?

24 MR. SUTTON: So it just spits out, I guess, the units,  
25 the duration of the data that you're using, the max flow that we

1 see, the max delta P, what your average load was, what properties  
2 you were using if you're doing your spectrum severity indicator.  
3 And then it just says, okay, well, this is a 5 psi bin; I had this  
4 many features fit into that -- or this many cycles fit into that  
5 bin. And then it just goes down.

6 MR. NICHOLSON: What's all this at the bottom?

7 MR. SUTTON: This is something that is incorporated with  
8 the new version of the software, but it's not leveraged in the  
9 software yet. This gets into, I guess, loading rates as well. So  
10 once you do your rain flow analysis, you lose all your loading  
11 rates because it's just breaking your cycles down into the bins,  
12 but you don't know how many of those cycles were loaded how fast.  
13 So it doesn't factor that in into the process yet.

14 So this is -- they kind of added this in for future use  
15 in the software. Say, if you're maybe wanting to do something for  
16 SCC growth, or whatever, well now you've got your pressure  
17 spectrum broken down into bins, plus your loading rates broken  
18 down into bins. But the fatigue only is using the delta P's and  
19 the number of them.

20 MR. PIERIZINA: I think Sean -- did Sean talk about that  
21 yesterday?

22 MR. NICHOLSON: He did talk about it. I was just about  
23 to ask aren't you going to use the rates?

24 MR. SUTTON: I believe Sean has created an Excel file  
25 that does calculate the loading rates as well and they are used --

1 they have used it to model SCC growth, I believe.

2 It looks like this guy's done then.

3 So that's just our features. So this top portion here,  
4 nothing's different from what I had shown before. But now if you  
5 look, if you had used 50 psi bins, what kind of impact it has on  
6 your fatigue lives.

7 MR. FOX: So 13, 13 years went to 4.8 years and the 33  
8 years went to 15 years?

9 MR. NICHOLSON: Do you have to take that and divide it  
10 by 2? Isn't that how you get your assessment interval? You  
11 divide that by 2?

12 MR. SUTTON: Yeah, it would be our shortest remaining  
13 flaw -- or shortest remaining fatigue life divided by 2 is our  
14 reassessment interval.

15 MR. PIERZINA: And then the top one -- so, the very top  
16 row with the 10-year fatigue life, that was using that most  
17 aggressive quarter, right?

18 MR. SUTTON: Yes.

19 MR. PIERZINA: And but the ones that we've got are --

20 MR. SUTTON: Or -- sorry. Yeah, these are all -- these  
21 ones are -- I guess it shouldn't be this one.

22 MR. PIERZINA: So it should be the 10-year --

23 MR. SUTTON: Yes.

24 MR. PIERZINA: Okay. That makes a little more sense to  
25 me.

1           MR. SUTTON: Yeah. Because both of these two were using  
2 the 2008 quarter one.

3           MR. PIERZINA: Right. Just one quarter aggressive.

4           MR. FOX: So then that cuts it about in half.

5           MR. PIERZINA: So --

6           MR. CHHATRE: But 10 year (indiscernible) --

7           MR. FOX: I'm sorry?

8           MR. CHHATRE: Changes seems quite a bit. Thirteen years  
9 to 4 years and 33 years, 15.

10          MR. FOX: Well, actually, 10-1/2 years to 4.8 years or  
11 33 --

12          MR. CHHATRE: Half, roughly half.

13          MR. FOX: Yeah, roughly half.

14                 And I think I asked you this and I can't remember  
15 exactly what you said. Have you run that with 250 wall? You  
16 know, like post-accident, just to see, you know, what the fatigue  
17 length would have been, or --

18          MR. SUTTON: Off the top of my head, I'm not sure if we  
19 have. I know, according to, I guess, our current processes we  
20 use, I guess, either lower between USCD or nominal wall thickness  
21 or WM. So I'm assuming somewhere we have used that quarter-inch  
22 wall thickness in a calculation.

23          MR. FOX: Okay.

24          MR. PIERZINA: I can't think of the question right now.

25          MR. NICHOLSON: Oh, well.



1 MR. JOHNSON: Quick, shut it off.

2 (Laughter)

3 MR. NICHOLSON: Well, I mean, the thing we want to see,  
4 we can't see. It's the .25 run, so --

5 MR. JOHNSON: But if you put that in a request, we can  
6 send you that printout, can we not?

7 MR. NICHOLSON: Okay.

8 MR. SUTTON: Is this --

9 MR. FOX: Or we could maybe do it tomorrow --

10 MR. SUTTON: Is this other computer by chance connected  
11 to the network, do you know?

12 MR. JOHNSON: It was.

13 MR. SUTTON: Yeah?

14 MR. NICHOLSON: Yeah, I guess we could try and do it --

15 MR. SUTTON: Because if we can do that, I can pull it up  
16 and we can run it.

17 MR. JOHNSON: Well, I mean -- I mean, it obviously won't  
18 be right now, but he could run exactly that scenario for you.

19 MR. NICHOLSON: Maybe tomorrow we could -- you're going  
20 to be around, right?

21 MR. SUTTON: Yeah.

22 MR. JOHNSON: You know, if you put that together, I mean  
23 -- and then we could send it --

24 MR. CHHATRE: Or you (indiscernible) we can just maybe  
25 get a printout.

1           MR. JOHNSON: Yeah, we can have him print -- he can  
2 print it out and walk it over.

3           MR. NICHOLSON: We'd like the -- the interaction is good  
4 to have.

5           MR. JOHNSON: Oh, well, I mean --

6           MR. NICHOLSON: Nice to see it.

7           MR. JOHNSON: We can take a lunch break and come over  
8 and he'll run it for you.

9           MR. NICHOLSON: That's what I'm thinking.

10          MR. JOHNSON: Yeah. I'm sure he -- yeah, that can be  
11 done. Then he can have it done in advance for you, or unless you  
12 want to see him punch all the --

13          MR. NICHOLSON: Well, it looks like there's other things  
14 you can choose off FlawCheck too. There's fatigue analysis and  
15 like there's a whole bunch of other little jobs you could run off  
16 that drop down menu.

17          MR. SUTTON: Right.

18          MR. NICHOLSON: So maybe we'll start playing with those  
19 features.

20          MR. CHHATRE: Would this change if you were not to look  
21 at 3 months average, or high and low kind of deal? Will this  
22 whole process change if you just actually did the actual readings  
23 or average daily, other than quarterly?

24          MR. SUTTON: It would change. I know we just had some  
25 training here with BMT Fleet. They're the ones that actually

1 created this software. And they gave an example of where they  
2 were using -- something more like this where they were using  
3 precise data, where they were using hourly average, where they  
4 were using daily average, and they showed what the spectrum files  
5 look like. And there's noticeable difference when you're visually  
6 looking at them and then what the fatigue lives were in. There  
7 was huge difference in them.

8 MR. PIERZINA: Well, I think we saw in the output there  
9 where the fatigue life of that one feature grew from 10.5 years to  
10 13.3 years. And the only difference was the one quarter of  
11 aggressive data versus 4 years of actual data, so --

12 MR. SUTTON: Right.

13 MR. NICHOLSON: Yeah.

14 MR. PIERZINA: So that's a pretty significant --

15 MR. CHHATRE: So why are you guys using quarterly data  
16 and --

17 MR. SUTTON: I guess it relates back to like our  
18 pressure cycle monitoring. So we'll use, I guess, the most  
19 aggressive quarter of data since the inspection and kind of  
20 assume, well, we've operated the line at that point, maybe we can  
21 get back to that point again. So we'll assume constant operation  
22 at that level until our next inspection. So what the PCM will  
23 allow us to do is, if we all of a sudden dip below that that  
24 aggressiveness, we have to re-evaluate our fatigue because maybe  
25 it's not valid any more. So we'll go back and redo it now with

1 that aggressive cycling quarter.

2 MR. NICHOLSON: What's the PCM?

3 MR. SUTTON: Our pressure cycle monitoring.

4 MR. NICHOLSON: Well, I don't know what that is. How  
5 does that work? Is that -- is it an application, or --

6 MR. JOHNSON: That was -- that's a PI. He did that  
7 yesterday.

8 MR. SUTTON: Yeah, Sean might have showed this. It's  
9 our little plots that show our discharge stations and then our  
10 severity indications.

11 MR. NICHOLSON: Oh, he did show that.

12 UNIDENTIFIED SPEAKER: Somebody did. That might have  
13 been Steve this morning or it could have been Ryan 2 days ago; I  
14 don't know.

15 MR. NICHOLSON: That's right.

16 MR. JOHNSON: We saw it?

17 UNIDENTIFIED SPEAKER: Yeah.

18 MR. NICHOLSON: We saw it.

19 UNIDENTIFIED SPEAKER: Yup.

20 MR. NICHOLSON: Thank you.

21 UNIDENTIFIED SPEAKER: I was going to say, no, it was  
22 Sean, and then he went Steven. I went, oh, shit, it could have  
23 been Steven. I think it was Sean, though, to tell you the truth.

24 MR. SUTTON: So that's, I guess, where the quarter of  
25 data is coming from, just because we're pulling it on a quarterly

1 basis and doing analysis on that.

2 MR. CHHATRE: But your quarterly data already has a  
3 built-in averaging factor in it, right?

4 MR. SUTTON: Yes, because we're assuming that we're  
5 going to repeat that quarter over and over and over again, even  
6 though realistically our operation could be quite a bit later than  
7 the quarter that we're using.

8 MR. NICHOLSON: So what other --

9 MR. JOHNSON: Ravi, would you not want him to use that  
10 aggressive quarter?

11 MR. CHHATRE: No, I want him to use it.

12 MR. JOHNSON: Okay. I just -- I want to make sure I  
13 understood you.

14 MR. CHHATRE: No, no, I understand.

15 MR. PIERZINA: All right. So, for planning your  
16 next inspection that's his -- you know, that's conservative. If  
17 you're analyzing a failure you'd -- they have the ability to use  
18 the actual, you know, to determine, yeah, okay, that this behaved  
19 the way we think it would or --

20 MR. SUTTON: Right.

21 BY MR. CHHATRE:

22 Q. The only thought I have on that it's all originally the  
23 quarter is usually January to March. If you have a 12-month  
24 period, there might be 3 months, consecutive months, it may not be  
25 like -- overlapping two quarters.

1 A. Right.

2 Q. That can be the worst case.

3 A. Right.

4 Q. That's what I was thinking when you asked me that  
5 question, so --

6 A. It might not be, yeah, January, February or March; it  
7 might be March, April, May might be your three worst months.

8 Q. It could be -- yeah, I mean --

9 A. Right.

10 Q. So I didn't mean that, you know -- okay. So the errata  
11 (ph.) is in the actual data other than doing -- going to through a  
12 situation, trying to take the average and --

13 A. Yes. There's -- I guess what we're using the PCM for is  
14 more of a quick screen to kind of be able to say our fatigue that  
15 we've done isn't valid, we need to look at it again, reassess  
16 whether what we're doing is correct or whether we should maybe  
17 start going to using the full pressure spectrum.

18 Q. Well, the reason I asked you this because the rupture,  
19 rupture segment -- to explain that the (indiscernible) did not see  
20 it or maybe the crack growth was much rapid --

21 A. Right.

22 Q. -- that anybody expected.

23 A. I think it comes down a situation too depending on when  
24 your inspection was. So if your inspection's getting towards your  
25 5 years or something, well, maybe then you want to start pulling

1 all the data to get a better idea of what your fatigue is actually  
2 doing. Whereas, if you're pulling the worst quarter, you're  
3 probably being over-conservative to how the lines actually  
4 operated.

5 Q. And is there environmental factor figure in here?  
6 Because the other thing I'm thinking of is if there's corrosion  
7 fatigue happening, I mean, you are -- you already have more of  
8 this stress corrosion cracking.

9 A. Right.

10 Q. So, you know corrosion is happening at the crack here.  
11 So why we are using fatigue and not corrosion fatigue? And if you  
12 are using environmental monitor in there, how would it been  
13 (indiscernible)?

14 A. Right.

15 Q. I don't understand that.

16 A. So FlawCheck itself doesn't use environmental into the  
17 fatigue analysis. What we do, do for our features though is we  
18 grow all of our features using fatigue and then we grow all of our  
19 features using SCC growth rates that we calculate. And so what  
20 we'll do is we'll compare the fatigue life to the SCC growth rate  
21 and what the life we would get out of that and compare back to  
22 which one's faster. Is it SCC growth that's driving our re-  
23 inspection interval or is it our fatigue?

24 MR. NICHOLSON: That's now, but back in 2005?

25 MR. SUTTON: In 2005, I don't think we were, no. But

1 that's before my time here, so --

2 MR. PIERZINA: I think what Sean said was that they --  
3 by their history they always thought that fatigue was the worst --

4 MR. NICHOLSON: The dominant.

5 MR. PIERZINA: Right, the dominant.

6 BY MR. CHHATRE:

7 Q. And my -- I guess I still have some problem that we are  
8 not using corrosion fatigue. I mean, because a crack, we can  
9 really find the stresses of the crack, it may be different other  
10 than fatigue. So realistic, your rates may be much, must worse  
11 than what it really -- in stress corrosion cracking, you are  
12 considering environmental aspect of it by definition --

13 A. Right.

14 Q. -- in stress corrosion. Under fatigue you guys know  
15 very well that we have disbonded coating and you have corrosion  
16 happening, otherwise you wouldn't be getting stress corrosion  
17 cracking. So why the environmental aspect is considered in model?

18 A. I guess what you're -- what you're talking more of then,  
19 I guess, is the SCC growth, not the fatigue?

20 Q. No, no, I'm talking about -- fatigue growth, but it's  
21 corrosion fatigue growth. Because in one case the crack that are  
22 (indiscernible) --

23 A. Right.

24 Q. -- the morphology is completely different.

25 A. Right.



1 Q. The (indiscernible) is much sharper than regular run  
2 crack corrosion fatigue. And so the stress concentration, the  
3 fluctuation, everything is going to be completely different. I  
4 don't think we have a simple example that is known of limit that  
5 growth -- there is an endurance limit that --

6 A. Right.

7 Q. -- (indiscernible). You can (indiscernible) all you  
8 like, there will be no fatigue failure period.

9 A. Right.

10 Q. On the other hand, corrosion fatigue has no endurance  
11 limit. So, I guess what -- what I still feel is that if you are  
12 somehow not considering environmental factors in a fatigue model,  
13 you really are comparing apples to oranges, because in one case  
14 environmental factors --

15 A. Right.

16 Q. -- is being considered.

17 A. I think, actually, the environmental factors are  
18 factored into the fatigue growth constants that we're using.

19 Q. How?

20 A. I guess just when they were determined, empirically with  
21 experiments. Because I know in API 579, you can look up your  
22 constants based on the type of steel that you're using as well as  
23 the environment that the steel is in.

24 Q. But the environment of the surface is completely  
25 different than the environment of crack depth and how you -- I

1 guess I'll be happy knowing that showing -- if you can show me,  
2 okay, this how we are incorporating the environmental aspect.

3 A. Right.

4 Q. And then you really cannot call it fatigue, then. You  
5 have to call it corrosion fatigue. But that's semantics. But I  
6 haven't seen something like that so far. I'm not saying it's not  
7 there, but if it is, I would like to see that.

8 A. Right. Offhand I don't know --

9 Q. Or either can get back to us. I'm not --

10 A. Right.

11 Q. If you do not know, you do not know it.

12 A. Right. I'm not sure off the top of my head.

13 Q. Somebody told us that they are including environmental  
14 factor in there somehow, right, and I still do not understand --

15 MR. NICHOLSON: Sean mentioned it.

16 UNIDENTIFIED SPEAKER: Sean did, but --

17 MR. NICHOLSON: He wasn't very clear on how.

18 MR. SUTTON: I think it is incorporated in the  
19 constants, but I'm not entirely sure how. Because I know I've  
20 looked at API 579 and it does say like for Martensitic steel in  
21 this environment or at this temperature range, use this value.

22 BY MR. CHHATRE:

23 Q. Are you using the same value here, or -- but if you are  
24 not, then you are not incorporating --

25 A. Right.

1 Q. -- the environmental aspect of it.

2 A. I'm not sure.

3 Q. Okay. That's fine. But if you guys can just get back  
4 to me on that, that would really -- and that has been bugging me  
5 since Sean's presentation. It's not clear to me. I'm not saying  
6 it's not there, but --

7 A. Right.

8 MR. PIERZINA: I think what Sean said was that the 8.61  
9 times  $10^{-19}$  was a screening -- a conservative screening value  
10 without knowing anything else about the behavior of your material,  
11 right? Something like that.

12 MR. SUTTON: Right.

13 MR. CHHATRE: But that does mean the environmental  
14 factors are there, right?

15 MR. PIERZINA: That's way beyond my knowledge, so --

16 MR. CHHATRE: Again, I'm not saying it's not there --

17 MR. SUTTON: Right.

18 MR. CHHATRE: -- but if it is there, I have to convince  
19 myself that, okay, this is how you guys (indiscernible) it.

20 MR. SUTTON: Right.

21 BY MR. FOX:

22 Q. I'm curious about the length of the crack, the axial  
23 length, and, you know, we've got the 2 square root DT limit placed  
24 on that. Is that a limit that the FlawCheck software is valid  
25 for? If you go beyond that, it would be invalid --

1 A. Yeah.

2 Q. -- the data?

3 A. More or less. I can -- we can run through a couple  
4 examples if you want, playing around with the length, or --

5 Q. Sure. I mean, if I can do, say, the accident flaw with,  
6 you know, the total length of -- what was it -- 51 inches?

7 A. Fifty-one inches, or something, yeah.

8 Q. Yeah. I mean, what the heck?

9 MR. NICHOLSON: Do 1.6.

10 MR. FOX: You want 51.6?

11 MR. NICHOLSON: Um-hum.

12 MR. PIERZINA: The 2 square root DT value doesn't  
13 change, right?

14 MR. FOX: Yeah, I mean -- well, that would stay the --

15 MR. NICHOLSON: Yeah, not the size of a flaw, though.

16 MR. FOX: No, that's not -- yeah, it's only --

17 MR. CHHATRE: Because they can change --

18 MR. FOX: So if I --

19 MR. NICHOLSON: Okay. We're overriding the 2 DT with  
20 the 51.

21 BY MR. FOX:

22 Q. Yeah, we're putting a different value in instead of the  
23 2 DT, square of the 2 -- 2 square DT.

24 A. So I'll just use the 2008 quarter one pressure data.

25 Q. Well, let's run it with the -- have we run it with the

1 full -- with the spectrum that it saw?

2 A. Run that one, or --

3 Q. Did we run any of the other ones to compare it with?

4 A. Yes, I believe we did do that one. I think that's this  
5 guy here.

6 Q. Okay. Yeah, let's run that. So before we had 13.6  
7 years.

8 MR. PIERZINA: So those initial lengths, are those input  
9 values or are they --

10 MR. SUTTON: They're the input values.

11 MR. PIERZINA: They were input?

12 MR. SUTTON: Yeah.

13 MR. PIERZINA: Oh, okay.

14 And why did we use those instead of the actual flaw  
15 length?

16 MR. SUTTON: Just because if it's kind of a flaw beyond  
17 that 2 square root DT, the length isn't going to change, or not a  
18 significant amount.

19 MR. CHHATRE: What he's saying -- he's saying the  
20 fatigue length --

21 MR. PIERZINA: Oh. All right. So if we input a longer  
22 length feature, we should not see the fatigue length change?

23 MR. SUTTON: Right.

24 MR. PIERZINA: Okay.

25 MR. SUTTON: So, I just got to pull up the critical

1 depths.

2           So, here what it's saying -- I think Sean has probably  
3 spoken to this about randomizing the spectrum or how the spectrum  
4 is applied and scaling it. So here it's saying, okay, you've got  
5 your 6 years of pressure data or whatever you've got. I can't run  
6 that 20 times, so what I'm going to do is I'm going to scale that  
7 back so that you can run that at least 20 times.

8           UNIDENTIFIED SPEAKER: That's new to me, Aaron, but --

9           MR. NICHOLSON: Yeah. He did talk about scaling. I  
10 didn't know -- it said it's going to reduce it by one quarter.

11           Oh, maybe he did talk about that.

12           MR. FOX: But we didn't -- oh, we didn't run that.

13 Okay.

14           MR. SUTTON: Then your length -- isn't showing. Not  
15 showing, but it's not changing.

16           MR. PIERZINA: So that's a pretty fast curve.

17           MR. FOX: So, it comes out at 4-1/2? A little bit less  
18 than 5 years.

19           UNIDENTIFIED SPEAKER: Uh-huh.

20           MR. FOX: Well, that seems like a pretty good --  
21 reasonable --

22           MR. JOHNSON: What's that?

23           MR. FOX: It seems like a reasonable result.

24           MR. NICHOLSON: 2005 to 2010, yeah.

25           UNIDENTIFIED SPEAKER: For what happened, huh?

1 MR. FOX: Seems to match.

2 MR. NICHOLSON: Except that's the wrong -- no, that's  
3 the right flaw too. It's the wrong wall thickness.

4 MR. SUTTON: Did I put something -- wrong key in here?

5 MR. NICHOLSON: Well, it's got bias in it too, right?

6 MR. FOX: Yeah. It's got the tool bias in there.

7 MR. NICHOLSON: Yeah. It's got the bias.

8 MR. FOX: Yeah. So you got the tool bias in there.  
9 You've got the extra wall thickness.

10 MR. NICHOLSON: Can you take the bias out, or do you  
11 want to leave the bias in?

12 MR. FOX: It gives you an idea.

13 MR. SUTTON: I'm just trying to find where it's --

14 MR. FOX: You could run a whole matrix of, you know,  
15 what values you want to plug in for length and depth and, you  
16 know, width of the wall thickness.

17 MR. NICHOLSON: So it went from 13.6 to 5? Is that what  
18 would happen? Yeah, 13.6 to 5.

19 MR. PIERZINA: Now, was that a curve with the 50-pound  
20 bins?

21 MR. NICHOLSON: Oh, I don't know. Is that 50-pound  
22 bins?

23 MR. SUTTON: I'm not sure. I'm trying to find where I  
24 have that. Input file.

25 MR. PIERZINA: No, because we did the 50-pound bins on

1 the -- just the severe quarter.

2 MR. FOX: That's right.

3 MR. PIERZINA: And that was the --

4 MR. FOX: That's right.

5 MR. NICHOLSON: Why don't we go off the record for --

6 (Whereupon, the interview was concluded.)

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25



CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF:           ENBRIDGE - LINE 6B RUPTURE IN  
                                  MARSHALL, MICHIGAN  
                                  Interview of Aaron Sutton

DOCKET NUMBER:           DCA10FE007

PLACE:                    Edmonton, Alberta, Canada

DATE:                     December 8, 2011

was held according to the record, and that this is the original,  
complete, true and accurate transcript which has been compared to  
the recording.

---

Vanita Tildon  
Transcriber