

ORIGINAL

RECEIVED
NTSB OFC OF JUDGES
WASHINGTON, D.C.

UNITED STATES OF AMERICA
NATIONAL TRANSPORTATION SAFETY BOARD
SEP 27 A 11:10

* * * * *

Investigation of: *

PACIFIC GAS & ELECTRIC COMPANY *
SEPTEMBER 9, 2010 ACCIDENT *
SAN BRUNO, CALIFORNIA *

Docket No. DCA-10-MP-008

* * * * *

Interview of: CHUCK MARTINEZ

Anaheim Room
Marriott Hotel
San Francisco Airport
1800 Bayshore Highway
Burlingame, California 94010

Friday,
September 17, 2010

The above-captioned matter convened, pursuant to
notice, at 10:22 a.m.

BEFORE: KARL GUNTHER
Accident Investigator

APPEARANCES:

KARL GUNTHER, Accident Investigator
National Transportation Safety Board
490 L'Enfant Plaza East, S.W.
Washington, D.C. 20594

RAVINDRA M. CHHATRE, Investigator-in-Charge
National Transportation Safety Board
490 L'Enfant Plaza East, S.W.
Washington, D.C. 20594

LAWSON F. NARVELL, JR., Investigator
Human Performance Group
National Transportation Safety Board
490 L'Enfant Plaza East, S.W.
Washington, D.C. 20594

SUNIL K. SHORI, Engineer
California Public Utilities Commission

TOM FINCH, State Liaison
PETER J. KATCHMAR, Senior Accident Investigator
U.S. Department of Transportation
Pipeline and Hazardous Materials Safety
Administration

ROBERT FASSETT, Director
Integrity Management and Technical Services
Pacific Gas & Electric Company

GEOFF CALDWELL, Police Sergeant
City of San Bruno Police Department

DEBBIE MAZZANTI, Business Representative
International Brotherhood of Electrical Workers
Local 1245

JOSHUA SPERRY, Senior Union Representative
Engineers and Scientists of California
Local 20

DANE B. JAQUES, ESQ.
(Counsel for Mr. Martinez)
Dombroff, Gilmore, Jaques & French
1676 International Drive, Penthouse
McLean, Virginia 22102

I N D E X

<u>ITEM</u>	<u>PAGE</u>
Interview of Chuck Martinez:	
By Mr. Gunther	5
By Mr. Shori	6
By Mr. Chhartre	9
By Mr. Fassett	15
By Mr. Caldwell	16
By Mr. Katchmar	17
By Mr. Shori	20
By Mr. Chhatre	22
By Mr. Fassett	23
By Ms. Mazzanti	24
By Mr. Shori	25
By Mr. Fassett	26

I N T E R V I E W

(10:22 a.m.)

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. GUNTHER: All right. I'm Karl Gunther, National Transportation Safety Board. We're investigating an accident that occurred September 9th, 2010, in San Bruno, California, covered under DCA-10-MP-008.

What I'd like first is to advise you that you have a right to have someone sit with you as counsel. Have you chosen someone?

MR. MARTINEZ: Yes, sir.

MR. GUNTHER: And that is?

MR. JAQUES: For the record, Dane Jaques, on behalf of the witness.

MR. GUNTHER: Okay.

What I'd like to do is go around the panel and everybody introduce themselves and their affiliation.

MR. CALDWELL: Geoff Caldwell, City of San Bruno.

MR. FASSETT: Bob Fassett, PG&E.

MR. CHHATRE: Ravi Chhatre, NTSB. I'm the investigator in charge of this accident.

MR. SHORI: Sunil Shori, California Public Utilities Commission.

MR. KATCHMAR: Peter Katchmar, United States Department of Transportation, Pipeline and Hazardous Materials Safety Administration.

1 MR. GUNTHER: Karl Gunther, NTSB.

2 MS. MAZZANTI: Debbie Mazzanti, IBEW Local 1245.

3 MR. SPERRY: Joshua Sperry, ESC, Local 20.

4 INTERVIEW OF CHUCK MARTINEZ

5 BY MR. GUNTHER:

6 Q. Okay. I'd like to get your name, address, and phone
7 number for the record.

8 MR. JAQUES: The work address and phone number are fine.

9 BY MR. GUNTHER:

10 Q. Yeah, that's fine. Either one.

11 A. Chuck Martinez, [REDACTED], [REDACTED], [REDACTED]

12 [REDACTED]

13 Q. And your job title?

14 A. San Francisco T&R Supervisor.

15 Q. And T&R stands for?

16 A. Transmission and regulation.

17 Q. Okay. What I'd like you to do, go back to September
18 9th, and just say from the beginning until the end exactly what
19 you did and what you saw.

20 A. I responded -- I received a call from gas control about
21 a possible incident with line 132. I started looking into it. I
22 responded to the scene with a T&D crew. I shut off -- I shut down
23 the transmission line and the distribution system. That was
24 pretty much it.

25 And then I supervised until the next morning.

1 Q. Okay. Do you have an idea when you were called by gas
2 control, what time?

3 A. It was about 6:30.

4 Q. Okay. And roughly when you got to the scene?

5 A. I don't recall exactly when I got to the scene.

6 Q. Okay. Do you remember when you ordered the transmission
7 valves to be shut off to 132?

8 A. We were at the first valve ^{in CW} and water shed, I imagine it
9 was close to 7:30.

10 Q. And then do you have an idea when both valves were shut
11 off?

12 A. No, I don't.

13 Q. Okay. All right.

14 Now, Pete?

15 MR. KATCHMAR: I have no questions.

16 MR. GUNTHER: Sunil?

17 MR. SHORI: Yeah.

18 BY MR. SHORI:

19 Q. You said you got -- you were actually part of the crew,
20 turning the valves off?

21 A. Correct. I met the crew at the scene.

22 Q. And you are OQ qualified? Are you OQ qualified on any
23 covered tasks?

24 A. No, sir.

25 Q. So it's -- you assigned the crew or you directed the

1 crew?

2 A. I directed the crew.

3 Q. Who was the crew?

4 A. Mike Hickey and Ed Sickenger.

5 Q. And when you were contacted at 6:30 and you got to the
6 scene, where did you go when you got to the scene?

7 A. To the Skyline valve yard in the water shed.

8 Q. And so just -- was the crew already there or did you
9 wait for the crew?

10 A. No, we actually arrived at the same time.

11 Q. Did you direct the crew to the next valve -- what time
12 did the crew finish and move on to the next valve?

13 A. I don't know, I wasn't keeping track of time. We closed
14 that valve and we proceeded down to Healy Station.

15 Q. So you stayed --

16 A. So it was minutes.

17 Q. You stayed with the crew?

18 A. Yes.

19 Q. Any difficulties getting down to the Healy Station from
20 the valve at the water shed?

21 A. Not really. There was some traffic, but we made it
22 pretty quick.

23 Q. What were your actions after the valve at the Healy
24 Station was closed?

25 A. We went up to the distribution reg station by Linardi's

1 and closed that end, so it wouldn't back-feed.

2 Q. By the time -- I guess by the time you met up with the
3 crew, had they already identified the valves needed to isolate
4 them -- isolate the location they wanted to isolate?

5 A. Yes.

6 Q. Any indications from the crew to you in terms of what
7 time they got to the scene?

8 A. No, no.

9 Q. Were you the one who had called the crew -- the crew out
10 to basically isolate the valves or who --

11 A. No. The crew responded on their own.

12 Q. How did they close the valve?

13 A. Manually.

14 Q. Both -- similar valves or --

15 A. No, the water shed requires a valve wrench. Healy
16 Station is a wheel valve.

17 Q. How long did it take to close the valve at the water
18 shed in Healy?

19 A. I don't know, a matter of a few minutes.

20 Q. Okay. Any difficulties with closing the valve -- the
21 valve not operating correctly or anything else that --

22 A. No.

23 Q. -- in the process?

24 A. Both valves operated as expected.

25 Q. Okay. Which valves at Healy were operated as part of

1 the response?

2 A. Valve 4005 and, I believe No. 2.

3 Q. Okay. And what does each of those valves do?

4 A. 4005^{CM} is the main line valve on line 132, and the other
5 valve is a cross-tie.

6 Q. And that cross-tie is to?

7 A. Line 109.

8 Q. Okay. Was that valve closed or was it opened? So what
9 did the operation of the inter-tie valve entail?

10 A. Closing. I believe closing. At the time I was making a
11 phone call to let the OEC know that we -- what operations we were
12 doing, when the M&C was checking that valve.

13 Q. Okay. So, just for clarification, so the valve
14 was -- you believe open and to be closed?

15 A. I believe.

16 Q. And you said, again, after that point is when you moved
17 on to the command center at Linardi's?

18 A. To that location, to the reg station. That's all in the
19 same general area.

20 Q. Okay.

21 MR. SHORI: That's it for me. Thank you.

22 MR. GUNTHER: Ravi?

23 MR. CHHATRE: Yes, sir.

24 BY MR. CHHATRE:

25 Q. I just need some clarification. Who called you to go to

1 the accident scene?

2 A. No one -- no one directed me to the scene.

3 Q. And I believe you said no one directed the crew and the
4 crew acted on their own?

5 A. Correct.

6 Q. How did everybody know where to go?

7 A. Familiarity with the system.

8 Q. But how did you know it was a gas line or your line and
9 it was at the location that it is?

10 A. Based on experience and the information I had.

11 Q. Can you elaborate? What information did you have?

12 A. The information I had from the load center that they
13 received a call of a possible rupture on line 132, and the fact
14 that I was losing pressure at Martin Station.

15 Q. And were you at the Martin Station?

16 A. Pardon me?

17 Q. Were you at the Martin Station.

18 A. No, I was at home.

19 Q. Okay. So somebody at the Martin Station or somebody
20 told you that you were losing pressure on 132?

21 A. The gas load center informed me.

22 Q. Okay. And that is located where?

23 A. Excuse me, the load center?

24 Q. Where is the gas load center located?

25 A. San Francisco.

1 Q. Okay. And did you close lines -- valves on all lines,
2 101, 109, and 132, or only on 132?

3 A. Only 132.

4 Q. And after you closed those, did you report that to
5 anybody at PG&E, that you had done that?

6 A. I was reporting to the OEC every valve operation as we
7 performed it.

8 Q. You might have told us earlier, what is "OEC"? Stands
9 for?

10 A. You know what? I'm not really sure. We have so many
11 acronyms.

12 Q. I know. That's what we'd like to understand. I mean,
13 if you have so many. Okay. We can get that later on. That's not
14 a big deal.

15 So you report to OEC after each valve closure or after
16 both were closed?

17 A. Each one.

18 Q. Okay. Can that -- is there some kind of a record,
19 either on your phone or the phone that received the information?
20 Because we are trying to find out some data inputs and
21 transmission of that.

22 A. It's probably on my phone records. They would also have
23 been writing the times down, as I called.

24 MR. CHHATRE: Okay. Go ahead.

25 MR. FASSETT: It's also on the timeline that we

1 provided.

2 MR. CHHATRE: And that is not stamped confidential.

3 MR. FASSETT: It is now.

4 MR. CHHATRE: When are you going to clear that, because
5 I need some of that information.

6 MR. GUNTHER: We can go off the record.

7 (Off the record.)

8 (On the record.)

9 MS. MAZZANTI: "OEC" is the Operating Emergency Center,
10 point of clarification.

11 MR. FASSETT: That was also stated yesterday on the
12 record.

13 MR. CHHATRE: I'm sorry. I just didn't remember.

14 BY MR. CHHATRE:

15 Q. So nobody called the crew. The crew came to the
16 accident scene on their own? I just want to make sure that I
17 understand it correctly. The crew that --

18 A. That's what I understand, yes.

19 Q. Okay. Now, what happened after you closed the valves on
20 132 -- both of them -- and the distribution valve, what are the
21 next actions that you took?

22 A. We looked at our distribution plat map and started
23 working on how we would shut down the distribution system.

24 Q. Okay. And did you start that operation? Did you start
25 shutting down the distribution lines after you looked at the map,

1 finding out which ones are impacted?

2 A. Yes.

3 Q. As a supervisor, can you describe briefly what your
4 duties are? Can you describe what your duties are as a
5 supervisor?

6 A. I operate and maintain the gas infrastructure in San
7 Francisco.

8 Q. And does that include distribution mains -- the entire
9 distribution system?

10 A. In San Francisco, yes, that's correct.

11 Q. Does that include most of the mains, like 301? Does
12 that include also these lines in your territory for 101, 109, and
13 132?

14 A. Yes.

15 Q. Is that part of --

16 A. Yes.

17 Q. And when you say maintain, does that include corrosion
18 control or maintenance?

19 A. Correct.

20 Q. Can you describe what those activities are in corrosion
21 control and maintenance?

22 A. We monitor the level of cathodic protection on hose
23 lines. *those CM*

24 Q. And do you know what the minimum -- what --

25 A. Eight-fifty, minimum.

1 Q. Minimum 850. ^{sulfate Cu} Copper center?

2 A. Yes.

3 Q. Any incidents where these potentials dropped below 850?
4 Anything in the last few years, couple of years.

5 MR. FASSETT: For the record, you have all of that
6 information.

7 MR. CHHATRE: We do?

8 MR. FASSETT: We provided you all of the maintenance.

9 MR. CHHATRE: I mean, I told you already, you should
10 stop me at the very first opportunity.

11 MR. FASSETT: I apologize. It's all my fault.

12 MR. CHHATRE: No, I don't have familiarity with all of
13 the information that these other people have. So it's not that --

14 BY MR. CHHATRE:

15 Q. Any past incidents about corrosion damage on your lines?
16 Again, I'm only referring to 101, 109, and 132.

17 A. Not that I'm aware of.

18 Q. Okay. And do you guys do -- I understand it is -- there
19 is a ECDA -- external corrosion direct assessment you use for
20 these three lines, or am I wrong?

21 A. We don't. The company does. We don't locally.

22 Q. Okay. And do you get the data from that ECDA in some
23 way? You as a supervisor.

24 A. I don't recall if I received it.

25 Q. Okay. Any past incidents on -- of a corrosion leak? If

1 you have sent me that information, you can stop me right now. Do
2 you have any past incidents of corrosion damage on any of these
3 three lines?

4 A. Not that I'm aware of.

5 MR. FASSETT: You do have in the two studies that we
6 gave -- the 2005 ECDA -- the 2004 ECDA and the 2009 ECDA any
7 documents associated with the integrity of the line as part of the
8 pre-assessment. It's in your hand.

9 MR. CHHATRE: Okay, great.

10 And I have no more questions. Thank you for coming.

11 MR. GUNTHER: Bob Fassett?

12 MR. FASSETT: A couple, I think.

13 BY MR. FASSETT:

14 Q. So, the water shed valve, is that in a vault or above-
15 ground?

16 A. It's in -- it's below ground.

17 Q. And that's the one --

18 A. It's accessed through a manhole cover.

19 Q. And that's the one that requires the valve wrench?

20 A. Yes.

21 Q. So the Healy Station is above ground with --

22 A. The ^{CM}key operator is above ground with a wheel.

23 Q. Okay. Both multi-turn valves?

24 A. Yes.

25 Q. So you say no one directed you to the scene, but you did

1 have -- you were talking to gas control. They just didn't say,
2 "Chuck, go to the scene"? Is that correct?

3 A. That's correct.

4 Q. Okay. And then the crosstie to line 109, do you recall
5 if that's downstream of the main line valve or upstream?

6 A. I believe that's upstream.

7 MR. FASSETT: Thank you.

8 MR. GUNTHER: Geoff?

9 BY MR. CALDWELL:

10 Q. The question I have, is it -- earlier on in the
11 investigation I was led to believe that there might be a protocol
12 to try to turn off both valves simultaneously. Is that true or
13 not true?

14 A. No.

15 Q. Okay. So it doesn't -- and then you turned off the
16 feeder valve, so to speak, first -- this other one?

17 A. Correct.

18 Q. And then went to --

19 A. Upstream.

20 Q. Okay, the upstream one. And then from there, do you
21 remember what route you took to get to the other one?

22 A. Down Skyline and down Sneath.

23 Q. ^{Cres-twood cm}
To Crosswood?

24 A. Yes.

25 Q. Okay.

1 MR. CALDWELL: That's it. Thank you.

2 MR. GUNTHER: IBEW?

3 MS. MAZZANTI: No questions.

4 MR. GUNTHER: Engineers?

5 MR. SPERRY: No, thank you.

6 MR. GUNTHER: PHMSA?

7 BY MR. KATCHMAR:

8 Q. I have some follow-up questions.

9 A. Okay.

10 Q. Did -- if nobody sent you or the crew to the south valve
11 first, how did you both get there at the same time?

12 A. By sheer coincidence, I imagine.

13 Q. Okay. They didn't show up at the incident command
14 center and then you drove over there together?

15 A. No, sir.

16 Q. Okay. And, please, help me out here if I do this wrong,
17 but we were told that someone dispatched a crew from the north and
18 someone dispatched a crew from the south, both to go to their
19 respective valves. And wait until I finish here.

20 And then we were told that the people from the north
21 were able to get there to their valve, which would have been the
22 ^{40,05}4005 -- and I understand that you went to the other one first.
23 But we were told that they got -- the north people got to their
24 valve and then after they closed those valves appropriately, they
25 went to the southern one just because that's the next thing to do

1 and they were able to get there and close the valve before the
2 south guys got there. In your recollection, can you comment on
3 that?

4 A. That's not correct.

5 Q. Okay. Just getting it on the record.

6 Could you explain to me what a valve wrench -- a valve
7 type of closure is?

8 A. There are different types of valve wrenches. Basically
9 there are -- they're a long piece of steel -- it might be pipe or
10 square tube. On the end of it, it has a particular square head
11 for that type of valve. I believe this was a No. 4 key, what we
12 refer to.

13 Q. So you did -- your guys did not have to go down into the
14 vault to close the vault, you did it from above ground on a
15 long --

16 A. Correct.

17 Q. Okay -- a long wrench. Okay. Gotcha.

18 Thank you, that clarifies that.

19 MR. GUNTHER: Sunil --

20 MR. KATCHMAR: No, wait.

21 MR. GUNTHER: Oh, I thought you were done.

22 BY MR. KATCHMAR:

23 Q. After you did that, you say you went back to the OEC and
24 you looked at the distribution system plat maps to find out maybe
25 where your emergency valves were so that you could isolate the

1 distribution system?

2 A. Correct.

3 Q. Were you asked to turn those -- turn that distribution
4 system in the area affected by the fire, were you asked to turn
5 that off -- gas to that area off?

6 A. It was a request made by the fire department.

7 Q. Okay.

8 A. We would have done that, anyway.

9 Q. Okay. And I know that you are supposed to have
10 emergency valves strategically placed. I happened to be watching
11 a live feed and it appeared that it didn't -- the distribution
12 system, anyway, didn't get shut off for a long period of time.
13 Can you tell me when you got it turned off?

14 A. It was some time after 11:00.

15 Q. Okay.

16 A. I don't know exactly.

17 Q. And can you tell me the reason it took that long to shut
18 the distribution system off?

19 A. There were four locations. One was a valve, the other
20 three needed to be excavated.

21 Q. Okay. And why would they need to be excavated?

22 A. To get down to the gas line, to squeeze it. We didn't
23 have valves available at those locations.

24 Q. Okay. Were you trying to maintain service outside the
25 area? Is that why you squeezed off or didn't go to the next

1 valve?

2 A. I'm not familiar with the distribution, per se, in San
3 Bruno.

4 MR. KATCHMAR: Okay. Thank you, sir.

5 MR. GUNTHER: Sunil, California PUC?

6 MR. SHORI: Thank you.

7 BY MR. SHORI:

8 Q. Can you indicate those particular valves one more time
9 on the distribution system, what -- which ones were squeezed and
10 which ones were -- where you had to squeeze and where you operated
11 valves?

12 A. We operated a valve at Sneath and Claremont, and that
13 would be West Claremont.

14 MR. FASSETT: Just a point of clarification, I believe
15 he's referring to the transmission system. And I thought you just
16 asked about the --

17 BY MR. SHORI:

18 Q. I'm talking about the distribution.

19 A. The distribution. We operated a valve at the east
20 portion of Claremont and Sneath -- excuse me, that would be West
21 Claremont and Sneath. At East Claremont and Sneath, we squeezed
22 the plastic. At Glenview and San Bruno, a little bit down the
23 hill, we squeezed the steel. And at the bottom of the hill, at
24 Earl, we squeezed the steel.

25 Q. So that's four points?

1 A. Yes, four points.

2 Q. When you were contacted -- you indicated earlier you
3 were contacted by gas control at approximately 6:30?

4 A. Correct.

5 Q. Who from gas control contacted you?

6 A. I believe it was Mike.

7 Q. Do you have a last name?

8 A. I think his name is Valenti.

9 Q. And do you recall what exactly or what Mike said to you?

10 A. Not exactly. He said they had a report from a gas
11 station of a gas leak and at that time, he also told me Martin
12 Station was losing pressure. It was down to about 60 pounds.

13 Q. And at that point -- you're using the telephone. Is
14 this your personal phone or your company phone?

15 A. That would be the company cell phone.

16 Q. Now, you said you had already proceeded to the scene
17 before you were contacted by gas control?

18 A. No, sir. After.

19 Q. After. So, did you have any knowledge of any event or
20 anything going on prior to your -- prior to being contacted by gas
21 control in regard to the gas facilities in San Bruno?

22 A. No, no.

23 Q. Where did you proceed from, what area, general area?

24 A. Belmont.

25 Q. Do you know if there's any blowdown valves on any of the

1 facilities that you operated, for example the two valve stations?

2 A. There is a blow-off at the water shed where we operated
3 that valve.

4 Q. Are there blow-offs anywhere else on the isolated
5 portion?

6 A. Not to my knowledge.

7 Q. Was there any thought given by you or the crew in terms
8 of the need to use blowdown?

9 A. No.

10 Q. Would the blowdown valves have been on the maps that
11 were being used to determine the valves to isolate --

12 A. Yes, they are.

13 Q. -- the transmission line?

14 A. Yes.

15 Q. Did the crew have equipment -- what's the extent of
16 equipment that was available to the crew? What kind of crew truck
17 was it that was being used at this time to go to the valves?

18 A. It was a standard M&C truck.

19 Q. Would they have blowdown extensions or anything they
20 would need to do a blowdown on that truck?

21 A. No, I don't believe they had an extension.

22 MR. SHORI: Okay. Thank you.

23 MR. GUNTHER: Ravi?

24 MR. CHHATRE: One follow-up question.

25 BY MR. CHHATRE:

1 Q. What would have happened -- if you guys wouldn't have
2 gone to the accident scene, since all three of you had
3 volunteered, how the process would have worked for PG&E to send
4 somebody to the accident scene?

5 MR. JAQUES: I'm going to object. It calls for
6 speculation on his part.

7 MR. CHHATRE: Okay. Let me rephrase the question, then.

8 BY MR. CHHATRE:

9 Q. Who had responsibility to send the crew at the accident
10 scene?

11 A. Whoever the first responder into the OEC was.

12 Q. And do you know who that person was at the time of the
13 incident?

14 A. No, I don't.

15 MR. CHHATRE: Okay. No further questions.

16 MR. GUNTHER: PG&E?

17 BY MR. FASSETT:

18 Q. This may be speculation, so, Counsel, I apologize ahead
19 of time. But there's a question about blow-offs. There's only a
20 blow-off on one side as I understood it. Is that correct? I
21 think you said at the water shed.

22 A. Yes, at the main line valve we operated, there are two
23 blow-off valves, one upstream, one downstream. They tie together
24 to the blow-off.

25 Q. But that's the upstream -- the water shed is the

1 upstream valve? It's the source valve, is that correct?

2 A. Yes, that's correct.

3 Q. So, you get two lines going. You essentially have, for
4 all you knew, two blow torches: One blowing from the south and
5 one blowing off a line pack from the north, is that correct?

6 A. Correct.

7 Q. Is it accurate to say that should you have opened that
8 blow-off at the water shed, you may start sucking that gas up the
9 pipeline, because of the venturi effect of that open blow-off?

10 A. Yes.

11 Q. So that would not be a wise thing to do, is that
12 correct?

13 A. Correct.

14 Q. And then you said you didn't know who the first
15 responder at the OEC was, so you don't know if the crew had
16 already shown up and reported that they were there or if he needed
17 to call them out, is that correct?

18 A. ^{white cm} Well, I was en route. I was in communication with the
19 San Carlos acting T&R supervisor. He informed me that he had made
20 contact with the Colma crew -- who is Mike Hicky -- and that they
21 were, indeed, en route already and that the OEC had called in
22 another crew who was, I believe, Brad Schuback.

23 MR. FASSETT: Okay. Thank you.

24 MR. GUNTHER: Okay. IBEW?

25 BY MS. MAZZANTI:

1 Q. The crew that you're referring to, that Brad Schuback is
2 on, that crew is headquartered where?

3 A. San Carlos yard.

4 Q. But it had already been the end of the day, so there
5 wouldn't -- it was the end of the day. Was that crew actually in
6 the yard?

7 A. No.

8 Q. So if they would have been called, they would have been
9 called from home?

10 A. Correct.

11 MS. MAZZANTI: No further questions.

12 MR. GUNTHER: Okay. Engineers?

13 MR. SPERRY: No questions.

14 MR. GUNTHER: Okay. Sunil?

15 MR. SHORI: I need to ask another one.

16 BY MR. SHORI:

17 Q. Are you aware if there's blow-off valves at Healy
18 Station?

19 A. I'm not personally aware exactly what's at Healy
20 Station.

21 Q. Okay. But, again, in response to the question earlier I
22 asked if you considered doing blow-offs, had you considered -- had
23 you talked to the crew in terms of doing a blow-off?

24 A. We did not discuss it. Based on experience, it wouldn't
25 be prudent.

1 Q. It wouldn't be prudent doing it where?

2 A. At either location. We needed -- the line was breached.
3 By shutting off the valves and eliminating the flow, it
4 wouldn't -- there would be nothing left to blow off.

5 MR. FASSETT: I'm finished.

6 MR. GUNTHER: Bob?

7 BY MR. FASSETT:

8 Q. You mentioned -- in a sense, you gave us a description
9 of the low pressure, the size of the low pressure that you shut --

10 A. The distribution?

11 Q. Yeah. You mentioned that the distribution was closed in
12 one valve and three squeeze points, is that correct?

13 A. Correct.

14 Q. And Mr. Katchmar asked, "Well, why didn't you have the
15 other valves," and you said you weren't familiar with the
16 distribution system, is that correct?

17 A. Correct.

18 Q. Is it accurate to say that especially in a fire
19 situation, you really want to make that system as small as you
20 can, because when you squeeze it in, you're squeezing in gas? So
21 if, for example, you squeezed in 100 customers, that's only a
22 hundred customers of gas as opposed to if you had a zone valve
23 that was designed for 1,000 customers, you could shut that end and
24 that fire would have burned a whole lot longer, is that correct?

25 A. Correct.

1 MR. FASSETT: Thank you.

2 MR. GUNTHER: Does anybody have any more questions?

3 Again, is there anything that you haven't told us that
4 we should know?

5 MR. MARTINEZ: No, sir.

6 MR. GUNTHER: Again, would you like to make a statement
7 for the record?

8 MR. MARTINEZ: No, sir.

9 MR. GUNTHER: Okay.

10 (Whereupon, the interview was concluded.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD


IN THE MATTER OF: PACIFIC GAS & ELECTRIC COMPANY
SEPTEMBER 9, 2010 ACCIDENT
SAN BRUNO, CALIFORNIA
Interview of Chuck Martinez


DOCKET NUMBER: DCA-10-MP-008

PLACE: Burlingame, California

DATE: September 17, 2010

was held according to the record, and that this is the original,
complete, true and accurate transcript which has been compared to
the recording accomplished at the hearing.


Richard Friant *RM*
Official Reporter


O