

UNITED STATES OF AMERICA  
NATIONAL TRANSPORTATION SAFETY BOARD

\* \* \* \* \*

Investigation of:

\*  
\*  
\*  
\*  
\*

ENBRIDGE OIL SPILL  
MARSHALL, MICHIGAN

Docket No.: DCA-10-MP-007

\* \* \* \* \*

Interview of: BRIAN WHITTAKER

Conference Room  
Holiday Inn Express  
630 East Chicago Street  
Coldwater, Michigan

Thursday,  
July 29, 2010

The above-captioned matter convened, pursuant to notice,  
at 12:05 p.m.

BEFORE: KARL GUNTHER  
Accident Investigator

APPEARANCES:

KARL GUNTHER, Accident Investigator  
National Transportation Safety Board

[REDACTED]  
[REDACTED] [REDACTED]  
[REDACTED]

MATTHEW R. NICHOLSON, Investigator-in-Charge  
National Transportation Safety Board  
Office of Railroad, Pipeline, &  
Hazardous Materials Investigations

[REDACTED]  
[REDACTED] [REDACTED]  
[REDACTED]

JAMES BUNN, General Engineer  
BRIAN PIERZINA, General Engineer  
U.S. Department of Transportation  
Pipeline and Hazardous Materials  
Safety Administration

[REDACTED]  
[REDACTED]  
[REDACTED]  
[REDACTED]

JAY A. JOHNSON, Senior Compliance Specialist  
Enbridge Energy Company, Inc.

[REDACTED]  
[REDACTED] [REDACTED]  
[REDACTED]

TOM TIDWELL  
U.S. Fish and Wildlife Service

[REDACTED]

<u>ITEM</u>	<u>I N D E X</u>	<u>PAGE</u>
Interview of Brian Whittaker:		
By Mr. Gunther		<b>Error!</b>
<b>Bookmark not defined.</b>		
By Mr. Pierzina		<b>Error!</b>
<b>Bookmark not defined.</b>		
By Mr. Johnson		12
By Mr. Pierzina		12
By Mr. Johnson		12
By Mr. Pierzina		13
By Mr. Johnson		14
By Mr. Bunn		15
By Mr. Pierzina		15
By Mr. Johnson		16
By Mr. Pierzina		17
By Mr. Nicholson		27

I N T E R V I E W

(12:05 p.m.)

1  
2  
3 MR. GUNTHER: I'm Karl Gunther, National Transportation  
4 Safety Board. We are investigating an oil spill in Marshall,  
5 Michigan on July 26, 2010.

INTERVIEW OF BRIAN WHITTAKER

6  
7 BY MR. GUNTHER:

8 Q. Could you please give your name, address, and phone  
9 number for the record?

10 A. Brian Whittaker. My address is [REDACTED]

11 [REDACTED] Phone number: [REDACTED]

12 Q. And could you give your job title and company  
13 affiliation?

14 A. I work for Enbridge. I am the station technician.

15 Q. Can you describe what you did during the oil spill, you  
16 know, before the oil spill and afterwards?

17 A. Okay, basically, I came into work in the morning there.  
18 It must have been around 7:30. I went to the PLM. I always go in  
19 there and discuss with the mechanic what's going on for the day,  
20 see what he's got going. Anyway, they told me --

21 Q. What day is this at 7:30?

22 A. This is 7:30 in the morning on Monday the 26th.

23 Q. All right.

24 A. Okay. And they told me they had heard that there was  
25 low pressures out a Marshall station, so I immediately called the

1 control center, asked them, you know, if they've had problems.  
2 And they said they had. They called it a column separation, and  
3 they asked me if I was at the station. I said, "No, I'm at the  
4 Marshall PLM, but I'm on my way right now."

5           And it took me maybe five minutes to get -- it's just  
6 around the corner. And I got to the station, went over and seen  
7 the pressure on the panel view, and seen that there was like two  
8 pounds of suction, four pounds of discharge. And then called the  
9 control center and let them know that I was on site and what I'd  
10 seen.

11           And from there, I went into the pump house, checked all  
12 my pumps and down the pits, make sure there was nothing, no  
13 gaskets blown out or anything like that. The pump house was fine.  
14 I checked my transmitters. Everything seemed to be working fine  
15 with them. Checked all of my underground and closures, maked sure  
16 there was nothing leaking there, and those were all fine, and did  
17 a perimeter around my station inside the station fencing.

18           So, and then came back inside. Basically called back  
19 the control center and said that, "You know, I haven't found  
20 nothing here at the station that would say that there was a leak  
21 here or anything, so the station looks good." From there, I guess  
22 -- I think I proceeded to call Darrell Carter because I knew he --  
23 we were in the middle of a pig run, and I knew that they were, you  
24 know, wanting to get that pig moving, and I was just seeing if --  
25 getting an update for when the time would be when it would

1 probably be passing my station. So Darrell and I just talked,  
2 just kind of, you know, kind of what was going on, and kind of  
3 like that.

4           So I was at the station, I'm trying to think, must have  
5 been around 10:00 -- excuse me, 9:00 I got a call from Kelly in  
6 the control center. Kelly asked me, "Are you sure everything's  
7 okay?" And I said, you know, "Yep." And I'd even went around  
8 again to check everything because that's just the way I am, and I  
9 said, you know, "Everything looks good here at the station." I  
10 says, "What do you want me to do? Is there a plan of what we're  
11 going to do?" And he just says, "I just want you to stay there at  
12 the station." So I said, "That's fine." So I stayed at the  
13 station.

14           I guess I told -- I'm not sure of the time when I was --  
15 I called my boss and I talked to him for a while just on the, you  
16 know, what was going on, and I asked him if he thought it was okay  
17 that I go and maybe just go out and just check some of the right  
18 of way or check something. I was just going to go maybe down to  
19 the Kalamazoo River valve that was downstream farther of the  
20 station, and then go one up from upstream the station at Leroy.  
21 He said, "Confirm it with the control center to make sure it's  
22 fine with them." And they said, "Yeah, that's fine."

23           So I guess, basically, from there I called the PLM to  
24 ask them what they -- you know, if they've heard anything, what  
25 was going on, and I talked to John. I don't know his last name.

1 He was in there from Enbridge, one of the guys that had been  
2 inspecting. He said that the PLM was already out looking, I  
3 guess.

4 So, I went down the road, down Division, and I decided  
5 for some reason to look to my right. There's an industrial park  
6 there and I seen the trucks there, so I went down there just to  
7 catch up with the guys, see what was going on, and that's when the  
8 Consumers Energy people were coming out and said, "Yeah, it's not  
9 us; it must be you guys," because they had oil on their boots. So  
10 them guys went back to check back there. I'm not sure exactly who  
11 it was, if it was Ben and Phil and --

12 MR. JOHNSON: Yeah, we kind of talked to them already so  
13 we got their record, so you don't have to guesstimate.

14 MR. WHITTAKER: Okay, all right. I called my boss,  
15 Brian, and, you know, "It looks like we've got an emergency."  
16 What I wanted to do was -- and I had heard it was in the creek, so  
17 I went back to Division and I wanted to see where exactly the  
18 creek came out because I really wasn't sure.

19 Well, as I got on Division, the fire department was  
20 already there. So, I went right there and talked to -- I think it  
21 was the Marshall chief there. And, you know, the oil coming down  
22 pretty good then, so I told them -- and Ben had come by then  
23 behind me, and I told Ben that I would go down to the mouth of the  
24 Kalamazoo where the Talmadge Creek enters and check to see what  
25 the situation is there, so that's where I went. And when I got

1 there, you know, it was just like kind of rainbowish. It was  
2 nothing -- really a whole lot of nothing there yet, so I was  
3 really hoping that we had caught it by then.

4           So I talked to Ben, you know, they were already on their  
5 way with the boom trucks and stuff, and we put some absorbent  
6 booms down, and I actually went to the next farm because I used to  
7 live there, and threw some more absorbent boom in farther  
8 upstream. And we were then trying to find a good spot where we  
9 could -- you know, where the heavy stuff would be, where we could  
10 put some trucks and -- with a suck truck that was on 15 Mile, I  
11 believe, and that's where they started their response there, the  
12 suck truck, I guess, so --

13           I'm trying to think after that I was in communication  
14 with Mick Collier because I wanted to see, I went down to the --  
15 no, I got to take that back. I think the guys were on 15 1/2 Mile  
16 Road; that'd be the next one upstream of A Drive. That's where  
17 the guys were putting in at. So I went down to the bridge at 15  
18 Mile and I could see it looked like some residue coming down, so I  
19 contacted with Mick, and basically from there on I was just  
20 working with Mick Collier.

21           We were just trying to go and try to stay ahead of the  
22 slick. We were in the Squaw Creek subdivision for a while looking  
23 around, looking for anywhere where we could put boats in, put  
24 booms, stuff like that. Then he had me go down to the Ceresco  
25 Dam. I think it was the Battle Creek Fire Department was already

1 there with their HazMat team, and I stayed with them for quite a  
2 while, I think at least till 4:00. And then we decided -- Mick  
3 found another spot further down at the county park is where we  
4 decided to put the booms in. So, I went and helped them put the  
5 boom in down there, and that's basically where I was the rest of  
6 the night till 11:00, so --

7 BY MR. GUNTHER:

8 Q. What formal training do you have?

9 A. I've been a pipeliner for 15 years. I was a line  
10 locator for 5. I started the station technician job back in 2006.  
11 As far as, I mean, I've had all the Enbridge training. I've had  
12 some classes. All of the -- well, I guess what the Enbridge  
13 training would be, let's see, what do we call it HAZWOPER  
14 training. I've had that for, I guess, as long as we've had it,  
15 so --

16 Q. Are you qualified under the OQ program?

17 A. Yes.

18 Q. How many years of experience? I think we covered that.

19 A. I have 25. Well, 24. It will be 25 next year.

20 Q. Let me ask you a question. When you first called the  
21 control center and you reported everything was okay, did you tell  
22 them that you had no suction pressure?

23 A. I told them what the pressure was.

24 Q. Yeah. All right. Then, you know -- or like two pounds  
25 or you know?

1 A. Yes.

2 Q. Yeah. Okay, so they were aware of that?

3 A. Yes.

4 Q. And what time was that, roughly?

5 A. I guess it probably would have been, well, right when I  
6 got there around 7:45 I guess. You know, some of my times -- I  
7 don't carry a watch, so --

8 MR. GUNTHER: Right. Okay. All right. Well, I don't  
9 have any more. PHMSA?

10 MR. PIERZINA: Bear with me one moment, Brian.

11 MR. WHITTAKER: Sure.

12 BY MR. PIERZINA:

13 Q. So in relation to the pressure problems that they  
14 mentioned at -- you got to the PLM shop about 7:30?

15 A. Yes.

16 Q. And somebody had mentioned there were pressure problems?

17 A. They said they were low pressures at the station.  
18 That's what they said.

19 Q. Low pressure at the station. Do you recall who that was  
20 or was it --

21 A. Actually, I think it was Jim Meny, yeah, because I'm not  
22 sure who talked with -- I don't know how he found out, but Jim  
23 was --

24 MR. JOHNSON: And he's a mechanic?

25 MR. WHITTAKER: He's a mechanic, so --

1 BY MR. PIERZINA:

2 Q. Were you called out by the control center?

3 A. Called out? No, I wasn't.

4 Q. If there was a station problem, is it the control center  
5 that calls you out, or who calls you out?

6 A. Yes, it is.

7 Q. You get notified by a control center?

8 A. Operator, usually, yes.

9 Q. And they just say, "We've got X going on somewhere," and  
10 you go and investigate?

11 A. That's right. And actually, I would have been just  
12 getting done with my shift for that week. I had the week prior  
13 that I was on call, so there would have been a new person starting  
14 that morning, actually.

15 Q. And I'm glad you brought that up. So during -- is there  
16 any normal working hours for abnormal conditions, or it is always  
17 the on-call person?

18 A. It's always the on-call person.

19 Q. Okay, so somebody's on call for a week, and they cover  
20 how much area?

21 A. Well, how we work is the on-call person will get called.  
22 It depends on -- if this is what you're asking, and then whomever  
23 [sic] is responsible, we call that person, and if they can't, you  
24 know, go out, we go out.

25 Q. Then you go. Okay. Yeah, and that's important to

1 understand.

2 BY MR. JOHNSON:

3 Q. So in this case, if you got called being the on-call  
4 person --

5 A. I would have went anyway because that's my station.

6 Q. But at Niles, then you would have called up Darrell?

7 A. I would have called up Darrell, yes.

8 Q. And if he couldn't go, you'd have had to travel there?

9 A. That's right.

10 Q. All right.

11 BY MR. PIERZINA:

12 Q. So roughly 7:45, you're at the station and you see the  
13 low pressures that people talked about when you got to the PLM  
14 shop and just are investigating to find anything at the station  
15 that you can see as a problem?

16 A. Yes.

17 Q. Did you smell crude oil at any point?

18 A. No, I didn't.

19 BY MR. JOHNSON:

20 Q. So, I mean, we kind of work together.

21 A. Yes.

22 Q. So when you go down Division --

23 A. Yes.

24 Q. -- so the crude oil was to the right. Your station was  
25 to the left. Is that how you go down --

1 A. Where the rupture, or whatever it was, would be on my  
2 left-hand side as I was going to the station on Division.

3 MR. PIERZINA: Division's also on the left.

4 BY MR. JOHNSON:

5 Q. Okay. I wasn't quite sure. I haven't been out there --

6 A. Well, you can come in from two different ways, too.

7 Q. But the way you'd normally go is Division, right?

8 A. Yes.

9 Q. So that was on your left?

10 A. Yeah.

11 Q. Okay. Sorry, Brian.

12 A. And, I don't know, I mean, I didn't have my windows  
13 down. It's been hot.

14 MR. PIERZINA: Sure.

15 MR. WHITTAKER: I had the air on so I didn't, you know.

16 MR. JOHNSON: There's nothing wrong there.

17 MR. WHITTAKER: Yeah.

18 MR. JOHNSON: We just didn't know.

19 MR. WHITTAKER: I'm just saying that's -- probably had I  
20 maybe had the windows down maybe I might have.

21 BY MR. PIERZINA:

22 Q. I might not have kept up -- so when you and Mick were  
23 trying to get ahead of the spill, was oil already in the Kalamazoo  
24 River at that point?

25 A. There was like a sheen. It wasn't like it was right

1 now. Nothing there like that. It was just kind of coming around.  
2 It wasn't very wide. Just a small kind of a trickle coming around  
3 so we knew apparently it was coming.

4 Q. It's coming.

5 A. Yes.

6 Q. And what time would you put to that?

7 MR. JOHNSON: Ballpark.

8 MR. WHITTAKER: Maybe around anywhere between noon and  
9 1:00 maybe. Well, I can't say that. It might have been -- maybe  
10 it was around 1:00, you know. Like I said, I lost all track of  
11 time once it started because I was running basically.

12 BY MR. PIERZINA:

13 Q. So if we say ballpark 1:00?

14 A. Mick might have a maybe a better --

15 BY MR. JOHNSON:

16 Q. We'll talk to Mick tomorrow.

17 A. Okay. All right.

18 Q. So ballpark at 1:00, plus or minus an hour? And verify  
19 with Mick?

20 A. Okay. All right.

21 Q. Is that fair?

22 A. That's fair enough.

23 Q. We won't tie you to that either.

24 A. No, I'm just saying I did; I lost all track of time  
25 afterwards because --

1 MR. PIERZINA: No cell phone for a watch?

2 MR. WHITTAKER: What's -- yeah, I didn't have a phone  
3 and, well, yeah.

4 MR. GUNTHER: Well, you had one. It was just at the  
5 bottom of the river.

6 MR. WHITTAKER: I had one at the time -- well, yeah.

7 MR. JOHNSON: Use it for a boom maker.

8 BY MR. BUNN:

9 Q. So if the control room had noticed a problem at Marshall  
10 station Sunday night, they would have called you?

11 A. I would hope so.

12 Q. You were the on-call person?

13 A. I was the on-call person, yes.

14 Q. So you were the one to notify if they determined there  
15 was a problem?

16 A. Yes, they would have -- yep. Because I was still on-  
17 call that night.

18 BY MR. PIERZINA:

19 Q. That would be for any abnormal condition, right?

20 A. Yes.

21 Q. So in this instance you've got a tool in the line, you  
22 know, that's moving down the line, and so they've got Darrell  
23 Carter heading to Niles station to isolate the station?

24 A. Yep.

25 Q. That's kind of normal, so they would -- you would expect

1 them to be communicating with Darrell for any responsibilities  
2 that he would have associated with that?

3 A. With Niles?

4 Q. Right.

5 A. Yes.

6 Q. So were you prepared for, you know, the tool coming  
7 towards Marshall or Stockbridge or --

8 A. I was. I mean, that's when I called Darrell just to see  
9 if there was any updates on any times and anything. I just talked  
10 to him with what was kind of going on, so -- you know, and the pig  
11 wasn't moving, so it was like we had no idea when it was going to  
12 be coming through in Marshall.

13 BY MR. JOHNSON:

14 Q. Did you have a prior estimate of time from the control  
15 center when the tool was going to land in Marshall?

16 A. You know, I did, and I'm trying to think when it was.

17 Q. And I don't want to speak for you, was it, because you  
18 didn't come out early --

19 A. No.

20 Q. -- so it probably wasn't during your dayshift --

21 A. No. It would have been -- actually, I think it had  
22 moved back so far, I think, the times had, that it was going to be  
23 on the following -- the next day, on Tuesday morning like  
24 around -- I think it was around 6:00 or 7:00 local, and I wasn't  
25 going to be there to catch it anyway because we were supposed to

1 go to some tech meetings. They were actually going to have some  
2 other people from Griffith come out. I think it was Dennis  
3 Gabrielle was going to come up and isolate my station for the pig,  
4 so --

5 BY MR. PIERZINA:

6 Q. Dennis Gabrielle?

7 A. That's who I was keeping in contact with.

8 Q. So a coordination for catching the tool at Marshall  
9 might have been going on with somebody else because you weren't --

10 A. Because technically I wasn't supposed to be --

11 Q. -- you weren't going to be there?

12 A. Yeah.

13 Q. Okay. And Dennis Gabriella is?

14 A. An Enbridge technician.

15 Q. An Enbridge technician out of Griffith?

16 A. Yes.

17 Q. So you guys run tools. So you're experienced in  
18 receiving or catching a tool?

19 A. Bypassing.

20 Q. Just bypassing the station to allow the tool to go by?

21 A. That's right.

22 Q. Can you describe how that process works generally?

23 A. Generally, all I'm doing is closing the station's  
24 suction and discharge valve, and it's usually like a half-hour  
25 prior to the pig coming to the station, so --

1 Q. That's all prior to the pig arrival?

2 A. Yes.

3 Q. And who and how do you communicate those steps?

4 A. With the control room operator. When they shut the  
5 pumps off, then I call them up, "Are we ready to isolate the  
6 station?" They say, "Yes, go ahead." I shut both the suction and  
7 the discharge valve, and I go out and verify it visually, and then  
8 I come back and I call the control center to let them know that  
9 the station is bypassed so we're ready for the tool. And then  
10 they do have pig trackers that are tracking the pig.

11 Q. Is that a situation where you'd lock out those valves?

12 A. Lock them out?

13 Q. Right.

14 A. No, I don't lock them out.

15 Q. Okay. So during that operation there, you also have a  
16 mainline valve?

17 A. Yes.

18 Q. And so you would want to make sure -- is a part of that  
19 process to make sure that the mainline valve is open?

20 A. A visual. I make sure visually, yes.

21 Q. You say make sure --

22 A. I mean, the station has just been running and the  
23 mainline valve is right there, you know, just down from the  
24 discharge valve.

25 Q. Is there a written procedure for what we're just talking

1 about?

2 A. I don't have a written one at my station. I'm trying to  
3 think as far as --

4 MR. PIERZINA: Jay, you're welcome to help.

5 MR. JOHNSON: I believe that would be a control center  
6 procedure. Their procedure is to call up the technician and have  
7 him isolate the station.

8 MR. PIERZINA: So it isn't in a certain book one, two,  
9 three, four?

10 MR. JOHNSON: It would be in the control center in the  
11 ECC database; isolate which -- enter it into control center  
12 database, which, like I say, they were interviewing them  
13 yesterday. Something that you've been -- I think during some of  
14 the audits, I'll bring that up and the guys will talk. It will  
15 say isolate a station, and it will tell them the steps. It will  
16 say shut the pumps off, contact the station technician and close  
17 the valves, verify that the valves are closed. So that's where  
18 the procedure would come in. What his procedure is is he's got a,  
19 if you will, a stand-alone procedure is how to close a valve.

20 BY MR. PIERZINA:

21 Q. Yeah. And I guess the procedure I'm talking about would  
22 be to ensure that prior to isolating the suction and discharge  
23 valves that you ensure that the mainline valve is open, right?  
24 Because if you shut -- you know, isolate the station with the  
25 mainline valve closed, then you're --

1 A. You've got problems.

2 Q. -- against a valve.

3 MR. JOHNSON: In their situation, again -- and Brian and  
4 I got the time in in how the stations are operated in Minnesota,  
5 if you will. Down here, the line can't run with the station.  
6 Their station valves closed because of the orientation of the  
7 valve. It's not in between the suction discharge tees. So, you  
8 know, if your tees are here, Brian, and the valve --

9 MR. WHITTAKER: Yeah.

10 MR. BUNN: Again, for the record, we're drawing a  
11 picture.

12 MR. JOHNSON: The valve's down here, so you're used to  
13 the mainline valve being in here. His valve is just downstream.

14 MR. WHITTAKER: Or up -- downstream?

15 MR. JOHNSON: Downstream of this, right?

16 MR. WHITTAKER: Yes, it's downstream.

17 MR. JOHNSON: So he's running like this, so if the main  
18 line is running, which it was, just shut the pumps off, this has  
19 to be over -- and they couldn't run the main line, where as here,  
20 this valve can be closed. Or is it the bypass valve like you're  
21 used to, so you would open this and close these two to run a pig  
22 by it?

23 MR. NICHOLSON: But you're saying you don't have that  
24 bypass?

25 MR. JOHNSON: Not down on 6B.

1 MR. NICHOLSON: Okay.

2 MR. JOHNSON: Here, the bypass valve was -- probably  
3 you're aware, and Brian and I are, is here.

4 MR. NICHOLSON: Yeah.

5 MR. JOHNSON: It's not a bypass valve.

6 MR. NICHOLSON: Yeah, it's just either/or.

7 MR. JOHNSON: It's a main line sectionalizing valve. So  
8 when they're calling him up there saying, "Well, okay, we want to  
9 close these two valves," not assuming this is a straight chunk of  
10 30-inch pipe, and we close these so there's no suction on the main  
11 line which might stick a pig in that tee. So that's why we're  
12 isolating here.

13 MR. BUNN: Got it. Yep.

14 MR. JOHNSON: Okay. So, like I said, the control center  
15 is -- you know, they've got a procedure for running a pig by --  
16 isolate a station. Their procedure then will tell call up Brian,  
17 "Okay, we need you to isolate those valves." So just like he  
18 talked about, and then verify back to them. So his procedure  
19 would be how do you close a station valve. So that's a maximal  
20 procedure on how to close a valve or open a valve.

21 MR. NICHOLSON: How -- does the control center get  
22 status from a main line valve?

23 MR. JOHNSON: I believe they've got status on it also.

24 MR. WHITTAKER: They should have status on the station  
25 suction --

1 MR. JOHNSON: Discharge.

2 MR. WHITTAKER: -- and discharge.

3 MR. NICHOLSON: Why do they have a technician physically  
4 shut the suction discharge? Why wouldn't those be remote? The  
5 main line is remote, right?

6 MR. JOHNSON: In some areas we have that. I don't  
7 honestly know that.

8 MR. NICHOLSON: Okay.

9 MR. JOHNSON: And it may be they want verification.

10 MR. NICHOLSON: Okay.

11 MR. JOHNSON: You know, we don't want a pig stuck in a  
12 line.

13 MR. NICHOLSON: Oh, I see.

14 MR. JOHNSON: So I'm just guessing now that they're  
15 like, uh-uh, it's too big of a risk. We want Brian's eyes on --  
16 you know, because they can see the remote indication and image it,  
17 but they're not seeing where that stem is like Brian is. Because  
18 not only did he shut them -- and you saw indications locally, they  
19 saw them remotely -- he saw the stem was down.

20 MR. NICHOLSON: Was down. All right.

21 MR. PIERZINA: Thanks, that helps a lot.

22 MR. GUNTHER: Makes a big difference.

23 MR. PIERZINA: I'll defer questions. Until I come up  
24 with another one.

25 MR. BUNN: So just to clarify, the mainline valve was

1 normally open?

2 MR. WHITTAKER: Yes.

3 MR. JOHNSON: In this area. You know, we've got a lot  
4 of lines in a lot of different circumstances. On line 6B the  
5 mainline station valve is open. You know, if I take you on line 5  
6 in another part of Michigan, it's going to be a bypass valve and  
7 it's normally closed when the line is running because we're  
8 pulling through the station.

9 MR. NICHOLSON: This is getting maybe off subject, but  
10 how do you -- when do you determine when to start Niles station  
11 and when to bypass it? You run your system on pressure? When  
12 you're operating the pumps you're maintaining pressure --

13 MR. JOHNSON: I want to say, yeah, it's pressure. I  
14 mean, you want to maintain whatever pressure. Not being a control  
15 center operator, you know, basically we operate in pairs; we need  
16 this discharge pressure and this suction pressure.

17 MR. NICHOLSON: Okay, all right.

18 MR. JOHNSON: On all these sections, and in order to  
19 keep those pressures, you know, we'd need higher discharge and  
20 then the same thing on the suction, on the downstream station  
21 you're going to have discharge, so you're pulling away.

22 MR. NICHOLSON: No, I understand.

23 MR. JOHNSON: Okay.

24 MR. NICHOLSON: But you do, yeah, you control the  
25 pressure?

1 BY MR. PIERZINA:

2 Q. And then the case of a tool in the line, you know,  
3 that's planned out, it's basically orchestrated by the control  
4 center, right?

5 A. Uh-huh.

6 Q. They've got the pig tracker communicating with them,  
7 and --

8 A. With the control center.

9 Q. And they tell you when they're shutting --

10 A. Well, I mean, we keep in contact with the control center  
11 for the schedule and everything, and then --

12 Q. But you don't --

13 A. When I'm there?

14 Q. Right. You don't shut the station valves until they've  
15 got the station shutdown, right?

16 A. No.

17 Q. So you're kind of flowing through the station with no  
18 pump pressure, and you're just --

19 MR. JOHNSON: You said they shut the units down?

20 MR. WHITTAKER: Yes, as soon as --

21 MR. JOHNSON: The units go down --

22 MR. WHITTAKER: That's my key. Usually the next --  
23 that's usually when I end up calling them. Usually when I hear  
24 the station -- you know, the pumps go down, I call them, say, "Are  
25 we clear to isolate?" They says, "Yes, go ahead." You know, I

1 then go ahead and close both valves. And then, like I said, go  
2 out and visually check.

3 MR. NICHOLSON: So the pig clears the station and then  
4 they just start the pump back up?

5 MR. WHITTAKER: We have to --

6 MR. JOHNSON: He's going to --

7 MR. WHITTAKER: That's when we have to open it, you  
8 know.

9 MR. JOHNSON: They're going to tell him, please --

10 MR. WHITTAKER: De-isolate. Yeah, "Please de-isolate  
11 the station."

12 MR. JOHNSON: So then he does it in reverse.

13 MR. NICHOLSON: In reverse. I got it.

14 MR. GUNTHER: All right.

15 MR. NICHOLSON: I caught this late. I apologize.

16 MR. JOHNSON: And just so you know, earlier, you know,  
17 in between the Darrell conversations, if you would, he was able to  
18 isolate a station quite in advance of the pig coming in.

19 MR. NICHOLSON: Darrell?

20 MR. JOHNSON: Darrell.

21 MR. NICHOLSON: Right.

22 MR. JOHNSON: And then sometimes based on the line  
23 pressure and the needs, we can skip a station.

24 MR. NICHOLSON: Okay.

25 MR. JOHNSON: Sort of like, "You know, we're not going

1 to need that station because of the pressures we're operating  
2 at" --

3 MR. NICHOLSON: Yeah.

4 MR. JOHNSON: -- "so go ahead and shut it down and go to  
5 the room instead of, you know, being 15 minutes ahead of it." So  
6 sometimes --

7 MR. NICHOLSON: I think you just answered my question.

8 MR. JOHNSON: Okay. Because I can see that I'm  
9 confusing you because it caught me off guard a little bit too.  
10 You know, and there's times we'll run the line depending on the  
11 throughput we need, without -- you know, we'll drop a couple  
12 stations off or pumps as you were asking.

13 MR. NICHOLSON: So, then I heard Darrell say he shut his  
14 station down right at, this has probably been talked about  
15 already, at 5:00?

16 MR. JOHNSON: Nope, nope.

17 MR. NICHOLSON: Or 6:10.

18 MR. JOHNSON: Well before the pig would have got there.

19 MR. NICHOLSON: Yeah, well, but then I heard you say you  
20 weren't expecting the pig till Monday or Tuesday or something,  
21 so --

22 MR. WHITTAKER: Well, with the changes in the times and  
23 everything, because like I say, it had gotten backed up from  
24 when -- I don't know. Every once in a while there are periods  
25 where they actually shut the line down, so, you know, they'll just

1 shut the line down and that will throw off the whole schedule  
2 again.

3 MR. NICHOLSON: So they just let Darrell shut down much  
4 earlier because they didn't need that station?

5 MR. JOHNSON: That's my understanding. I think part of  
6 it will come out in the control center interviews, you know, so  
7 what stations they needed and when. You know, if they have a  
8 chance that, you know, Darrell or Brian are on site during their  
9 normal hours, just like, you know, rather than calling you out in  
10 six hours, it's okay to take your station down now and isolate it,  
11 and they don't have to call them six hours later.

12 MR. NICHOLSON: So that might explain the discrepancies  
13 in the --

14 MR. JOHNSON: Yeah. That, you know --

15 BY MR. NICHOLSON:

16 Q. And then when I came back in I heard you guys talking  
17 about first response to the site? Something -- the controllers we  
18 heard in an earlier interview shut the valves remotely. That's  
19 what -- I forget who it was, Jeff or one of the earlier interviews  
20 had said -- right, they called the station. The station said, "We  
21 have isolated a line; there's oil." In a case like that, if they  
22 had isolated a line they knew it was near the Marshall station, so  
23 it should be a call to you --

24 A. I wouldn't -- you mean the mainline valve?

25 Q. Yes.

1 A. Unless the operator told me to shut the mainline valve.

2 Q. Well, they shut it remotely it sounds like.

3 A. Yes, because while -- you know, by the time they called,  
4 I was already out at the station. I had went down to start  
5 assisting with what was going on with --

6 Q. They did call. Okay.

7 A. Yeah, they made the call, so the operators would have,  
8 you know, would have shut the mainline valves.

9 MR. JOHNSON: So if the operators -- and like I say,  
10 part control center interviews, if an operator senses a leak and  
11 shuts valves in, he calls the district manager, the region  
12 manager --

13 MR. NICHOLSON: Who is?

14 MR. JOHNSON: Tom Fridel.

15 MR. NICHOLSON: Okay.

16 MR. JOHNSON: Or his designee, Bill Burdeau. But they  
17 called Tom in this case, and then Tom, then he will contact the  
18 pipeliners, if you will, the pipeline maintenance, not necessarily  
19 a technician unless -- depending on who they're going to use --

20 MR. NICHOLSON: So Jeff. Was it Jeff?

21 MR. JOHNSON: You know, if it's over at Niles, they're  
22 probably going to call Darrell because Darrell can get there  
23 faster than a pipeliner can. In this case, you've got a station  
24 technician, Brian; and a pipeliner, Jeff; and/or Ben. They're  
25 within a mile, and it's very uncommon to have that situation.

1 You're going to call the person to go out and verify the leak  
2 that's closest to that. That's the first thing you're going to  
3 do. At the same time you're letting the pipeline maintenance know  
4 that we are investigating a possible leak, be ready.

5 BY MR. NICHOLSON:

6 Q. So you did get a call and that call was on -- I must  
7 have missed it. When did you receive the call from the operations  
8 center?

9 A. I didn't receive a call personally from the operation  
10 center, no.

11 Q. Okay.

12 A. No, no.

13 Q. Yours came from --

14 A. Basically what I did was -- you mean when I went out of  
15 the station to go start checking on things?

16 Q. Right.

17 A. It was basically my own -- I called my boss to see if  
18 it'd be okay if I could go down and check the Kalamazoo River  
19 valve downstream and then check the Leroy valve, which was  
20 upstream, and but I didn't even have to make it that far.

21 Q. Okay.

22 A. And I had confirmed it with the control center and let  
23 them know that I had -- you know, that I was leaving if it was  
24 okay with them, you know, that I left the station. They said,  
25 "Yeah, that's fine."

1 Q. How many pumps are in Marshall station?

2 A. We have four pumps. Actually, it's a fifth unit too, so  
3 five pumps but only two actually run.

4 Q. You guys got a lot of redundancy.

5 MR. JOHNSON: Well, there's a --

6 MR. NICHOLSON: Are they staged?

7 MR. JOHNSON: At one time this line was looped out, so  
8 as years have gone on, the capacity needs weren't there. We idled  
9 the loops.

10 MR. NICHOLSON: I see.

11 MR. JOHNSON: So, you know, pump stations were pumping,  
12 you know, essentially two 30-inch lines at one time.

13 MR. NICHOLSON: Yeah. Okay.

14 MR. JOHNSON: And then even since then capacity's gone  
15 down, and we've got some pressure restriction in place due to our  
16 -- what's been found in the tools that we run. Because we've got  
17 an ongoing maintenance program right now, so there is restrictions  
18 on that, so that's part of the reason that's the way we run the  
19 pumps.

20 BY MR. NICHOLSON:

21 Q. Are they variable speed?

22 A. Yes.

23 Q. Are they running auto against pressure? I mean does the  
24 speed vary with the line pressure?

25 A. Well --

1 MR. JOHNSON: You have variable -- you have a VFD drive?

2 MR. WHITTAKER: No, I don't have a VFD, actually. No, I  
3 don't have a VFD at the -- I mean they can control --

4 BY MR. NICHOLSON:

5 Q. So would run against a pressure control valve?

6 A. Yes, pressure.

7 Q. You just throttle the discharge, or is that on suction?

8 MR. JOHNSON: No, it's on discharge.

9 MR. NICHOLSON: Okay.

10 MR. JOHNSON: We have some units, and that's why I asked  
11 you, we've got some stations with both VFD drives and that -- and  
12 it's a lot of, well, we need the pressure control valve because  
13 the VFD doesn't respond quick enough.

14 MR. NICHOLSON: Okay.

15 MR. JOHNSON: But the VFD will give us a softer start  
16 and allow us to valve things in from an energy management  
17 standpoint.

18 MR. NICHOLSON: Good.

19 MR. GUNTHER: All right, any more questions? All right,  
20 cut it off.

21 (Whereupon, at 1:30 p.m., the interview in the above-  
22 entitled matter was concluded.)

23

24

25

CERTIFICATE

This is to certify that the attached proceeding before the  
NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF:           ENBRIDGE OIL SPILL  
                                  MARSHALL, MICHIGAN

Interview of Brian Whittaker

DOCKET NUMBER:           DCA-10-MP-007

PLACE:                      Coldwater, Michigan

DATE:                        July 29, 2010

was held according to the record, and that this is the original,  
complete, true and accurate transcript which has been compared to  
the recording accomplished at the hearing.

---

Amy Shankleton-Novess  
Official Reporter

---

Kristen Shankleton  
Transcriber