

UNITED STATES OF AMERICA  
NATIONAL TRANSPORTATION SAFETY BOARD

\* \* \* \* \*

Investigation of: \*  
\*  
ENBRIDGE OIL SPILL, \* Docket No.: DCA-10-MP-007  
MARSHALL, MICHIGAN \*  
\*

\* \* \* \* \*

Interview of: TOM ZIMMERMAN

By Telephone: SCOTT IRONSIDE  
SEAN KEANE  
TREVOR PLACE  
RYAN SPORNS

Conference Room  
Holiday Inn Express  
630 East Chicago Street  
Coldwater, Michigan

Thursday,  
July 29, 2010

The above-captioned matter convened, pursuant to notice,  
at 2:42 p.m.

BEFORE: KARL GUNTHER  
Accident Investigator

APPEARANCES:

KARL GUNTHER, Accident Investigator  
National Transportation Safety Board

[REDACTED]  
[REDACTED]  
[REDACTED]

MATTHEW NICHOLSON, Investigator-in-Charge  
National Transportation Safety Board  
Office of Railroad, Pipeline, &  
Hazardous Materials Investigations

[REDACTED]  
[REDACTED]  
[REDACTED]

MATTHEW FOX, Senior Materials Engineer  
National Transportation Safety Board

[REDACTED]  
[REDACTED]

JAMES BUNN, General Engineer  
BRIAN PIERZINA, General Engineer  
U.S. Department of Transportation  
Pipeline and Hazardous Materials  
Safety Administration

[REDACTED]  
[REDACTED]  
[REDACTED]  
[REDACTED]

JAY A. JOHNSON, Senior Compliance Specialist  
Enbridge Energy Company, Inc.

[REDACTED]  
[REDACTED]  
[REDACTED]

TOM TIDWELL  
U.S. Fish and Wildlife Service

[REDACTED]

I N D E X

<u>ITEM</u>	<u>PAGE</u>
Interview of Tom Zimmerman:	
By Mr. Gunther	4
By Mr. Pierzina	6
By Mr. Gunther	7
By Mr. Pierzina	11
By Mr. Bunn	20
By Mr. Nicholson	26
By Mr. Bunn	34
By Mr. Gunther	42
By Mr. Fox	44

I N T E R V I E W

(3:29 p.m.)

1  
2  
3 MR. GUNTHER: Yeah, I'm Karl Gunther, National  
4 Transportation Safety Board, and we are investigating an oil spill  
5 that occurred in Marshall, Michigan, on July 26th, 2010.

6 INTERVIEW OF TOM ZIMMERMAN, ET AL.

7 BY MR. GUNTHER:

8 Q. First thing, can you give your name, address and phone  
9 number for the record?

10 A. Tom Zimmerman, [REDACTED] What  
11 else? Phone number?

12 Q. Phone number.

13 A. My office phone number?

14 Q. That's fine.

15 A. [REDACTED]

16 Q. Could you give your job title and company affiliation?

17 A. My job title is -- what is my job title? Program  
18 manager, system integrity.

19 Q. Okay.

20 A. With Enbridge Pipelines.

21 Q. And what kind of formal training do you have?

22 A. I'm trained as a civil engineer.

23 Q. Do you have a PE or --

24 A. I'm a professional -- I have professional designation.  
25 I have a BSC in engineering and an MSC and a Ph.D.

1 Q. Right. And are you qualified under your company's OQ  
2 program?

3 A. Am I qualified under my company's OQ program? No.

4 Q. Could you discuss your materials expertise, including  
5 experience and qualifications?

6 A. I've worked on materials-related issues for the 4½ years  
7 I've been at Enbridge and for probably 15 of the 20 years that I  
8 spent with an engineering research company prior to that.

9 Q. Okay.

10 A. I'm not a metallurgist; I'm a civil engineer, so I'm not  
11 a materials expert, but I've been involved in a lot of material-  
12 type investigations.

13 Q. Can you give me the supplier of the accident pipe?

14 A. As far as we know, the supplier is Italsider, an Italian  
15 company that provided pipe. I'm not sure how it was purchased,  
16 but that's the company of record for the pipe in that area.

17 Q. And that is also the manufacturer?

18 A. Yep, they would be -- yep.

19 Q. Okay. Do you have any idea why that particular pipe was  
20 chosen for this application?

21 A. I don't. It was -- the designed pipe for that entire  
22 pipeline is X-52, grade X-52, quarter-inch wall, 30-inch diameter,  
23 API-designated, and this pipe fit those requirements, and it was  
24 purchased, presumably, because of its availability, but I don't  
25 know why that particular pipe was selected.

1 Q. Okay. And what type of coating was installed on the  
2 pipe?

3 A. I'm going to have to -- sorry. It's a polyethylene  
4 tape-coated pipe.

5 Q. Okay. And do you know how it was installed, whether it  
6 was hand- or machine-wrapped?

7 A. I don't. I guess I can ask if anyone in Edmonton knows  
8 that.

9 Q. Are there any mill test reports available?

10 MR. PIERZINA: Karl, I think that was --

11 MR. GUNTHER: Oh, okay.

12 MR. ZIMMERMAN: Yeah. Anybody in Edmonton know if it  
13 was hand-wrapped or machine-wrapped?

14 MR. IRONSIDE: Don't have that detail here.

15 MR. ZIMMERMAN: Yeah, so no.

16 MR. GUNTHER: All right.

17 MR. PIERZINA: Karl, can I just ask one quick question?

18 MR. GUNTHER: Go ahead.

19 BY MR. PIERZINA:

20 Q. The Italsider pipe, is that sometimes referred to as --  
21 or is that synonymous with Siderius?

22 A. I think Siderius is what we had in our records, but when  
23 we've checked into it, the actual name is, I think, Italsider. I  
24 don't think there was a Siderius --

25 Q. Okay.

1 MR. GUNTHER: Okay. Well, could you spell that?

2 MR. PIERZINA: Both of them.

3 MR. ZIMMERMAN: Both of them? Siderius is what is in  
4 some of our records, and that's S-i-d-e-r-i-u-s. And the  
5 Italsider is I-t-a-l-s-i-d-e-r.

6 MR. GUNTHER: Okay.

7 MR. PIERZINA: Thank you.

8 MR. GUNTHER: Because I'm sure that she's going --

9 BY MR. GUNTHER:

10 Q. Are you aware of any internal corrosion that was  
11 observed on -- or that you got on the accident pipe?

12 A. We don't yet know the exact location, so we don't yet  
13 know actually which particular piece of pipe is the accident pipe,  
14 so we don't know if there, in fact, is corrosion at that location  
15 or not.

16 Q. Yeah. The internal -- are you prepared to discuss the  
17 internal inspection that was done on it?

18 A. We can discuss some aspects of it.

19 Q. Yeah. And when was that conducted?

20 A. There have been a number of internal inspections  
21 conducted on that pipeline. The most recent, there was a magnetic  
22 flux leakage inspection for metal loss in 2004 -- sorry, in 2007.  
23 There was an ultrasonic metal loss inspection in 2009. There was  
24 two geometric inspections in 2009, and there is currently a crack  
25 detection tool in the line upstream of that location. It hadn't

1 reached that point yet when the pipeline was shut down.

2 Q. Are you aware of any problems with external corrosion --

3 MR. PIERZINA: Can we back up one? Is there any prior  
4 crack detection tool run?

5 MR. ZIMMERMAN: Yes, there was another -- there was a  
6 crack detection tool run in either 2004 or 2005. Maybe somebody  
7 in Edmonton can confirm. I think it was 2005.

8 MR. IRONSIDE: 2005.

9 MR. ZIMMERMAN: Yeah.

10 MR. PIERZINA: 2005 --

11 MR. ZIMMERMAN: Was a prior crack detection run.

12 MR. PIERZINA: And what tool was that?

13 MR. ZIMMERMAN: The USCD.

14 BY MR. GUNTHER:

15 Q. Okay. Have you had any problems with external corrosion  
16 on that pipe?

17 A. Again, we don't know about the particular piece of pipe  
18 that failed. We'll have to determine that once we expose it.

19 MR. PIERZINA: Can I again interject? And I apologize.  
20 I think it would be good if we could discuss both line 6B, in  
21 general, and -- there's information that we'll want to get, you  
22 know, that you guys have for line 6B, in general, and let's not  
23 get caught up on --

24 MR. ZIMMERMAN: That pipe, yep.

25 MR. PIERZINA: -- exactly where it may have failed.



1 Let's talk about high line, in general, or line integrity --

2 MR. ZIMMERMAN: So, on line 6B, we have, in the past,  
3 detected some internal corrosion defects, some external corrosion  
4 defects, some cracking defects.

5 MR. GUNTHER: Okay.

6 MR. ZIMMERMAN: But, to our knowledge, the pipe of  
7 interest, we don't know what's there yet and won't until we  
8 actually expose it.

9 BY MR. GUNTHER:

10 Q. Okay. Have there been any incidents of stress corrosion  
11 cracking, either aerobic or anaerobic?

12 A. I'm going to have to defer to my colleagues in Edmonton  
13 to answer that one.

14 MR. IRONSIDE: There have been occurrences of stress  
15 corrosion cracking found during field investigations, yes.

16 MR. GUNTHER: Okay. Anything around where the failure  
17 is thought to be?

18 MR. IRONSIDE: Not that we're aware of, no.

19 MR. GUNTHER: Okay. And then why don't you discuss the  
20 implications of the internal inspection done in 2009, the pressure  
21 reduction rationale?

22 MR. IRONSIDE: Sorry, could you repeat that? I'm having  
23 trouble hearing.

24 MR. GUNTHER: I'd like you to discuss the implications  
25 of the internal inspection done in 2009. I know that there was a

1 pressure reduction, so, you know, work the process, how that came  
2 about.

3 MR. IRONSIDE: So part of our process for evaluating in-  
4 line inspection data includes assessing the predicted failure  
5 pressures of the features found in the in-line inspections. And  
6 our processes include implementing pressure restrictions for those  
7 features prior to going out and doing repairs.

8 MR. GUNTHER: Okay. And then what kind of pressure  
9 reduction was undertaken?

10 MR. IRONSIDE: The specific features get a point  
11 pressure restriction to 72 percent of their predicted failure  
12 pressure.

13 MR. GUNTHER: Okay. So the original MAOP was what, and  
14 what would have been the new -- the new MAOP would have been?

15 MR. IRONSIDE: I would have to look at the files to see,  
16 specifically, about each corrosion feature that may have existed.  
17 The MAOP varies along the pipeline.

18 MR. GUNTHER: Okay. The pipeline, when it failed, was  
19 it close to the new MAOP or was it still well below it?

20 MR. IRONSIDE: Below.

21 MR. ZIMMERMAN: Yeah, to the best of our knowledge, it  
22 was well below MAOP, likely in the 80 percent range or something  
23 like that.

24 BY MR. GUNTHER:

25 Q. Yeah, because I was going to say, if your new MAOP was

1 73, then if you're in 80, you're actually above it, so I'm, you  
2 know --

3 A. Sorry?

4 Q. In other words, you know, I'm talking about the percent  
5 of your new MAOP, which I understand is 73 percent of the original  
6 MAOP. Were you above that or below that?

7 A. I presume we were below that. I guess that we'll have  
8 to confirm those numbers for you.

9 Q. All right. And, again, what actions were taken by  
10 Enbridge after your inspection results?

11 A. Actions were to implement point pressures -- well, we  
12 got the inspection results, we analyzed the results, we determined  
13 the failure pressure at all locations where there is a feature  
14 noted, and anywhere where there is a pressure restriction required  
15 in order to return ourselves to a 72 percent -- or a 1.25 safety  
16 margin; 1.39 safety margin, we undertake to -- that's where we  
17 impose our pressure restriction, and then we plan a repair program  
18 and we execute that repair program.

19 MR. GUNTHER: Okay. You got any questions, Matt?

20 MR. NICHOLSON: Well, I came in late. I'm not quite  
21 sure what you've covered.

22 MR. PIERZINA: I've got a few, if you want me to jump  
23 in.

24 MR. GUNTHER: Yeah, we'll go ahead and give it --

25 BY MR. PIERZINA:

1 Q. All right. And just kind of backing up a little bit,  
2 have your Geo Tools identified any dents on the pipeline?

3 A. There are some dents on the pipeline.

4 Scott, can you elaborate on numbers and approximate  
5 locations? There's no dent, I think, in the vicinity of the  
6 failure.

7 Q. Okay, no -- that's good enough for me. Can you describe  
8 the nature of the defect anomalies from the CD tool run in 2005?  
9 And I guess I'm referring to, you know, seam defects, you know,  
10 just whatever you've seen from the CD tool.

11 A. Scott, do you have some information on the various kinds  
12 of defects that were noted by the USCD tool from 2005?

13 MR. IRONSIDE: So we had a little trouble hearing  
14 Brian's question.

15 MR. ZIMMERMAN: Brian wanted to know what kind of  
16 features were discovered by the USCD tool in 2005, just in  
17 general. Were they seam weld, were they cracked field, were they  
18 -- you know, what was there?

19 MR. IRONSIDE: Sure, sure. So there were reported  
20 crack-like features, notch-like features, some crack fields, as  
21 well as some metal loss features, which in the world of ultrasonic  
22 crack detection is effectively low-level SCC.

23 COURT REPORTER: I'm sorry, was what?

24 MR. ZIMMERMAN: Low-level SCC -- S -- all in capitals,  
25 SCC.

1 MR. IRONSIDE: Stress, corrosion, cracking.

2 MR. ZIMMERMAN: Yeah.

3 MR. PIERZINA: Can you provide us the most severe  
4 anomaly indications in the area of the failure? If you can, you  
5 know, focus on, let's say, the six joints, you know, most likely  
6 to be in the area of the failure? What are the most severe  
7 anomaly indications that you have from any ILI tool run that's  
8 been conducted?

9 MR. IRONSIDE: So, for any ILI?

10 MR. PIERZINA: Correct.

11 MR. IRONSIDE: I will start, then, with --

12 MR. PIERZINA: Let me -- excuse -- let me qualify that,  
13 Scott. Any that have not been assessed.

14 MR. IRONSIDE: Any that have not been assessed?

15 MR. PIERZINA: Right.

16 MR. IRONSIDE: Okay. On the crack tool side, then,  
17 there is a metal loss feature in a joint in that vicinity, so if  
18 we're talking within, for example, 10 joints, within the -- what  
19 we believe is the failed section --

20 MR. PIERZINA: Perfect.

21 MR. IRONSIDE: -- there is a metal loss feature  
22 approximately three inches long. There is a crack-like feature  
23 approximately nine inches long. The metal loss features -- we're  
24 just looking through the list here. Sorry. Is there a dent  
25 feature? Okay. So for the 2009 USWM, within this area, there is

1 an external metal loss approximately 6.8 inches long, with a  
2 predicted failure pressure of 1.005 times the specified minimum  
3 yield strength of the pipeline.

4 MR. PIERZINA: I'm sorry, Scott. I need to back up.  
5 You said the 2009, and that's going to be an ultrasonic?

6 MR. IRONSIDE: Ultrasonic WM tool, yeah.

7 MR. PIERZINA: USWM. Thank you. And what was that  
8 feature, again?

9 MR. IRONSIDE: That's an external metal loss.

10 MR. PIERZINA: Okay. And what were the characteristics?

11 MR. IRONSIDE: 6.8 inches in length, depth 47 percent,  
12 predicted failure pressure is 1.005 times the specified minimum  
13 yield strength of the pipeline.

14 COURT REPORTER: I'm sorry, I didn't get that last  
15 phrase.

16 MR. ZIMMERMAN: The specified minimum yield strength.

17 COURT REPORTER: Thank you.

18 MR. PIERZINA: It has an abbreviation, SMYS, and you can  
19 feel free to use that.

20 COURT REPORTER: Okay. Thank you.

21 MR. PIERZINA: Go ahead, Scott. Scott, can you hear me?

22 MR. IRONSIDE: Yes.

23 MR. PIERZINA: Okay. Go ahead.

24 MR. IRONSIDE: There are, I guess, a few other metal  
25 loss features of less severity. I don't know how much -- how far

1 down the list you'd like to go. None of them have a predicted  
2 failure pressure below the specified minimum yield strength of the  
3 pipeline.

4 MR. PIERZINA: All right. And, I'm sorry, maybe we need  
5 to back up, then, and I do think it's important. The three  
6 features that you mentioned from the 2005 CD tool run, do you have  
7 predicted failure pressures on those? Or if you have depth,  
8 predicted depth? Both --

9 MR. IRONSIDE: Sure. I think I spoke of two features  
10 from the CD run.

11 MR. PIERZINA: Okay.

12 MR. IRONSIDE: One is the metal loss feature, which I  
13 previously described as shallow SCC. That has no predicted depth  
14 associated with it from the in-line inspection tool. Our trending  
15 suggests that a maximum depth of that type of feature would be 25  
16 percent through wall.

17 COURT REPORTER: Twenty-five percent what?

18 MR. PIERZINA: Through wall.

19 MR. ZIMMERMAN: Through wall. Through wall.

20 MR. IRONSIDE: The crack-like feature is 9 inches long,  
21 profiled to be maximum depth of 29 percent.

22 MR. PIERZINA: Twenty-nine percent?

23 MR. IRONSIDE: Two-nine.

24 MR. PIERZINA: Thank you. Predicted failure pressure on  
25 that?

1           MR. IRONSIDE: I don't have the exact number here, but  
2 it's above the hydrostatic test pressure at that location.

3           MR. PIERZINA: Okay.

4           MR. IRONSIDE: I'm looking at a chart now that has  
5 numerical numbers.

6           MR. PIERZINA: All right. Thanks, Scott. Can you also,  
7 for those two defects, for each defect, could you give us the  
8 joint number?

9           MR. IRONSIDE: The girth weld number for that feature,  
10 you mean, or for all of them?

11          MR. PIERZINA: For each of these features -- and we're  
12 talking upstream girth weld?

13          MR. IRONSIDE: Upstream girth weld number 4, the  
14 corrosion feature I described is 217640.

15          MR. PIERZINA: Okay.

16          MR. IRONSIDE: The crack-like feature is girth weld  
17 217720. The metal loss feature is joint number 217780.

18          MR. PIERZINA: And just so I know, 217640 -- I'm trying  
19 to get an idea of, you know, the number of joints between 217640  
20 and 217720. How many joints of pipe is that?

21          MR. IRONSIDE: So, Brian, just so you know, what we did  
22 was, after the failure occurred, we looked at joints in that  
23 vicinity. On the crack and dent side we looked approximately 10  
24 joints. On the corrosion side, we looked approximately 20 joints,  
25 so that you're getting an analysis roughly 10 to 20 joints within



1 that vicinity, since we don't know exactly which joint it is.

2 MR. PIERZINA: All right. So, am I correct in assuming  
3 that 217640 and 217720 are 18 joints apart?

4 MR. IRONSIDE: That's correct.

5 MR. PIERZINA: No, I'm sorry. Eight joints apart,  
6 right?

7 MR. IRONSIDE: Eight joints, yes.

8 MR. PIERZINA: All right. And then 217780 is six joints  
9 downstream of that 720, correct? Is that correct, Scott?

10 MR. IRONSIDE: Pardon me?

11 MR. PIERZINA: Oh, I was asking if 217780 is six joints  
12 downstream of 217720?

13 MR. IRONSIDE: Yes, it would be. We're just trying to  
14 confirm that that's the exact right joint number here.

15 MR. PIERZINA: Okay. Thanks. And I appreciate that.  
16 And so, when we -- or when you, Enbridge, excavates the pipeline,  
17 we'll be able to tie into a specific joint number, and as we  
18 expose the failure, be able to fairly readily determine which  
19 joint of pipe we're talking about.

20 MR. ZIMMERMAN: Yeah, I understand they've located a  
21 small fitting just upstream which we can tie into, and it's been  
22 seen by the ILI and it's been found in the field, and that's how  
23 we'll tie in to know exactly which joint we're on.

24 MR. PIERZINA: All right. Thank you.

25 Also, can we -- in this same area that we're talking

1 about, what previous assessments and repairs have been performed  
2 on the pipeline?

3 MR. IRONSIDE: So, as far as what the area would be, if  
4 we're talking plus or minus a mile from this area, there is one  
5 repair upstream, about approximately .7 of a mile, which is a  
6 corrosion repair completed in 1995.

7 MR. PIERZINA: Is that -- which side of Marshall pumping  
8 station would that be on?

9 MR. IRONSIDE: That would be on the suction side of  
10 Marshall.

11 MR. PIERZINA: All right. So it's upstream of the  
12 station. Okay. Thank you. And is that the only repair upstream  
13 of the -- or the closest repair upstream of the failure?

14 MR. IRONSIDE: That's correct.

15 MR. PIERZINA: And how about --

16 MR. IRONSIDE: The closest downstream is a little bit  
17 over a mile away, and that is a sleeve dent -- a sleeve repair for  
18 a dent.

19 MR. PIERZINA: Do you know the assessment results of the  
20 dent as far, you know, the characteristics of the dent? You know,  
21 how big of a dent, you know, was there any metal loss, any  
22 cracking associated with the dent?

23 MR. IRONSIDE: The information I have is the dent depth  
24 was 1-1/16th inch deep. The record I have doesn't describe  
25 whether there was any additional secondary features or not.

1 MR. PIERZINA: When was that repair made?

2 MR. IRONSDIE: 1980.

3 MR. PIERZINA: 1980?

4 MR. IRONSDIE: '80, 8-0.

5 MR. PIERZINA: Thanks. And the repair upstream .7  
6 miles, what was that feature?

7 MR. IRONSDIE: Corrosion.

8 MR. PIERZINA: Okay, you said that. And that was 1995?

9 MR. IRONSDIE: That's correct.

10 MR. PIERZINA: All right. Can we go -- the next repair  
11 downstream, please?

12 MR. IRONSDIE: That takes us another .7 of a mile -- oh,  
13 sorry, that's not a repair. The next repair downstream was a mile  
14 and a half, approximately --

15 MR. PIERZINA: A mile and a half from the failure side?

16 MR. IRONSDIE: -- that was in 2005. It was a corrosion  
17 excavation that required a recoat.

18 COURT REPORTER: Required a?

19 MR. PIERZINA: Recoat.

20 MR. ZIMMERMAN: Recoat.

21 COURT REPORTER: Thank you.

22 MR. PIERZINA: And I tried to over-talk you there,  
23 Scott. Was that a mile and a half downstream of the failure site  
24 area or a mile and a half downstream of that last sleeve repair?

25 MR. IRONSDIE: Downstream of the other repair we spoke

1 of.

2 MR. PIERZINA: Okay. And what year was that?

3 MR. IRONSIDE: 2005.

4 MR. PIERZINA: 2005. Would that have been an assessment  
5 done as a result of the CD tool run?

6 MR. IRONSIDE: This was a result of the 2004 USWM, which  
7 is a metal loss inspection tool.

8 MR. PIERZINA: Okay. I did not have that one -- so is  
9 that an ILI run that we didn't mention, or did I miss it in that  
10 first list?

11 MR. IRONSIDE: I think we only went back to the  
12 latest --

13 MR. PIERZINA: Okay. That's fair enough. And the 2009  
14 tool run was a USWM, right?

15 MR. IRONSIDE: Correct.

16 MR. PIERZINA: All right. Thank you.

17 I think I'll defer to anyone else that might have some  
18 questions but reserve the right to come back, and Jay will tell  
19 you that --

20 MR. JOHNSON: No, no. Scott knows you well enough. He  
21 knows you're not done.

22 BY MR. BUNN:

23 Q. How do you account for tool tolerance in your analysis?

24 A. We normally look at -- once we've completed our  
25 excavation program, we bring that data back and we compare data

1 from our field investigation, you know, what we found in the field  
2 with what the ILI tool has told us, and we look to see if we're  
3 within a certain reasonable margin of error as we plot that  
4 information, and if we are, we simply leave it there. If there's  
5 an obvious bias in one direction or the other, we make adjustments  
6 for that bias.

7 Q. Okay, okay. And what method do you use to calculate  
8 remaining strength?

9 A. RSTRENG for corrosion features, and we --

10 MR. JOHNSON: That's RSTRENG.

11 MR. ZIMMERMAN: Yeah, R-S-T-R-E-N-G. And the crack  
12 features would be Corlas.

13 MR. BUNN: Corlas, okay.

14 MR. PIERZINA: C-o-r-l-a-s.

15 COURT REPORTER: Thank you.

16 BY MR. BUNN:

17 Q. Okay. And the impact property of this pipe, have you  
18 taken samples in the past to run an impact properties?

19 A. What did we use for impact properties for our crack  
20 analysis? That's a question to Scott.

21 MR. IRONSIDE: Twenty foot-pounds.

22 MR. PIERZINA: Scott, this is Brian Pierzina again. At  
23 the Marshall pumping station, you know, I visited there Tuesday  
24 morning, and the posting at the pump station was that the base max  
25 discharge pressure was 523 PSIG. Is that number derived at by

1 pipeline integrity folks or someone else?

2 MR. ZIMMERMAN: Can you ask that question again?

3 MR. PIERZINA: Yeah, I was at the Marshall pumping  
4 station Tuesday morning, and there was, you know, a printout for  
5 base max discharge pressure, you know, minimum -- the set points.  
6 And so the base max discharge pressure was 523 PSIG, and I believe  
7 the date of that printout was July 23rd, 2010. And so I want to  
8 know the -- I wanted to know how the base max discharge pressure  
9 at the Marshall station was determined and, you know, whether  
10 there was an anomaly indication, pressure restricting that. I  
11 haven't tried to calculate, you know, what MOP was or should be,  
12 and don't know. So if you could help fill us in?

13 MR. IRONSIDE: So, Brian, the base max discharge  
14 pressures are established through our control center, based on our  
15 facilities management assessment of the set points required to  
16 meet pressures and pressure restrictions as dictated by the design  
17 of the pipeline as well as any operating restrictions that may be  
18 required by pipeline integrity. The setting that you described,  
19 I'm not -- I don't have that information as far as why that number  
20 was selected.

21 MR. PIERZINA: We -- you understand that, right?

22 MR. ZIMMERMAN: Yep.

23 MR. PIERZINA: We might give them point pressure  
24 restrictions, and they'll come back and determine the base max  
25 discharge to accommodate that, and we don't necessarily know what

1 that setting is because all we're interested in is that we're  
2 protecting those points.

3 MR. JOHNSON: We could, Brian -- the control center -- I  
4 think James Martin -- did you talk to him?

5 MR. PIERZINA: We might need to tie that in.

6 MR. ZIMMERMAN: This -- we can find out.

7 MR. PIERZINA: Yeah. Can you answer, just in general,  
8 are there pressure restricting anomalies between Marshall pumping  
9 station and Stockbridge pumping station?

10 MR. IRONSIDE: Yes, there are.

11 MR. PIERZINA: Yes, there are. What and where are they?  
12 And if there are -- I guess, I don't know if there are a couple or  
13 if there's a hundred, you know --

14 MR. JOHNSON: Probably, what we could do, Brian -- and I  
15 know you looked at the MOP on Toledo. We pull that sheet out and  
16 it'll show on there from facilities management anywhere there's a  
17 point pressure restriction.

18 MR. PIERZINA: That sounds easier.

19 MR. JOHNSON: Basically, that's in a Sharepoint site  
20 that Dave Stafford, who is not here right now, but he could pull  
21 up and show the group and/or print off. Are you aware of what I'm  
22 talking about, Scott or Tom?

23 MR. IRONSIDE: Are you talking about the --

24 MR. JOHNSON: The line description where you put in your  
25 point pressure -- where they put in the point pressure

1 restrictions you've asked for?

2 MR. IRONSIDE: Yes.

3 MR. NICHOLSON: So you're saying there's a drawing  
4 that's --

5 MR. IRONSIDE: Yeah, we're aware of those, yeah.

6 MR. JOHNSON: Yeah, if you will, it's an electronic  
7 drawing that Dave Stafford can pull up on his computer. We can  
8 print it off, also.

9 MR. ZIMMERMAN: And it'll show where the point pressure  
10 restrictions were downstream.

11 MR. GUNTHER: Right.

12 MR. JOHNSON: So, I mean, if you want from here to  
13 here --

14 MR. ZIMMERMAN: And there were some there. I don't know  
15 if you want -- if there's a more general answer we can give for  
16 right now, but there were some downstream.

17 MR. PIERZINA: Can we maybe agree to get that for line  
18 6B. It doesn't sound like it's hard to get, right? And it would  
19 be by segment, or would it -- I mean -- or is it, you know, just  
20 print-out from Griffith to Sarnia?

21 MR. JOHNSON: I think I -- let me call up Dave or I'll  
22 send Dave a note, ask him to go into his computer and do that,  
23 take a look at it and see if that's something we can do on site.  
24 Otherwise, I can have -- or they can have -- Leanne is the one  
25 who's been getting that for us. In fact, maybe that's a better



1 way to do it.

2 Scott, would that be possible for you to get with Leanne  
3 and have her send us the line description for line 6B and have her  
4 e-mail that to Dave Stafford, attach it to an e-mail?

5 MR. IRONSIDE: Yeah, we can take that as an action.

6 MR. JOHNSON: Thank you very much. And then I'll have  
7 Dave print that off.

8 MR. PIERZINA: And would it be possible to get that by  
9 tomorrow morning at 8:00?

10 MR. IRONSIDE: Presumably, yes.

11 MR. JOHNSON: I'm going to say yes, because, you know,  
12 they just gave us access to that last week, because, of course,  
13 that's one of the things that during our inspections is asked for.  
14 So I just don't know where Dave is right now. If he was hooked up  
15 to a computer here, I could pull it up for you.

16 MR. ZIMMERMAN: Somebody there can --

17 MR. JOHNSON: So I know they can. It's on their  
18 Sharepoint site. It's got probably something you wouldn't mind  
19 having anyway.

20 MR. PIERZINA: Okay. I think that's important  
21 information as far as this investigation, and probably a lot more  
22 expedient than what I'm -- you know, the question-and-answer type  
23 of thing, so I think that would be great. I'll back away from the  
24 mike.

25 MR. JOHNSON: Reserving the right.

1           MR. PIERZINA: Reserving the -- absolutely, reserving  
2 the right.

3           MR. ZIMMERMAN: I guess, I mean, all of this kind of  
4 information will be produced in a final investigation report, for  
5 sure, right? So we just need to focus on what do you need right  
6 now, because, obviously, everybody is dealing with different  
7 things in trying to handle the situation, so, you know, all of  
8 this can be provided. Whatever you need right away, we'll try and  
9 get right away, but whatever you don't need right away, just ask  
10 for it and it'll be provided, you know, in whatever time line is  
11 reasonable.

12           MR. NICHOLSON: Yeah, no, I agree. Yeah, I just want to  
13 be sure that we're going to get everything that's been discussed.  
14 I heard a 2004 run, a 2005 inspection run, 2009 inspection run.  
15 Did we discuss anything prior to that?

16           MR. PIERZINA: I guess the only additional thing we  
17 discussed was the 2004 USWM tool run. I think that's of value,  
18 also, and I guess, in my understanding, it sounds like the profile  
19 with the point pressure restrictions, you know, is a relatively  
20 easy request, and the ILI data is going to be a lot more --

21           BY MR. NICHOLSON:

22           Q. These are all easy requests, really, so I think we'd  
23 like to see the results of all those runs and --

24           A. Well, what do you mean by the results of all those runs?  
25 I mean, there's --

1 Q. Well, for the segment that we're talking about.

2 A. Sure. You know, the most reasonable thing -- we're  
3 going to have that pipe exposed fairly quickly.

4 Q. Right.

5 A. Once we expose it and we know which joint it is --

6 Q. What station numbers, right.

7 A. -- then, suddenly, all this -- you know, some of this  
8 stuff becomes academic because then you don't care about the  
9 features that are over there and over there, you care about what's  
10 in this vicinity, right, so --

11 MR. PIERZINA: Well, we do, we do. I think we care  
12 about the entire line from Griffith to Sarnia. Okay.

13 MR. ZIMMERMAN: Well, I mean, there's inspection runs --

14 MR. NICHOLSON: If it's all the same type of pipe, same  
15 tape coat, sure.

16 MR. PIERZINA: Yeah, I mean, we definitely want to know  
17 what failed and why it failed, but we also want to know, you  
18 know --

19 MR. ZIMMERMAN: What else is on the line, sure.

20 MR. PIERZINA: Exactly. And so --

21 MR. GUNTHER: Yeah, we don't want to know there's five  
22 others warming up in the bull pen, getting ready to --

23 MR. ZIMMERMAN: No, but, again, that depends on what the  
24 cause is, right? If this is a long seam failure, for instance, of  
25 course, you're going to focus on the crack tool stuff. If this is

1 a corrosion thing, you're going to focus on that. If it's a dent,  
2 you'll -- you know, so instead of just providing you with a whole  
3 bunch of stuff, let's -- we can see what it is fairly quickly, and  
4 then that will focus us on what we're looking for.

5 MR. PIERZINA: Right. We don't want to needlessly  
6 besiege you with information that we can't use and don't need.

7 MR. GUNTHER: Right.

8 MR. PIERZINA: But don't assume that we're not  
9 interested --

10 MR. NICHOLSON: Right. In other areas.

11 MR. ZIMMERMAN: Of course.

12 MR. PIERZINA: -- in all integrity issues from Griffith  
13 to Sarnia.

14 MR. ZIMMERMAN: Brian, you know our general procedure  
15 is, when we find out what this is, the very first thing we do is  
16 look at where else could there be something like that, right.  
17 That's a prime concern.

18 MR. JOHNSON: So my question is I understand completely  
19 where PHMSA is and Brian -- where he's going with his request.  
20 It's not Brian's first time. I don't know exactly where NTSB  
21 stands with this. I mean, you're investigating an accident to  
22 find the cause of the accident?

23 MR. NICHOLSON: Right.

24 MR. JOHNSON: Do you -- I mean, is the -- maybe you  
25 could explain that --

1           MR. GUNTHER: And, also, prevent it from happening  
2 again.

3           MR. JOHNSON: Well, and that's -- okay. But was it  
4 procedures or what -- so just maybe if you could explain that a  
5 little bit for me --

6           MR. NICHOLSON: We'll look at all of it, though.

7           MR. GUNTHER: We'll look at all of that.

8           MR. JOHNSON: -- because I don't know. I'm not fighting  
9 you whatsoever. I just don't totally understand what an accident  
10 investigation by NTSB does and where it goes beyond that.

11          MR. NICHOLSON: There'll be some overlap. We're  
12 concerned, as well, about areas outside the immediate rupture or  
13 fracture, as well, right. I mean, we want to -- we'll look at the  
14 whole thing. We might not go as far as maybe PHMSA will go,  
15 looking at the line, but we will definitely be interested in areas  
16 just outside the rupture zone, especially if, like I said, it's a  
17 similar tape coat, runs through similar soil --

18          MR. ZIMMERMAN: Yep.

19          MR. NICHOLSON: -- same material, so --

20          MR. JOHNSON: And that's what we do. I just didn't know  
21 how it would fit into your investigation.

22          MR. NICHOLSON: Well, how it fits in is we might be  
23 looking for procedural issues or patterns that, you know, maybe  
24 you had failures upstream five miles that were similar SCC, for  
25 instance, or something else that mimicked this. You know, how did

1 we miss it down here and you caught it up there? Things like  
2 that. So this will have --

3 MR. ZIMMERMAN: Yeah, the condition of the rest of the  
4 line is certainly relevant, so --

5 MR. NICHOLSON: It can be.

6 MR. JOHNSON: And I'm okay with that. I just didn't  
7 know how that fit it.

8 MR. NICHOLSON: Yeah.

9 MR. PIERZINA: So I think that the profile that we  
10 discussed, you know, to get e-mail to you, that just seems to me a  
11 very good short-term fulfillment of a need that we have, you know,  
12 right now --

13 MR. ZIMMERMAN: Sorry. Our profile?

14 MR. JOHNSON: That Leanne -- that facilities  
15 management --

16 MR. PIERZINA: The point pressure restriction --

17 MR. ZIMMERMAN: Oh, sure, sure, sure, yeah, yeah.

18 MR. PIERZINA: And, actually, Matt brought up a good  
19 point, which was going to be my next question when I felt rested.  
20 The prior leak history on line 6B, I -- can you please describe  
21 what we have for prior leak history on -- let me just say main  
22 line, line 6B?

23 MR. ZIMMERMAN: Have you got it sitting there in front  
24 of you, Scott?

25 MR. IRONSIDE: Yes, I do. I'll maybe start at the most

1 recent and then move backwards.

2 MR. PIERZINA: Great.

3 MR. IRONSIDE: Is that fine?

4 MR. PIERZINA: Yep.

5 MR. IRONSIDE: 2006, in July, a girth weld crack --

6 COURT REPORTER: I'm sorry?

7 MR. ZIMMERMAN: Girth weld crack.

8 MR. PIERZINA: And if you could, the location of the  
9 release or failure?

10 MR. IRONSIDE: What I have in front of me is mileposts,  
11 so I can give you a milepost.

12 MR. PIERZINA: Perfect.

13 MR. IRONSIDE: It's 647. That's the milepost from  
14 Superior, Wisconsin.

15 MR. PIERZINA: Oh, I was just concentrating on 6B,  
16 Scott.

17 MR. JOHNSON: No, but that's the milepost -- basically,  
18 mileposts start at Superior and come to here.

19 MR. PIERZINA: Oh, right, okay, all right.

20 MR. JOHNSON: Believe me, I've got to draw the line  
21 where it goes.

22 MR. IRONSIDE: To Griffith is -- I don't know, Jay,  
23 what's Griffith? Four-something?

24 MR. JOHNSON: Again, I don't know offhand.

25 MR. IRONSIDE: Okay.

1           MR. PIERZINA: Okay. Milepost 647 works for me. When  
2 you threw in Superior, that threw me for a little loop, but we're  
3 good.

4           MR. IRONSIDE: I apologize. That's just the format that  
5 I have it in here.

6           MR. PIERZINA: That's fine.

7           MR. IRONSIDE: So I'll give you date, milepost and type  
8 of failure. Is that acceptable?

9           MR. PIERZINA: I think that's great, Scott.

10          MR. IRONSIDE: Okay. The one prior to that was February  
11 2002, milepost 489, also on a girth weld. June of 1995, milepost  
12 672, external corrosion, a pinhole leak. June of 1988, milepost  
13 722, this occurred in piping that crossed over to a loop, so it's  
14 not necessarily right on the main line, it's the looped pipe, and  
15 it was an external corrosion rupture.

16          MR. PIERZINA: I missed that milepost, Scott.

17          MR. IRONSIDE: 722.

18          MR. PIERZINA: What's the end-of-the-line milepost?

19          MR. ZIMMERMAN: 750, or something, 751, is that --

20          MR. PIERZINA: Okay.

21          MR. ZIMMERMAN: Is that the end milepost, 751?

22          MR. PIERZINA: All right. Thanks.

23          COURT REPORTER: Did he say the icing crossed over?

24          MR. PIERZINA: Piping.

25          MR. ZIMMERMAN: Piping.



1 COURT REPORTER: Okay. I'm sorry.

2 MR. IRONSIDE: Prior to that, in July of 1987, milepost  
3 715, a rock dent leak.

4 MR. PIERZINA: I'm sorry, a what?

5 MR. JOHNSON: Rock dent leak.

6 MR. ZIMMERMAN: Rock dent.

7 MR. JOHNSON: And while you're doing this, from a  
8 reference standpoint, we're at milepost 607, 608 out here.

9 MR. ZIMMERMAN: Yep.

10 MR. JOHNSON: So as you're --

11 MR. NICHOLSON: Where we think the rupture is.

12 MR. JOHNSON: Yes.

13 MR. NICHOLSON: 6-0- --

14 MR. ZIMMERMAN: Yeah, 608.

15 MR. JOHNSON: 6-0-8. Yeah, 608. So, from a reference  
16 standpoint, as you hear 700, you're like, okay, we're this far  
17 away. I just thought that might be helpful.

18 MR. NICHOLSON: That's very helpful, yes, sir.

19 MR. IRONSIDE: And just so you know, there are seven  
20 more that take us back to 1970. Would you like me to continue  
21 right through that?

22 MR. PIERZINA: You know, let's do it.

23 MR. JOHNSON: Yeah, and then, plus, we're going to get a  
24 printout of this, but in the meantime you've got it, so why not,  
25 Scott? You're on a roll.

1 MR. IRONSIDE: All right. May 1987, milepost 750,  
2 external corrosion leak. October 1985, milepost 751, external  
3 corrosion leak. January 1984, milepost 512, external corrosion  
4 leak. November 1979, milepost 714, a dent leak.

5 MR. PIERZINA: Dent leak?

6 MR. IRONSIDE: January 1979, milepost 475, a buckle  
7 inside the casing, hairline crack in the buckle. In April 1978,  
8 milepost 681, a buckle, two small pinholes at the end of a casing.  
9 June 1970, milepost 467, a long seam leak.

10 MR. PIERZINA: What was that year again?

11 MR. IRONSIDE: 1970.

12 MR. ZIMMERMAN: And construction was '69, I think.

13 That's it.

14 MR. PIERZINA: That's the bunch, huh?

15 MR. IRONSIDE: Excuse me?

16 MR. PIERZINA: Oh, sorry. I'm just thinking.

17 MR. ZIMMERMAN: Carry on.

18 MR. GUNTHER: Okay.

19 BY MR. BUNN:

20 Q. Tom, have you done fatigue analysis anomalies on this  
21 line?

22 A. Sean, have we done any fatigue analysis on this line? I  
23 mean, we do our normal pressure cycling analysis every quarter,  
24 and that would be done for this line, as well as the rest of our  
25 lines --

1 MR. KEANE: Yep.

2 MR. ZIMMERMAN: -- so it's an indication of the --

3 MR. KEANE: The pressure cycle monitoring?

4 MR. ZIMMERMAN: Yeah, it's done for this. I don't know  
5 if we've done any specific -- for any specific defect that we  
6 found, if we calculated fatigue life beyond the pressure cycling  
7 analysis, Sean?

8 MR. KEANE: Sure. So -- Sean Keane.

9 MR. BUNN: Yeah.

10 MR. ZIMMERMAN: This is Sean Keane.

11 MR. KEANE: What we do is we do a fatigue analysis type  
12 of assessment every quarter on the pipeline, and I'll explain. It  
13 includes calculating a fatigue life for a 20 percent deep starting  
14 flaw and growing it to failure, and determining the life of that,  
15 the time to go to failure. For this particular -- and then we  
16 compared back with (indiscernible) recognized, aggressiveness of  
17 the pressure cycling --

18 COURT REPORTER: I'm sorry, I didn't catch the last --

19 MR. KEANE: -- and so, for this particular pipeline, the  
20 pressure cycling is what we consider light --

21 MR. PIERZINA: Sean, hold -- hey, Sean, can you hold --  
22 Sean, hold up one second. Our court reporter missed something  
23 that it might be hard to get back to.

24 COURT REPORTER: Could he just repeat that last sentence  
25 a little slowly --

1 MR. ZIMMERMAN: How far did you get?

2 COURT REPORTER: Oh, I've got it all, I'm just not clear  
3 on --

4 MR. ZIMMERMAN: Oh, okay.

5 COURT REPORTER: Maybe just that last sentence.

6 MR. ZIMMERMAN: Do you remember your last sentence,  
7 Sean?

8 COURT REPORTER: I'm sorry.

9 MR. ZIMMERMAN: That's okay.

10 MR. BUNN: Well, you mentioned that you grew the defects  
11 to failure, a 20 percent defect to failure. What --

12 MR. ZIMMERMAN: Yeah. It's not an actual defect --

13 MR. BUNN: Right.

14 MR. ZIMMERMAN: -- it's a standard defect size, 20  
15 percent deep, 6 inches long, and we use the actual SCADA data --

16 MR. BUNN: Yes.

17 MR. ZIMMERMAN: -- and we see how long that will -- you  
18 know, what the life of that is, and then we plot that every  
19 quarter, and that gives us some indication of what the pressure  
20 cycling severity is on this line. And I don't think the pressure  
21 cycling severity at Marshall station is particularly severe. In  
22 fact, I think it's particularly not severe.

23 BY MR. BUNN:

24 Q. How about the C and N values that you used? Do you know  
25 what those would be?

1           A.    The C and N values we're using now are 8.61, if that  
2 means something to you, for the C value and an N value of 3.

3           Q.    Thank you.

4           MR. PIERZINA:  Just to kind of wrap my arms around some  
5 of my thoughts, am I correct in looking at what, you know, we've  
6 gotten so far from you and thinking that the 9-inch long, 29  
7 percent reported defect from the 2005 CD tool run is the most  
8 severe feature that is known in the area?  Is that a fair  
9 statement?

10          MR. KEANE:  Yep.

11          MR. PIERZINA:  Okay.  If, in your fatigue analysis, if  
12 you grow that defect for five years with your known pressure  
13 cycles at Marshall, what would you predict that -- I'll ask it.  
14 What would you predict that feature to look like today, or --

15          MR. IRONSIDE:  Sean did that analysis.  I'll let him  
16 describe that to you.

17          MR. PIERZINA:  All right.  Thanks.

18          MR. JOHNSON:  Sean Keane will be speaking now.

19          MR. KEANE:  So for that particular feature, what we  
20 would do is we would -- within our own processes, we have an --  
21 pardon me -- uncertainty management process, which includes --  
22 including a maximum depth of the depth in, plus the measured bias  
23 from the tools in the field ILI correlations.  So, using that,  
24 starting defect size with a 47 percent deep, we would predict that  
25 it would grow to -- I don't have the exact value in front of me, I

1 just have a graph, but it's less than 50 percent. The cycling on  
2 the station is quite light.

3 MR. PIERZINA: So, if I heard you right, your fatigue  
4 analysis predicts that feature to be somewhat less than 50 percent  
5 depth now, right?

6 MR. KEANE: Correct. That's correct.

7 MR. ZIMMERMAN: On an upper side, right? What starting  
8 crack size were you using for that, Sean?

9 MR. KEANE: That's a 47 percent deep starting crack  
10 size.

11 MR. ZIMMERMAN: Which was their profile depth or  
12 their --

13 MR. KEANE: No.

14 MR. ZIMMERMAN: -- upper end of the bin --

15 MR. KEANE: So the profile depth is 29 percent deep --

16 MR. ZIMMERMAN: Yeah.

17 MR. KEANE: -- but, when we do a fatigue analysis of  
18 this type, what we do is we take the maximum depth from the depth  
19 reporting bin from the USCD ILI tool.

20 MR. ZIMMERMAN: Yeah, so, good. So I'm just pointing  
21 out that that wouldn't be our best guess at what the depth of that  
22 crack would be; that would be the upper end of what we think it  
23 could be, because we're using a crack size -- we're not using the  
24 crack size reported by the CD, we're putting a big error band on  
25 that and saying, well, it could be deeper than that. So, if it

1 was deeper than that, here's how much it would grow. So it's a  
2 little bit different than saying that's what we think that crack  
3 depth is.

4 MR. PIERZINA: Well, and that helps me because -- all  
5 right. So, essentially, what you're saying is that your fatigue  
6 analysis predicts very little growth of that defect in the five  
7 years since the last CD tool run?

8 MR. KEANE: That's correct.

9 MR. ZIMMERMAN: And that's consistent with the fact that  
10 our pressure cycling analysis doesn't show very severe pressure  
11 cycling at that station.

12 MR. PIERZINA: And your pressure cycle analysis is based  
13 on each station, or do you use representative --

14 MR. ZIMMERMAN: It's done for every station.

15 MR. PIERZINA: Okay.

16 MR. ZIMMERMAN: We pull pressure data for each station,  
17 and we do this calculation for each station.

18 MR. PIERZINA: Okay.

19 MR. ZIMMERMAN: And none of them are very severe, but  
20 Marshall is probably one of the least severe. I don't know if  
21 it's the least. It's not in the upper side of what's there,  
22 anyway.

23 MR. BUNN: Why don't we talk about the pipe  
24 specification. You did confirm it's double-submerged arc-welded?

25 MR. ZIMMERMAN: It is double-submerged arc-welded.

1           MR. GUNTHER: Let's see. We haven't discussed  
2 hydrostatic testing. Did you do any of that, and what were the  
3 results?

4           MR. ZIMMERMAN: My recollection is there was a hydrotest  
5 done during original construction, and not since. But is that  
6 correct, Scott?

7           MR. IRONSIDE: Yes.

8           MR. JOHNSON: And that's a request that we'll also give  
9 you, the test records.

10          MR. ZIMMERMAN: Yep.

11          MR. PIERZINA: Were there any failures as a result of  
12 the post-construction hydrostatic test?

13          MR. IRONSIDE: We don't have that information here,  
14 Brian.

15          MR. PIERZINA: Okay.

16          MR. JOHNSON: And I'm not sure, Brian, based on the time  
17 frame for that, that it would be recorded, but we'll certainly  
18 look.

19          MR. PIERZINA: Okay.

20          MR. GUNTHER: Okay. Do you have the metal certs for  
21 this pipe?

22          MR. JOHNSON: Yes, we do.

23          MR. GUNTHER: Okay. If we can get a copy of that?

24          MR. JOHNSON: That's on your request list.

25          MR. BUNN: Yeah. Do you have third-party inspection



1 reports?

2 MR. JOHNSON: I don't believe so. The folks back in  
3 Superior are working with our technical records person. That -- I  
4 want to say that's a gray area. Gray to black. How's that?

5 MR. GUNTHER: Okay. Anybody else have any more  
6 questions?

7 MR. JOHNSON: No.

8 MR. PIERZINA: Oh, somebody ask something. I'm  
9 thinking.

10 MR. JOHNSON: I'll give you a little window here, Brian.  
11 I'm going to help you, as much as I know better. You know, we've  
12 got Trevor on here. Trevor was the person -- you know, we talked  
13 about we would -- Tom, with help, would represent the external  
14 corrosion, the internal corrosion, the in-line inspection, and  
15 along with the metallurgical side of things we've done. So I just  
16 -- I mean, that -- those were the items that we've got this group  
17 together for. I just wanted to make sure that, when we've got  
18 them, we've covered your questions there.

19 MR. NICHOLSON: Well, I wasn't in on all the questions.  
20 So you guys covered SCC and --

21 MR. JOHNSON: Yes, we did.

22 MR. NICHOLSON: You mentioned there was SCC, but did you  
23 talk about how you -- when it's discovered, what do you do? Do  
24 you outer test or do you direct assess, do you --

25 MR. ZIMMERMAN: We measure -- we determine depths in the

1 field, and, normally, we buff it out and recoat.

2 BY MR. GUNTHER:

3 Q. And one thing I'll note, Matt, and the earlier guy who  
4 was here before you, the cathodic protection numbers looked good;  
5 however, that particular type of coating does what's called  
6 cathodic shielding. So just because the cathodic numbers are in  
7 the 2s, it doesn't mean that SCC hasn't been going on or is going  
8 on.

9 A. But, you know, hopefully, we find those things with our  
10 ILI, right?

11 Q. Yeah.

12 A. And that's why we run ILI more frequently on this line  
13 than other lines, because it is a tape-coated line, so we  
14 understand there can be shielding; and, therefore, we need to find  
15 defects and repair them.

16 MR. NICHOLSON: And you run ILI and you think it's a  
17 pretty good detection tool for SCC? You think you get pretty good  
18 resolution for something like that?

19 MR. ZIMMERMAN: That's all you got. I mean, you can do  
20 direct -- you know, there's a bit of magic there, as well, but we  
21 think it's the best way.

22 MR. PIERZINA: This is Brian, again, and thank you all  
23 very much. That 9-inch long feature, is that an externally  
24 connected defect or an ID-connected defect?

25 MR. IRONSIDE: External.

1           MR. PIERZINA: Externally. Are there indications of  
2 what's referred to as narrow axially oriented external corrosion  
3 associated with line 6B?

4           MR. IRONSIDE: There are low-level areas of it on line  
5 6B, yes.

6           MR. PIERZINA: And what's low-level?

7           MR. IRONSIDE: Sorry. In the area that was analyzed in  
8 the last -- in the 20 joints around the feature, there's low-level  
9 in the order of 25 percent deep, that type of lower-level  
10 corrosion.

11          MR. ZIMMERMAN: That's NAEC?

12          MR. IRONSIDE: That could be considered narrow and axial  
13 external corrosion, yes.

14          MR. PIERZINA: Okay. And that's in the immediate area  
15 of the failure. How about the pipeline, in general, you know,  
16 from Griffith to Sarnia?

17          MR. IRONSIDE: Certainly, yes, there is narrow -- I  
18 mean, that's a common occurrence with Polyken tape-coated pipeline  
19 is to have narrow external corrosion. And because of that, we run  
20 both technologies, the ultrasonics, as well as the MFL, to manage  
21 that threat.

22          MR. PIERZINA: All right. Thanks. Sorry, just thinking  
23 again. I have to back up to what you just said. You said you  
24 used both technologies? You're talking ultrasonic wall  
25 measurement and --

1 MR. ZIMMERMAN: And MFL.

2 MR. PIERZINA: -- MFL and cracked -- you know, you  
3 integrate all --

4 MR. ZIMMERMAN: Yeah. He meant the two technologies for  
5 finding corrosion.

6 MR. PIERZINA: Okay.

7 MR. ZIMMERMAN: Right. We use the ultrasonic and the  
8 magnetic. One finds NAEC, the other's not so good at NAEC, the  
9 other one's better at -- you know, they find different things,  
10 right, so we run them both on tape-coated lines.

11 MR. PIERZINA: Sure, sure. In any of you guys'  
12 experience, does the NAEC have a propensity or could it fatigue or  
13 at what point might it, you know, begin, you know, started as a  
14 corrosion defect and turn into something that fatigues through the  
15 wall?

16 MR. ZIMMERMAN: I mean, I think we've seen -- not on  
17 6B, in particular, but we have seen incidents on other lines where  
18 cracks grew from corrosion defects in the long seam, adjacent to  
19 the long seam. But, again, our protection is to find those cracks  
20 with our crack ILI tool before they grow to any severe depth, and  
21 we would expect that that's what could happen here, that's what  
22 would happen here.

23 MR. PIERZINA: Okay.

24 BY MR. FOX:

25 Q. Can you describe the ILI tool? I don't know if you

1 already did that or --

2 A. No. There are a number of different kinds of ILI tools  
3 that we've ran on this line.

4 Q. Okay.

5 A. There's an ultrasonic wall loss tool -- metal loss tool  
6 that we run and we ran in 2004 and again in 2009. And there's an  
7 MFL, magnetic flux leakage tool, that was run in 2007. And  
8 there's an ultrasonic crack detection tool that was run in 2005  
9 and is in the line right now, although it hasn't passed that  
10 point.

11 Q. In '05?

12 A. In '05 and again in 2010, but not completed. It's in  
13 the line. And we've also --

14 Q. And when was the mag flux?

15 A. Magnetic flux leakage was in -- when was the MFL? In  
16 2000 and --

17 Q. In '07?

18 A. '7, yeah.

19 MR. NICHOLSON: Is that a second generation?

20 MR. ZIMMERMAN: It's whatever -- I presume it is. It's  
21 GE's modern MFL tool.

22 MR. PIERZINA: We need your name for the record.

23 MR. FOX: Yeah. I'm Matt Fox. I'm materials engineer,  
24 senior materials engineer, with the National Transportation Safety  
25 Board.

1 COURT REPORTER: Thank you.

2 MR. GUNTHER: All right. Any more questions? All  
3 right, well --

4 MR. PIERZINA: Thank you, guys.

5 MR. GUNTHER: Thanks, yeah.

6 MR. ZIMMERMAN Yeah, I'm sure there'll be a bunch more  
7 once we dig it up and see what's there, right?

8 MR. NICHOLSON: Yes.

9 MR. BUNN: That'll change everything.

10 MR. ZIMMERMAN: That'll focus us all.

11 MR. PIERZINA: I'd like to say, oh, just one more, but  
12 that's not even funny, so --

13 MR. GUNTHER: Yeah, this is your guy, so --

14 MR. ZIMMERMAN: So is that all of the questions for this  
15 group?

16 MR. JOHNSON: That's what I wanted to clarify. I mean,  
17 you know, that's the external, that's the internal, it's the in-  
18 line inspection and the metallurgical questions.

19 MR. GUNTHER: Yeah, all right.

20 MR. PIERZINA: Okay. Thank you guys very much in  
21 Edmonton. We'll let you go.

22 MR. IRONSIDE: Okay. Good luck out there, guys.

23 MR. JOHNSON: All right. Thank you.

24 MR. PIERZINA: Thanks, guys.

25 (Whereupon, at 4:33 p.m., the interview was concluded.)

CERTIFICATE

This is to certify that the attached proceeding before the  
NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF: ENBRIDGE OIL SPILL  
MARSHALL, MICHIGAN  
Interviews of: Tom Zimmerman, et al.

DOCKET NUMBER: DCA-10-MP-007

PLACE: Coldwater, Michigan

DATE: July 29, 2010

was held according to the record, and that this is the original,  
complete, true and accurate transcript which has been compared to  
the recording accomplished at the hearing.

---

Amy Shankleton-Novess  
Official Reporter

---

Cheri Grissom  
Transcriber