

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

\* \* \* \* \*

Investigation of:

\*  
\*

MINNEHAHA ACADEMY SCHOOL EXPLOSION \*

MINNEAPOLIS, MINNESOTA

\*

Accident No.: DCA17MP007

August 2, 2017

\*

\*

\* \* \* \* \*

Interview of: SHANE JONES

Fire Station #21  
Minneapolis, Minnesota

Saturday,  
August 5, 2017

## APPEARANCES:

ROGER EVANS, Investigator in Charge  
National Transportation Safety Board

MICHAEL HOEPF, Chairman, Human Performance Group  
National Transportation Safety Board

EDWARD KENDALL, Attorney  
National Transportation Safety Board

DANA SANZO, Accident Investigator  
National Transportation Safety Board

BRIAN PIERZINA, Senior Investigator  
Pipeline and Hazardous Materials Safety Administration  
(PHMSA)

BEVERLEY MELCHISEDECH, Vice President Operations Support  
CenterPoint Energy

DAVID SCHULTZ, Chief Executive Officer  
Master Mechanical

SYLVIA SCHWARZ, Senior Engineer  
Minnesota Office of Pipeline Safety

DANIEL BOWLES, Executive Director of Finance &  
Operations  
Minnehaha Academy

THOMAS TOBIN, Esq.  
Wilson Elser Law Firm  
(On behalf of Mr. Jones)

I N D E X

ITEM

PAGE

Interview of Shane Jones:

By Mr. Evans

6

I N T E R V I E W

(1:42 p.m.)

1  
2  
3 MR. EVANS: Good afternoon. Today is August 4th. It is now  
4 1:42 p.m. My name is Roger Evans. I'm the investigator in charge  
5 with the National Transportation Safety Board in Washington, D.C.  
6 We are at the Minneapolis Fire Department, Precinct No. 21, in  
7 Minneapolis, Minnesota.

8 This interview is being conducted as part of the  
9 investigation into the Minnehaha Academy School --

10 MR. HOEPF: Sorry, Roger. You said the 4th. It's the 5th.

11 MR. EVANS: Thank you. August 5th. Excuse me. We're at the  
12 -- excuse me. This interview is being conducted as part of the  
13 Minnehaha Academy School explosion that occurred on August 2nd.  
14 This case number is DCA17MP007<sup>1</sup>.

15 This interview is being recorded and may be transcribed at a  
16 later date. A copy of the transcript will be provided to the  
17 interviewee for review prior to being entered into the public  
18 docket.

19 Mr. Shane Jones, you're permitted to have one other person  
20 present during the interview. This is a person of your choice --  
21 a supervisor, friend, family member, or nobody at all. Please  
22 state for the record who you have selected to be present during  
23 the interview, as well as the spelling of your name and your job  
24 title.

---

<sup>1</sup> Corrected accident number

1 MR. JONES: My name is Shane Jones, S-h-a-n-e, J-o-n-e-s.  
2 I'm an area manager at CenterPoint Energy. I've picked Thomas  
3 Tobin as my representative.

4 MR. EVANS: And, Mr. Tobin, can you please spell your name  
5 and spell the name of your firm?

6 MR. TOBIN: Thomas Tobin, T-o-b-i-n, and I'm with the Wilson  
7 Elser, E-l-s-e-r, Law Firm.

8 MR. EVANS: Okay. Let's go around the room now and have  
9 introductions of your name, spelling of your name and your  
10 affiliation.

11 MR. KENDALL: Edward Kendall, K-e-n-d-a-l-l, attorney, NTSB.

12 MS. SANZO: Dana Sanzo, S-a-n-z-o, investigator with NTSB.

13 MR. SCHULTZ: David Schultz, Schultz, CEO, Master Mechanical.

14 MS. MELCHISEDECH: Beverly Melchisedech, Melchisedech. I'm  
15 Vice President, Operations Support for CenterPoint Energy.

16 MR. BOWLES: Dan Bowles, B-o-w-l-e-s, Executive Director of  
17 Finance & Operations at Minnehaha Academy.

18 MS. SCHWARZ: Sylvia Schwarz, S-c-h-w-a-r-z, senior engineer,  
19 Minnesota Office of Pipeline Safety.

20 MR. PIERZINA: Brian Pierzina, B-r-i-a-n, P-i-e-r-z-i-n-a,  
21 senior investigator with the PHMSA Accident Investigation  
22 Division.

23 MR. HOEPF: Mike Hoepf, H-o-e-p-f, NTSB, human performance.

24 MR. EVANS: Thank you.

25 Thank you, Shane, for agreeing to talk with us today.

## 1 INTERVIEW OF SHANE JONES

2 BY MR. EVANS:

3 Q. Before we begin the questioning, I'd like to get some  
4 background information: education, how long you've been at your  
5 current position, previous positions within the company, and  
6 perhaps going back to, if it was a short stay at this company, the  
7 company before CenterPoint.

8 A. I have a Bachelor's of Science in Geography, minor in  
9 cartography, from the University of Wisconsin-River Falls. I've  
10 been at CenterPoint for about 19 years. Before that, it was  
11 miscellaneous jobs going through school.

12 Since I've been at CenterPoint, I was hired as a GIS  
13 specialist, where I entered data into the computers for the  
14 mapping on gas. I then moved to a AutoCAD specialist where I drew  
15 up the detailed drawings for regulator stations and -- you call  
16 them trees and posts, posts and loops that cut pressure down.

17 Then I moved into a commercial designer. I think I did that  
18 for about 3 years, where I was designing commercial services and  
19 meter sets, helping out engineers with rehab jobs and things for  
20 main jobs. I did a stint of inspecting as a steel inspector for  
21 about 3 months for CenterPoint.

22 Then I moved to a supervision role with new market and  
23 development. I had the new construction for the State of  
24 Minnesota, working with our contractor. Then I took on the steel  
25 as well, so I was doing new and steel with the contractor for

1 about a year and a half. Then I moved to DRO, District Regulation  
2 Odorization. It's actually instrumentation as well. I did that  
3 for about 5 years, and now I'm an area manager for the South Metro  
4 District, and it's been about 2 years.

5 Q. Okay. Thank you. In your current role, can you describe  
6 your roles and responsibilities that you have for this -- that  
7 particular position?

8 A. I manage seven supervisors, two on the gas operations side  
9 and five on the Home Service Plus side. Day-to-day management,  
10 HR, getting involved in -- with union negotiations and the day-to-  
11 day operations in the South Metro.

12 Q. In all these positions you've had with CenterPoint, have you  
13 had any involvement with the preparation of procedures for  
14 operational procedures?

15 A. As far as creating a procedure to do a task?

16 Q. Yes.

17 A. I cannot remember one off the top of my head.

18 Q. Okay. Fine. When you -- can you describe for us a typical  
19 scope and how you would involve those individuals, the seven  
20 individuals that report to you, just a typical workday?

21 A. So typical workday, touch base with the folks in the morning  
22 and find out if they have any big projects that they need help  
23 scheduling, pulling other groups together in; see if they have any  
24 employee issues. Try and give assignments, if some are  
25 overloaded, trying to move the work around a little bit to even

1 the workload out, make sure we're making our dates.

2 Q. And what is the extent of the scope that these ops people are  
3 doing in the home service? Just roughly what -- the  
4 generalized --

5 A. The two operations supervisors are strictly on the gas side.  
6 The five HSP supervisors are strictly on Home Service Plus. So  
7 there's regulated and there's non-regulated, so there's a direct  
8 line. The HSP folks do help and respond for emergency response.  
9 Sometimes they're closest, so they'll be the first responders to  
10 come out and help develop the zero perimeter and take gas reads,  
11 help make the area safe, while the construction and maintenance  
12 crew is en route.

13 Q. Okay. We just had Reggie in here, who was out there on the  
14 pipeline side. That's not the meter side, he was telling us.  
15 Would that person report to someone that reports to you?

16 A. Yes, he would. He reports to Nathan Toedter, T-o-e-d-t-e-r.

17 Q. T-o-e- --

18 A. D-t-e-r.

19 Q. Nathan, okay. And what's Nathan's title?

20 A. Supervisor.

21 Q. Okay. And how many of the Reggies of the world does he have  
22 under him, just roughly?

23 A. He has seven foremen under him right now.

24 Q. Okay. So as far as OQ, only those in the ops -- the two that  
25 report to you, are they OQ qualified?



1 A. Are they OQ qualified? Yes.

2 Q. Okay. Are you OQ qualified as well?

3 A. I don't do the one-on-one with the pipe or anything. So --

4 Q. Okay, okay. Some companies are a little bit different. I  
5 just wondered. Okay.

6 So the accident that happened, were you aware of what was  
7 going on at that particular school? I mean, and when did you  
8 first hear about it, if you were aware of it?

9 A. As far as the job that was going that day, I didn't have any  
10 idea it was going on until Reggie called Nate, who happened to be  
11 standing next to me. So that was my first point of awareness that  
12 there was something going on that we had a crew at that location.

13 Q. Okay. So you weren't involved with any of the upfront  
14 planning or --

15 A. No. I did not know we had a crew going out there that day  
16 until then.

17 Q. Okay. And if this becomes a very short interview, which it  
18 could, because I see what your role in all that is, but I just  
19 want to ask some questions and see where this goes. But one of  
20 the things I'm wondering about is, do you have any involvement of  
21 -- let's say, business versus home, you know, the meter change-  
22 outs. Is that process anything to do in your line of work at all?

23 A. In my current position or --

24 Q. Yes.

25 A. -- do I have knowledge of how it works?

1 Q. No, in your current position.

2 A. In my current position, I do not have the meter installers.  
3 So the only involvement my group would have would be what Reggie  
4 was doing. So typically if there's a in/out project, obviously  
5 you're moving the below ground entrance for the service --

6 Q. Right.

7 A. -- outside to a riser. So Reggie's title and group would  
8 come out and coordinate with our meter installation group, and if  
9 there's a contractor involved, on the scheduling of the day when  
10 they're going to shut the gas off. So someone like Reggie would  
11 come out, shut the gas off, cut the service, put the riser up, and  
12 then work with coordinating the schedule to turn it back on. And  
13 then the other department, which is actually out of our North  
14 District, meter installation, they would do the meter work, where  
15 they would cut and abandon the customer piping, thus allowing the  
16 contractor to take over and do their tie-in for the new pipe.

17 Q. Okay. So with your role, versus the two ops guys that work  
18 for you, you're kind of isolated from those day-to-day decisions  
19 about the -- like a large 3-inch line going into a facility that's  
20 going to have a meter change-out, that's kind of outside of your  
21 bailiwick in a way?

22 A. Yes and no. The day-to-day operations, if it's a smaller  
23 job, relatively simple like this, I typically wouldn't get  
24 involved. If it's a bigger job, they come to me and ask is this  
25 something that we want to contract out to a larger contractor,

1 that we do work with. They are qualified to do work on services  
2 and things depending on the scope of the work. They've got more  
3 folks, more equipment, and we concentrate on our emergency  
4 response. We'll do the smaller jobs and something larger, more  
5 difficult, typically they come to me and say, is there something  
6 you want or this is something we're going to send to the  
7 contractor?

8 Q. Okay. So one of the things that I think we have all noticed  
9 about this particular accident was the lack of an involvement with  
10 any CenterPoint person at the planning stage. Can you describe  
11 for us at what time and what scope of job does it take to have  
12 CenterPoint be hands-on with the meter replacement work?

13 A. Verse a job like this?

14 Q. Any job that has to do with meters that would -- where you  
15 folks would say, we have to get involved with this hands on.  
16 What's the dividing line for when you folks would get involved  
17 with the planning and with the material and produce drawings and  
18 all that type of thing?

19 A. So a meter job like this, particularly they would do a  
20 drawing of what the meter's going to look like to replace it.  
21 There were some pictures that were handed out this morning of the  
22 existing meters in the basement of the location we're talking  
23 about.

24 The engineer would typically go out, take a picture of that,  
25 use that information, as well as gathering the load information,

1 to decide what kind of a meter set they want to design. They'd  
2 design that. It would go to our fab shop to be built. And at  
3 that point, depending on how much customer piping was involved,  
4 they'd decide if they wanted to bid it out to a contractor to do  
5 the customer piping or is it just a simple tie-in.

6       Once it's gone through that process and it's decided do we  
7 have a third party helping or are we doing it our self, then they  
8 set a date with the customer. The C&M crew, the meter  
9 installation crew, and if there's a contractor, would be there  
10 that day and it would be coordinated so the gas was shut off.  
11 Then they meter crew would go after disassembling or assembling  
12 the new meter. Once the pipe is dead, the contractor would take  
13 that.

14       So the actual hands-on scheduling, the meeting -- like in  
15 this case, the meeting the day before to come and see, okay,  
16 what's the job, make sure I got the right equipment, finding out  
17 the hole is deeper. They had to go back; otherwise, that one  
18 would have been done. At that point we'd start talking about when  
19 is the gas going to get shut off, when are you going to have  
20 enough of your customer piping put together so we can do the tie-  
21 in. So --

22 Q. Okay. So let's go back.

23 A. Did I answer that?

24 Q. Yes, you answered fine. Yeah.

25 A. Okay.

1 Q. So let's go back a little bit though. So if I'm ABC Company  
2 -- and I guess you might as well tell us. Are you instigating the  
3 meter change-out? The companies aren't saying, hey, I need a new  
4 meter set. You folks are taking the meter from the inside,  
5 bringing it to the out for convenience and all that stuff,  
6 correct?

7 A. CenterPoint is, yes.

8 Q. And that's -- the reasons that you would replace the meter,  
9 what are all those reasons?

10 A. A lot of it depends on the type of meters. In this case, it  
11 was a dimensional meter. So a dimensional meter is a meter that's  
12 not made any more, and in many cases, you can't get parts for  
13 them.

14 Q. Right.

15 A. So because of the obsolescence of the meter itself --

16 Q. Right.

17 A. -- there's one reason to replace it.

18 Q. Okay.

19 A. If they're older, we can get a newer meter that actually has  
20 the electronic capabilities to help do calculations and it aids in  
21 billing.

22 Q. Okay.

23 A. And the ability to move it outside and upgrade all the piping  
24 at the same time. So, yes, they are targeted as meters that we do  
25 want to replace.

1 Q. Okay. Is there a campaign in the entire CenterPoint  
2 Corporation that says, guys, we're going to bring every meter we  
3 can possibly find from the inside and move them outside?

4 A. Yes, there is.

5 Q. And that's like a 10-year plan or something?

6 A. It depends on the meter type.

7 MS. MELCHISEDECH: Yeah, if I can interrupt. This is  
8 Beverley Melchisedech. I've got the -- this particular meter  
9 project plan that was sent to me this morning, that I have not yet  
10 sent to you --

11 MR. EVANS: Okay.

12 MS. MELCHISEDECH: -- but it would be available to explain why  
13 we were at this location --

14 MR. EVANS: Okay. Great.

15 MS. MELCHISEDECH: -- to replace these meters.

16 MR. EVANS: And then I guess since we're going to be  
17 interviewing you --

18 MS. MELCHISEDECH: Right.

19 MR. EVANS: -- we'll introduce that evidence at that time,  
20 okay?

21 MS. MELCHISEDECH: Okay. I'll have to read it off my iPhone.

22 MR. EVANS: That's fine.

23 MS. MELCHISEDECH: Okay.

24 BY MR. EVANS:

25 Q. Okay. So when the -- when you have this meter replacement

1 program, I guess, there was a priority of who gets what when and  
2 all that type of thing. And what are those priorities based on?

3 A. That one would be with engineering. I'm not aware of their  
4 priority of the listing.

5 Q. Okay.

6 A. I know there are a number of them and there's a goal to have  
7 those completed by a date.

8 Q. Okay. So this is no -- I mean, there's no enormous surprise  
9 that a meter is going to be moved from the inside to the out?

10 A. No.

11 Q. The average person on the street might think that, why are  
12 they moving the meter? Why did they have to do that in the first  
13 place? Which is what we heard. So anyway -- so we have the meter  
14 destined to be relocated and you say that the parts for the other  
15 meter may have been stale and you can't replace them and all that  
16 kind of thing.

17 A. Right.

18 Q. So then someone comes out from your engineering department  
19 and they take the physical dimensions of the space available,  
20 penetrations and things like that, I imagine. They put that in  
21 AutoCAD or something and come up with a fabrication that your shop  
22 does?

23 A. Sometimes, yes. Sometimes they're standard drawings. Let's  
24 say you want to do a standard 5M fit. There's already a drawing  
25 created. So they can say this is the one I want. They can copy

1 that, send it to the fab shop. They'll build it. And then the  
2 meter installation group just has to go put brackets on the wall,  
3 hang the top piece and then screw the piece together. So it's  
4 relatively simple to install after fab.

5 Q. Okay. So once the meter is fabbed, someone from your company  
6 always is going to mount that meter on the wall? Is that most of  
7 the time?

8 A. On commercials, I believe most of the time. We do have a  
9 subcontractor who is qualified to hang meters. They do, do some  
10 of the industrial commercials standard fits.

11 Q. Right.

12 A. But the majority of the larger commercial fits are done by  
13 our CenterPoint meter installation crews.

14 Q. Okay. So once that drawing is completed, I guess it gets a  
15 sign-off and stuff like that by somebody, approved and everything  
16 like that. And then does that -- you go and get the parts and  
17 pieces and get it built, and then is the drawing annotated with  
18 all of the -- you know, this is the outlet, the 3-inch inlet goes  
19 here, this goes out there? Is that a work plan or is that just  
20 stated on the drawing?

21 A. There's actually drawings on them. As an example, a standard  
22 fit 5M, you've got the drawing and on the drawing you can see the  
23 arrow for the strainer to see the gas flow. It does have a  
24 picture of the regulator. It has your measurements and off/on. I  
25 believe it's the right side has got a detailed list. So you see



1 item number 1, you look over to the right, item number 1, and it  
2 describes it's a --

3 Q. Yeah.

4 A. -- 2-inch strainer.

5 Q. A building materials type thing?

6 A. Yes.

7 Q. Okay. So when that meter leaves the fabrication shop, I  
8 trust it gets tested in place at the shop of some sort, as far as  
9 to make sure that the meter works?

10 A. The flow rate and stuff?

11 Q. Yes.

12 A. Yes.

13 Q. There's some sort of testing that takes place?

14 A. On the larger meters, yes, they set them up on the bench and  
15 they actually test the rate and the meter is prequalified. I  
16 believe the Roots meters are prequalified by Dresser. So it comes  
17 with a statement of authenticity.

18 Q. Oh. Right. Okay. So then they get shipped out to the site  
19 and someone's going to mount it on the wall, correct?

20 A. Correct.

21 Q. So once that's mounted on the wall -- are there piping  
22 drawings or ISOs or fabrication drawings that actually connect the  
23 dots from the old piping through to the new meter and, you know,  
24 into the main and all that?

25 A. It depends on how complicated the design is. If it's pretty

1 complicated, yes, they do drawings to be able to show the intended  
2 route. If it's just coming off the meter, going down and going  
3 through to tie in, a lot of times it'll be just a rough sketch.  
4 But it is communicated between the engineer and the person  
5 installing.

6 Q. Will there always be a rough sketch?

7 A. On commercials, I believe so.

8 MR. EVANS: Okay. Beverley -- a question for Beverley. The  
9 rough sketch for this particular installation, would it be part of  
10 the installation package that --

11 MS. MELCHISEDECH: I called during the break -- this is  
12 Beverley -- and asked for the job packet that would have been  
13 given to the mechanical contractor, the job packet that would have  
14 been given to the construction crew, and then the meter crew work  
15 that had already been out there and hung the meters.

16 MR. EVANS: Okay.

17 MS. MELCHISEDECH: And they're gathering that now.

18 MR. EVANS: Okay.

19 BY MR. EVANS:

20 Q. So are you aware of the interface that went on between  
21 CenterPoint and the mechanical contractor for this job? Are you  
22 -- do you know what actually went on between -- what type of  
23 interface they had? If it was a discussion? Was it emails or was  
24 it texts or what?

25 A. I do not know. I only know what I've heard in here.

1 Q. Okay. So whenever the package gets out there, the decision  
2 to tie in live, to a live line, whose decision is that?

3 A. Typically we're not going to tie in live. So that would be  
4 CenterPoint's. We own the valves. We operate the valves. So if  
5 we're going to do a live tie-in, it would be live tie-in like on a  
6 service or something. But as far as tying into an aboveground  
7 pipe, I can't think of a scenario where we would do it live. We  
8 would shut it down.

9 Q. But you know that this system was live when they made the  
10 attempt to install this -- to do this change, correct?

11 A. Yes.

12 Q. And so why would it be live that day?

13 A. Because it wasn't scheduled to go till next week.

14 Q. So had it gone next week, they would have shut the gas down?

15 A. They would have shut the -- or, yeah, they would have  
16 squeezed the service. And while they were removing that, it would  
17 have been dead, so they could do their tie in.

18 Q. So how did that not get communicated back to the people doing  
19 the work that, hey, we're not supposed to be working on the line?

20 A. My understanding from what we've heard is they were doing  
21 pre-work. So I don't know. I wasn't involved in those  
22 conversations.

23 Q. So you're saying that whenever you install a meter in a  
24 building, they are not supposed to be on live lines?

25 A. You're talking in to outs? Can you explain that a little

1 more?

2 Q. Yeah. If you're going to install -- if you're going to touch  
3 the piping to the gas system that has to be modified to get into  
4 the meter, are you telling us that the gas is intended to be  
5 offline completely?

6 A. If you're doing a tie-in, yes. Offline through closing a  
7 valve, through squeezing a service.

8 Q. I want to make sure I've got this correct for the record. I  
9 don't want to be confused myself, let alone everyone else, but --  
10 let's go back and ask this question again.

11 A. Um-hum.

12 Q. We have -- two gentlemen are in a building. They're  
13 installing piping, getting ready to tie a meter that's already  
14 mounted on the wall, correct?

15 A. (No audible response.)

16 Q. At the time that they were to make this -- these piping  
17 changes, this line should have been off. Is that what you're  
18 telling us?

19 A. No, they should not have been doing those changes. The  
20 coordinated date was supposed to be next week when C&M would shut  
21 the gas off, the meter installers would be there. They can tie  
22 into the customer piping when we've abandoned that. So when it's  
23 live, it's ours up to the outlet of the meter. Once it's  
24 abandoned and shut off, then we work with them to do the tie-in.  
25 So the tie-in shouldn't have been going on right now.

1 Q. So with the job planning that -- and we have to look at the  
2 job plan, but would something like that be noted on the plan, that  
3 this job is to be done with the gas in a non-energized position?

4 A. I do not know if that would be on the plan or not.

5 Q. Okay. Is there any communication -- I mean, I can see how  
6 you have perhaps a typical type of meter that has a number related  
7 to it. They build that meter. They hang it on the wall and they  
8 have people that are going to pipe that up, right? Is there not  
9 coordination, like hold points like a lot of companies use, to  
10 say, you can't go beyond this point if the line is not  
11 deenergized? Is that philosophy in your company, the phrase, hold  
12 points, for --

13 A. I understand what you're saying. That's what the scheduled  
14 date next week was supposed to be for. We shut it down, we do our  
15 tie-ins at that point.

16 MR. EVANS: Can we go off the record?

17 (Off the record.)

18 (On the record.)

19 MR. EVANS: This is a continuation of the Shane Jones  
20 interview. We've decided to terminate this interview. That will  
21 be fine. Thanks.

22 (Off the record.)

23 (On the record.)

24 MR. EVANS: On the record with the continuation of Shane  
25 Jones interview. We have decided to curtail this interview until

1 we've had an opportunity to read and comprehend some of the  
2 procedures that are associated with this case. We expect to  
3 interview Shane in the near future.

4 Off the record.

5 (Whereupon, the interview was concluded.)  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD


IN THE MATTER OF:           MINNEHAHA ACADEMY SCHOOL EXPLOSION  
                                  MINNEAPOLIS, MINNESOTA  
                                  AUGUST 2, 2017  
                                  Interview of Shane Jones

ACCIDENT NO.:               DCA17MP007

PLACE:                        Minneapolis, Minnesota

DATE:                         August 5, 2017

was held according to the record, and that this is the original,  
complete, true and accurate transcript which has been transcribed  
to the best of my skill and ability.

  
\_\_\_\_\_  
Kathryn A. Mirfin  
Transcriber



**National Transportation Safety Board**  
Washington, D.C. 20594

---

Interviewee Name (please print): Shane Jones

Organization: Center Point Energy

Date of Transcript Review: 10/25/17

I have reviewed my transcript(s) from the above referenced accident and...

- I have no comments to make.
- My comments are submitted herewith.
- My comments are marked on the attached copy.



