

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

* * * * *

Investigation of:

*
*
*
*
*
*

BNSF RAILWAY ROADWAY WORKER
FATALITIES IN EDGEMONT, SOUTH
DAKOTA ON JANUARY 17, 2017

Accident No.: DCA17FR004

* * * * *

Interview of: AARON RATLEDGE

Haslet, Texas

Friday,
January 20, 2017

APPEARANCES:

RYAN FRIGO, Operations Group Chairman
National Transportation Safety Board

MARK SCHULZE, Vice President of Safety, Training
and Operations Support
BNSF Railway
(On behalf of Mr. Ratledge)

I N D E X

<u>ITEM</u>	<u>PAGE</u>
Interview of Aaron Ratledge:	
By Mr. Frigo	5
By Mr. Schulze	19
By Mr. Frigo	20

1

I N T E R V I E W

1
2 MR. FRIGO: My name is Ryan Frigo, and I am the Operations
3 Group Chairman for NTSB on this accident. We are here today on
4 January 20, 2017, in Haslet, Texas, to conduct an interview with
5 Mr. Aaron Ratledge, who works for BNSF. This interview is in
6 conjunction with NTSB's investigation of two roadway worker
7 fatalities in Edgemont, South Dakota, on January 17, 2017. The
8 NTSB accident reference number is DCA17FR004.

9 Before we begin our interview and questions, let's go around
10 the table and introduce ourselves. Please spell your last name,
11 and please identify who you are representing and your title. I
12 would remind everybody to speak clearly so we can get an accurate
13 recording.

14 My name is Ryan Frigo. The spelling of my last name is
15 F-r-i-g-o. I am the Operations Group Chair for NTSB on this
16 accident.

17 MR. RATLEDGE: My name is Aaron Ratledge, R-a-t-l-e-d-g-e,
18 and I am the general director of operating practices and rules for
19 BNSF Railway.

20 MR. FRIGO: And, Mr. Ratledge, are you okay if we go on a
21 first-name basis?

22 MR. RATLEDGE: Yes, sir.

23 MR. FRIGO: Aaron. Thank you. And do I have your permission
24 to record our discussion today?

25 MR. RATLEDGE: Yes.

1 MR. FRIGO: And do you wish to have a representative with
2 you?

3 MR. RATLEDGE: Yes.

4 MR. SCHULZE: This is Mark Schulze. Last name is spelled
5 S-c-h-u-l-z-e. I'm the vice president of safety, training and
6 operations support at BNSF Railway.

7 MR. FRIGO: Thank you. And I just have to read a few other
8 items into the record, and we can begin. Aaron, as we talked
9 before, the NTSB, we don't assign blame. It's fact finding.
10 There's no guarantee against legal action or certificate actions.
11 And a copy of this transcript will go into the public docket.

12 INTERVIEW OF AARON RATLEDGE

13 BY MR. FRIGO:

14 Q. So, Aaron, if we can begin with -- you know, if you can just
15 give me a synopsis of your work experience on the railroad, how
16 long you've been here, and kind of take me from the beginning to
17 your present job.

18 A. Um-hum, sure. So I started out with one of BNSF's
19 predecessor railroads, the Santa Fe Railway, in 1994, as a
20 switchman, a brakeman, new hire conductor. And I performed those
21 duties for about 3 years, and then I became a locomotive engineer
22 in 1997, running all train types in New Mexico between Clovis and
23 Belen, and also Clovis and Carlsbad as a locomotive engineer.

24 At that point in time I became -- started my entry level
25 management position as a assistant trainmaster there in Clovis.

1 Did that for about 10 months, and then I was promoted to a
2 trainmaster in St. Louis, Missouri, where I performed those duties
3 for about 3 years. And then became a road foreman of engines in
4 Birmingham, Alabama. I performed that function for about 18
5 months, and then I came to Fort Worth, Texas, the first time as a
6 senior manager of train handling, operating practices. I was in
7 that capacity for 3 years, and then I moved to Kansas City, Kansas
8 as a superintendent of operating practices. Was promoted to a
9 superintendent of operations a few months after that.

10 Fulfilled the duties of a superintendent of operations for 3
11 years, where I came back to Fort Worth in 2010 to assume the
12 duties of director of train handling for BNSF. And it was about 3
13 years ago, in 2013, where I became the general director of
14 operating practices, and that's currently my -- the position I'm
15 filling today. So long history of operational -- railroad
16 operations on the transportation side.

17 Q. Great, Aaron. Thank you for -- thanks for sharing that with
18 me. We're here to talk about what happened up in Edgemont, and I
19 believe that you were in the area at the time and you were there
20 to conduct testing on a piece of equipment. If you could tell us
21 what brought you to Edgemont and tell us a little bit about the
22 test train, that would be helpful.

23 A. You bet. So part of my duties as general director of
24 operating practices and rules is we have the locomotive technology
25 side, which involves distributive power. And so distributive

1 power is a technology that's manufactured by General Electric
2 Transportation Systems out of Melbourne, Florida. And we also
3 have to do testing as part of my requirements and duties to ensure
4 the safety of those products. And so we had had for several
5 weeks, I want to say even maybe several months, had a -- had this
6 test train or this test plan in the works and in the making to
7 where we identified a cut of 10,000 feet of auto racks was here on
8 the Deadwood spur in Edgemont.

9 And so, in kind, we made our plans to conduct our test in
10 Edgemont where these cars were in storage. And we coordinated
11 with General Electric and a few others from my team and the locals
12 here to prep to begin plans to be able to facilitate that test on
13 the 17th of January.

14 Q. Okay. And when did you arrive in -- when did you put
15 together the test plan?

16 A. So the test plan was put together, again, like I said,
17 several weeks before, and coordinating with the locals, with Jim
18 Korecky and also Shad Sowers, who are local to Edgemont. We began
19 corresponding several weeks prior to our arrival.

20 Q. Okay. And as part of that test plan, can you recall if the
21 use of maintenance-of-way personnel were included in that test
22 plan?

23 A. No. They were not.

24 Q. When did you arrive in Edgemont?

25 A. Approximately 8, 8:30 on Tuesday morning.

1 Q. That was the 16th, I believe?

2 A. 17th.

3 Q. The 17th. Okay. So that was your -- you weren't in Edgemont
4 prior to?

5 A. No. We flew into Rapid City on Monday, and then overnighted
6 in Hot Springs, and then traveled over Tuesday morning to
7 Edgemont.

8 Q. Can you recall approximately what time you arrived in
9 Edgemont?

10 A. Approximately 8:30.

11 Q. Okay. And if you can tell me a little bit about your
12 activities once you -- approximately 8:30 you arrive in Edgemont.
13 Where did you go? Who did you talk to?

14 A. Yeah. Right. And so I'm going to be -- you know,
15 approximately at 8:30, that's the best I can to my recollection.
16 But I recall coming into town and noticing our string of auto
17 wrecks just off to the left side of the highway that we were
18 coming into town on, and noticing that there was some snow that
19 was built up between the crossings where the cars had previously
20 been cut. And I noticed there was an individual, I couldn't tell
21 exactly who it was, that was clearing some ice, snow from the
22 track between -- right around the crossing.

23 And then we made it up to the head end of the train where we
24 then joined up with Tony Erickson, the superintendent of operating
25 practices there for the Powder River Division, where we briefed

1 and talked, and kind of got an update as to how the progress was
2 going on getting the train together and prepping it to come out on
3 the main track.

4 And at that point in time, we discussed that we were going to
5 go back to the depot to print some lists of the cars as they stood
6 in the Deadwood spur so that we could begin making plans on where
7 we were going to affix our equipment, our monitoring devices,
8 electronic monitoring devices that we had brought with us or the
9 GE had brought with him, who was essentially hosting the devices.

10 And so we went to the depot and were there, printed the list
11 out, reviewing them. We got the test equipment out and laid it
12 out, and we were -- GE was -- when I say GE, it was our
13 representative from GE that was there with us, who was in the
14 process of getting those instruments synced up. At that point in
15 time, he and another gentleman from my group, Mark Jones, had
16 indicated they needed to go back to Hot Springs to get a device
17 that they had forgotten or that he had forgotten. And that we had
18 talked that they had plenty of time to go back and do that because
19 our crew was still getting the train together, and we felt that it
20 was still going to be a little bit longer before we actually came
21 out on the main track and were going to be ready.

22 So they went back to Hot Springs. Jeff Garrels and myself
23 stayed there in the depot with Tony Erickson. And several minutes
24 went by, maybe even an hour, whenever Tony Erickson got a call
25 from either one of his -- his trainmaster or his road foreman

1 indicating that there had been an incident. And then we
2 immediately got in the cars, our rental vehicle, and we followed
3 Tony out to the scene of the incident where we saw the aftermath.

4 Q. All right, Aaron, I just -- I want to go back to -- I want to
5 talk a little bit more about that test train and what you can
6 remember. And, again, if you can't remember, just let me know
7 that.

8 A. Okay.

9 Q. You mentioned that they were still preparing the train. So
10 am I to think that it wasn't laced up and it wasn't put together
11 yet, and --

12 A. That's correct. So like I said, when I showed up, was
13 driving into town, I noticed that there was three crossings that
14 needed to be put together and to be aired up. And it was very
15 cold that morning. We noticed that it was 1 degree when we came
16 into town. And we knew that it was going to take some time to
17 pump the train up and to get air on it. So, yes, they were still
18 working the train.

19 Q. Okay. And as far as the -- you mentioned the instrumentation
20 that would be used for the testing, was that on the train already?

21 A. No. It was our plan that once we occupied the main track we
22 would then install the test devices on the north side of the
23 train.

24 Q. Okay. So, again, if you could just kind of walk me through
25 that process how that would happen? Because you were in the

1 depot.

2 A. Um-hum.

3 Q. And how would you know when to go out there --

4 A. Right.

5 Q. -- with the representative from GE to start placing the
6 instrumentation on the train?

7 A. So we would have gotten a call from either Mr. Shad Sowers or
8 Jim Korecky, the trainmaster or road foreman, indicating that it
9 was our turn or it was time to come out on the main track. And at
10 that point in time when we heard -- when we got that indication,
11 then we would get our gear and devices, and then make our way out
12 to that point at that time.

13 Q. Okay. And when you say that point, what was the -- where was
14 that location where you were going to put the test?

15 A. It would have been north -- or, excuse me -- west of milepost
16 477.

17 Q. Okay.

18 A. Or the west switch of the Y. On the main track. We would
19 have had the train completely on the main track.

20 Q. And that would have been on Main 1?

21 A. Yes, sir.

22 Q. Okay. And you mentioned it was 10,000 feet, huh?

23 A. It is just shy of 10,000 feet, correct.

24 Q. So how long would it take you to -- did you estimate in your
25 test plan that it would take you to place that instrumentation on?

1 A. There was six or seven test devices. We had vehicles. We
2 had access to the right-of-way. It only takes probably 2 or 3
3 minutes to install each device at certain points of the train.
4 I'm not even sure we were actually going to be using all six or
5 seven. We would install in intervals as to how we needed to be
6 able to measure the flow and the brake pipe pressures and so on.

7 Q. Was there any specific times for initiating the tests --

8 A. No.

9 Q. -- as part of your plan?

10 A. No. Like I say, we were in no hurry. Once we -- once the
11 traffic allowed and we were able to occupy the main track, then we
12 would make our way out there. The test was only going to take at
13 most 6 to 7 hours, and then we'd put the train back in where we
14 got it and be done.

15 Q. Okay.

16 A. This was a static test where there's no movement. Once we
17 come out on the main track and, obviously, we wanted to come out
18 on the main track so we didn't have any crossings fouled, so we --
19 I mean, so we could all be in one piece, obviously, to be able to
20 conduct our testing satisfactorily.

21 Q. So it was a static test?

22 A. Yes, sir.

23 Q. Okay. Can you just, can you describe the test a little bit
24 more?

25 A. You bet. So part of the distributive power functionality is

1 we've got to test to make sure that we can have proper air brake
2 propagation signals go throughout the train. If an engineer sets
3 the brakes from the head end, we've got to make sure that that
4 propagation can adequately go and be transmitted from the head end
5 to the rear end, where the rear end can see that set to where it
6 acknowledges that and it takes the power down, so to speak, if
7 they're in a com loss scenario from the head to the rear.

8 So it was our purpose that day is to test those brake pipe
9 propagation rates to make sure that we could successfully have a
10 10,000 foot train in that capacity to be safe.

11 Q. And did -- I guess, were future plans set up to run dynamic
12 testing as well?

13 A. Not at this -- no, not at this point it was not.

14 Q. Okay. So for right now it was just to perform the static
15 test, gather data?

16 A. Yes. So it, so this -- typically our test plans is that we
17 typically do a static test, and if we see favorable results, then
18 at that time we plan a dynamic test to ensure the successfulness
19 of that before we roll that out even further.

20 Q. Aaron, thank you for helping me understand that a little
21 more.

22 A. Absolutely.

23 Q. You haven't mentioned yet any of -- coming in contact with
24 any maintenance-of-way individuals. Can you -- I just want to ask
25 you to remember as best as you can from that morning, you know,

1 arriving in Edgemont approximately 8:30 in the morning and until
2 the time of the accident, do you recall ever coming into contact
3 with any maintenance-of-way personnel?

4 A. No. I mean, the only time that I -- that, I mean, I could
5 have seen a potential maintenance-of-way person would have been at
6 one of those crossings, but I never stopped and talked to them. I
7 cannot remember seeing the section truck, per se. So I'm not sure
8 if it was a -- if it was Mr. Korecky or Mr. Sowers out there
9 trying to clean debris. I just don't know who it was. But I at
10 no point in time ever recognized and saw a maintenance-of-way
11 individual that morning.

12 Q. You mentioned two names there. Are those members of the
13 train crew?

14 A. Mr. Korecky is the trainmaster there in Edgemont, and
15 Mr. Sowers is the is the road foreman of engines.

16 Q. Is the road foreman. Okay. And when you saw that individual
17 at the crossing, did you notice any pieces of equipment? A
18 backhoe, a digger or anything?

19 A. No. I just -- I remember the person having a square nose
20 shovel or just a shovel of some type.

21 Q. Okay. Do employees at BNSF -- do operating employees wear a
22 distinct color hard hat or vest --

23 A. Yes.

24 Q. -- there in the field?

25 A. Yes.

1 Q. What color is it? Can you describe that?

2 A. A bright orange high visibility vest and also hard hats.

3 Q. Okay. Is it --

4 A. Orange or white.

5 Q. Orange or white. And what about for maintenance-of-way? Do
6 you know, do they have a distinct color of hard hat or on their
7 vest?

8 A. The same color of vest that train crews wear, high visibility
9 orange, and typically an orange or a white hard hat.

10 Q. Okay. And the only reason I ask you is just you mentioned
11 seeing someone at the crossing, and just seeing that there might
12 be a way to identify if that was an operating --

13 A. Right. And I can't even remember -- I could not tell you, I
14 can't remember if the individual -- I didn't notice if the
15 individual had a hard hat or not.

16 Q. Okay. And, again, let's talk about from when you arrived
17 until the accident time. Did anybody, any of the operating crew
18 or the individuals that were assisting with the testing, did
19 anybody mention calling the section gang or requesting the section
20 gang? Can you remember any --

21 A. No. I don't recall any of that.

22 Q. When you were in the depot, were you monitoring any radio
23 transmissions?

24 A. No.

25 Q. Okay.

1 A. No.

2 Q. And I just want to ask you a few more questions about when
3 you first arrived on the scene. Can you describe was there a
4 truck there? Was there a digger there? Can you just describe a
5 little bit more about --

6 A. Yes.

7 Q. -- about what you saw?

8 A. Yes. So when we were coming over the overpass, we would have
9 been in an eastbound or northbound direction. I remember
10 distinctly looking. I saw the train there stopped. The engines
11 were on the other side of the intermediate signal there, and I
12 distinctly remember looking over to my left and down, and seeing
13 an individual laying next to the train. And I also noticed there
14 was a section truck just beyond that.

15 And then we actually went down and came and around. We have
16 to go over, and we have to come in and around by the Deadwood Y,
17 and then make the big long swoop to get underneath the underpass
18 to get up to where they were. I just remember seeing the
19 individual -- I didn't know who it was at the time -- laying there
20 not moving next to the track. And just, I remember getting out
21 and -- I don't want to say I was yelling, but I was frantically
22 asking, what happened? Is there anybody hurt? Is there anybody
23 that needs help? And I was told at that time there was two
24 individuals that had -- that were nonresponsive.

25 Q. Thank you for sharing that. I know it's not easy to talk

1 about that stuff. I just want to ask you a few more questions on
2 your response.

3 Can you recall when you were driving to the scene what the
4 position of the test train was?

5 A. Not specifically. I know that they were still north of that
6 crossing of where they were at the time I was there. They had not
7 pulled up or came around or anything. I'm wanting to say they
8 were a little bit further back on the track. That would have
9 indicated they had all the crossings together, but I don't know
10 for sure. I was still hoping and praying that there was nothing
11 wrong, that everybody was fine.

12 Q. All right, Aaron. Well, thank you for being honest with your
13 questions. And I just want to, I want to move into -- well, first
14 let me ask your representative if there's any clarifications or
15 anything that need to be made because I'm done asking about the
16 incident.

17 MR. SCHULZE: I have none.

18 MR. FRIGO: Okay.

19 MR. SCHULZE: No.

20 BY MR. FRIGO:

21 Q. I just -- if we can talk a little bit about how you develop
22 your test plans, and how many you do a year, what the frequency
23 is. If we could -- if you could tell me a little bit about that,
24 that would be helpful.

25 A. Sure. So we had actually, we had done a -- we typically,

1 when we make our test plans, we obviously pick a -- what I would
2 call a convenient location. We always take that into
3 consideration depending on the type of test we're doing. It
4 obviously depends on what type of equipment is there. Do we use
5 equipment that's stored? Do we use equipment that may be in the
6 yard there? But we -- we'll typically lay the plan out with GE,
7 is who we do a lot of our testing with.

8 But it's several weeks, several months in advance. We
9 coordinate with the locals there on-site to ensure that what the
10 best way to do it is, and get their input and their feedback as to
11 how to be as less -- as little disruptive as possible to the
12 division and their operations so that we can adequately get our
13 testing done. We try to be as least intrusive as possible to all
14 the considerations around that.

15 But, again, it's a matter of us corresponding through whether
16 it be telephones or emails as to what the best way is to
17 accomplish a test previous to our showing up. So obviously, we
18 can have everything laid out that we think is possible to be able
19 to pull the test off as seamless as possible with causing the
20 least amount of disruptions. But it's -- we like to have our
21 plans down and pat so we can go in there and be successful and add
22 a lot of value in as little time as possible.

23 Q. How many tests -- I mean, what would you say you do in a
24 year?

25 A. I would say depending on what the -- depending on what it is,

1 we've -- for example, I mean, Trip Optimizer, our energy
2 management program, we would probably do two or three tests, two
3 or three, maybe, just depending on what is needing to be done.
4 But I'd say a typical year we probably do four or five tests when
5 we're developing software. And maybe if it's, you know, if it's
6 stagnant, we'll probably do two or three a year.

7 Q. Can you recall in any -- let's say in the past year, if
8 you've ever had to coordinate with another department such as
9 maintenance-of-way in order to perform one of your tests?

10 A. No. No, we have not.

11 MR. FRIGO: Okay. Well, Aaron, I just I want thank you for
12 taking the time to answer my questions, and to help me understand
13 a little bit more about the events that happened in Edgemont.
14 Before I wrap up, I just -- I'll ask your representative if
15 there's any other clarifications that you feel should be made?

16 BY MR. SCHULZE:

17 Q. Yeah. This is Mark. One right there at the end, the -- are
18 there any other coordinating departments -- not with maintenance-
19 of-way, but would there ever have been with mechanical?

20 A. With mechanical, yes.

21 Q. Okay.

22 A. But maintenance-of-way no. If we -- no. It would be
23 mechanical would probably be our other department that we would
24 coordinate with, you know, blue flag protection and whatnot.

25 MR. FRIGO: And let's use that -- thank you, Mark. Let's use

1 that example with mechanical.

2 MR. RATLEDGE: I'm glad you mentioned that, yeah.

3 BY MR. FRIGO:

4 Q. Would that be included in your test plan?

5 A. I'm not going to say it would be up front, but as we got
6 closer to the time that we would show up, our local
7 representatives would coordinate that with mechanical if we needed
8 them on-site the day of to provide that blue flag protection, and
9 so on and so forth.

10 Q. Okay. And how can I best understand -- and let's use that
11 scenario when mechanical would show up. Would you guys have a
12 briefing all together?

13 A. Yes.

14 Q. Okay.

15 A. Yes.

16 Q. Well, Aaron, are there any questions that you think I should
17 have asked you or is there anything else that you want to add?

18 A. No. I can't think of any.

19 MR. FRIGO: Well, and if you do, you have my card. You can
20 always call me and -- but I again thank you for, thank you for
21 taking the time to speak with me today. And with that, I'll go
22 off the record.

23 MR. RATLEDGE: You're very welcome.

24 MR. FRIGO: Thank you.

25 (Whereupon, the interview was concluded.)

26

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF: BNSF RAILWAY ROADWAY WORKER
 FATALITIES IN EDGEMONT, SOUTH
 DAKOTA ON JANUARY 17, 2017
 Interview of Aaron Ratledge

ACCIDENT NUMBER: DCA17FR004

PLACE: Haslet, Texas

DATE: January 20, 2017

was held according to the record, and that this is the original,
complete, true and accurate transcript which has been transcribed
to the best of my skill and ability.

Katherine Motley
Transcriber