




## APPEARANCES:

On Behalf of Mr. Porto:

JOHN BONVENTRE, ESQ.  
Landman Corsi Ballaine & Ford P.C.  
One Penn Center  
1617 JFK Boulevard, Suite 955  
Philadelphia, PA 19103



P-R-O-C-E-E-D-I-N-G-S

1  
2 MR. FRIGO: Good afternoon. My name is Ryan  
3 Frigo and I'm the Investigator in charge for the NTSB  
4 for this accident. We're here today on September 8th  
5 at the National Railroad Passenger Corporation,  
6 AMTRAK's headquarters in Philadelphia, Pennsylvania to  
7 conduct an interview with Matthew Porto who works for  
8 the National Railroad Passenger Corporation or AMTRAK.

9 This interview is in conjunction with NTSB's  
10 investigation of the collision of an AMTRAK train 89  
11 with workers and equipment on April 3, 2016 near  
12 Chester, Pennsylvania on the Northeast Corridor. The  
13 NTSB Accident Reference No. is DCA16FR007.

14 Before we begin our interview and questions,  
15 let's go around the table and introduce ourselves.  
16 Please spell your last name and please identify who you  
17 are presenting and your title. I would remind  
18 everybody to speak clearly so we can get an accurate  
19 recording. I'll lead off and then pass off to my left.

20 Again, my name is Ryan Frigo. The spelling  
21 of my last name is F-R-I-G-O. And I'm the Investigator  
22 in Charge for NTSB on this accident.

23 MS. IMPASTATO: Theresa Impastato. The  
24 spelling of my last name is I-M-P-A-S-T-A-T-O. I'm the  
25 Deputy Chief Safety Officer for AMTRAK.

1 MR. STEARN: Steve Stearn, S-T-E-A-R-N.  
2 Brotherhood of Maintenance of Way Employees (BMWEE).

3 MR. HOEPF: Michael Hoepf, H-O-E-P-F, NTSB.

4 MR. HOLDCROFT: Forrest Holdcroft, H-O-L-D-  
5 C-R-O-F-T, NTSB. I'm just observing.

6 MR. WALKER: Fran Walker, W-A-L-K-E-R. I'm  
7 an FRA Tech Safety Inspector.

8 MR. HILL: Donald Hill, H-I-L-L, Safety  
9 Tech, BLET.

10 MR. BEATON: Bob Beaton, B-E-A-T-O-N, with  
11 NTSB.

12 MR. HIPSKIND: My name is Dick Hipkind.  
13 The spelling of my last name is H-I-P-S-K-I-N-D. I  
14 work for NTSB and I'm the Track and Engineering Group  
15 Chairman for this accident.

16 MR. PORTO: Matthew Porto, P as in Paul, O-  
17 R-T-O. I'm the Director of Safety with AMTRAK.

18 MR. FRIGO: Okay. Thank you. And do we  
19 have your permission to record this interview today?

20 MR. PORTO: Yes, you do.

21 MR. FRIGO: And do you wish to have a  
22 representative with you at this interview?

23 MR. PORTO: Yes.

24 MR. BONVENTRE: My name is John Bonventre,  
25 B-O-N-V-E-N-T-R-E. I'm an attorney here for Mr. Porto

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and I'm with the law firm of Landman Corsi Ballaine &  
2 Ford.

3 MR. FRIGO: And, Mr. Porto, do you mind if  
4 we proceed on a first name basis?

5 MR. PORTO: Absolutely.

6 MR. FRIGO: Great, Matt. Thank you. I want  
7 to thank you for being here. And, in full disclosure,  
8 Matt was part of the Track and Engineering group in the  
9 initial on-scene fact-finding phase of this  
10 investigation. So Matt has sat in on a lot of the  
11 interviews. We're really looking forward to speaking  
12 to you today and learning more from your perspective.

13 Just to begin with, can you start by giving  
14 us a synopsis of your work experience on the railroad  
15 from when you started and walk us up to your current  
16 position?

17 MR. FRIGO: Sure. I started on the railroad  
18 back in 2011. I started within Engineering in the  
19 Middle Amp (phonetic) division. I was the  
20 Environmental Coordinator. That position entailed  
21 imaging all environmental operations from the hazardous  
22 waste spill prevention control plans, stormwater plans  
23 as well as remediation of the right-of-way including  
24 bioremediation.

25 In April 2013, I accepted the position of

1 Director of System safety overseeing safety within  
2 Engineering. And I've been in the position since that  
3 time.

4 MR. FRIGO: And within that position of  
5 Director of System safety, what are your current duties  
6 and responsibilities?

7 MR. FRIGO: My responsibilities include  
8 overseeing the safety programs and processes within  
9 Engineering, working between both System safety and the  
10 Engineering Department to ensure that the overall  
11 enterprise global aspect of safety in our focus is also  
12 driven down within that department.

13 I oversee the lead safety specialists that  
14 are the safety managers within each division within  
15 Engineering throughout our system as well as managing  
16 the System safety agreements which include the Safety  
17 Liaison Agreement, safety positions within Engineering.

18 MR. FRIGO: Can you tell us more about some  
19 of those programs that you just mentioned that you  
20 would be responsible for?

21 MR. PORTO: Pretty much anything that's  
22 going to roll up around safety within Engineering, I  
23 provide support, guidance or oversee that, depending on  
24 specifically which safety process or program that you  
25 want to talk about. The System safety Agreement that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealgross.com](http://www.nealgross.com)

1 we have is pretty much the foundation of the main  
2 safety program within Engineering. So that I directly  
3 manage and ensure that we're able to focus in on the  
4 right areas of safety. We facilitate our safety  
5 resources, that we're out there focusing in on the  
6 right areas, taking a look at analytics that we have  
7 and that we collect and ensure that we're looking at  
8 that right information, going through and providing the  
9 right analysis of that information to identify trends.

10 Promote other areas of safety, whether that  
11 be a behavior based safety, safety policies,  
12 procedures. Pretty much all aspects of safety within  
13 there.

14 Within planning phases of the Engineering  
15 projects, there are site-specific safety work plans  
16 that are developed. Those are usually sent to one of  
17 the managers that report to me to go ahead and review.  
18 Some of the larger projects, we'll have discussions  
19 about and I'll sit in on that and provide support and  
20 guidance from the safety aspect to make sure we're  
21 covering all of the aspects of hazard identification,  
22 mitigation, throughout the life cycle of the programs.

23 Part of the Engineering Lead Team as well.  
24 So I sit on the staff meetings of the chief engineer.  
25 I am a direct report into System Safety to (Inaudible)

1 Estado (phonetic), our Deputy Chief Safety Officer but  
2 an extremely strong dotted line to our Chief Engineer,  
3 Rodrigo Pater (phonetic). Every day I'm in  
4 communications with both lines. I'm talking within  
5 System safety whether it be a Theresa or Michael Lobe  
6 (phonetic), our Chief Safety Officer and every day  
7 in communications with Rodrigo, our Chief Engineer, and  
8 Andy Keith, our Deputy Chief Engineer for Maintenance.

9 MR. FRIGO: So just to be clear, you report  
10 to Theresa.

11 MR. PORTO: Yes, sir.

12 MR. FRIGO: Okay. Thank you. And just  
13 again going back to your title, is it specifically  
14 Director of System safety or is it Director of System  
15 safety for Engineering?

16 MR. PORTO: It's -- When I originally  
17 accepted the position, the title was Director of System  
18 safety. Since we've had a couple of reorganizations  
19 the title is officially Director of Safety,  
20 Engineering. So if I provide the support specifically,  
21 my stakeholder is Engineering Department.

22 MR. FRIGO: Excellent. And I heard you.  
23 You mentioned several aspects of responsibility. Maybe  
24 if we could start with the System safety Agreement.

25 MR. PORTO: Sure.



1 MR. FRIGO: And if you could give us some  
2 level of detail on how we should think of that. Is  
3 that like a System safety program plan? Is it a --

4 MR. PORTO: It's primarily a collective  
5 bargaining agreement that we sat down with the three  
6 main unions within Engineering and currently working  
7 with a fourth right now. Went through negotiations to  
8 come together with an agreement that's a foundation of  
9 a program.

10 It doesn't entail everything that we do  
11 within the approach within Engineering. But it  
12 definitely provides a foundation of the guidelines and  
13 structure for what we're going to build everything off  
14 of. So that provides a structure of the liaison  
15 positions, what they are, how they are chosen, the  
16 jurisdiction and territories that they're going to  
17 cover, the approach to safety committees, the  
18 communication of safety information, the roles and  
19 responsibilities of those safety liaisons.

20 MR. FRIGO: And sticking with the liaison  
21 program, how many liaisons are there?

22 MR. PORTO: Currently, there are 24  
23 liaisons. And as I was saying before, we're trying to  
24 come to an agreement with a fourth union which would  
25 add one more liaison for a total of 25. But currently

1 right now we have 24.

2 MR. FRIGO: And are they distributed evenly  
3 between the three unions that are part of the  
4 agreement?

5 MR. PORTO: They are not distributed evenly.  
6 We went through and we have them placed geographically  
7 based on population of the workforce that's there as  
8 well as the crafts. So we make sure that we have each  
9 craft -- and when I say craft before track, CNS,  
10 structures, B&B and then electric traction -- is  
11 represented throughout our entire system  
12 geographically. But in certain divisions there might  
13 be more certain craft because we have a larger  
14 workforce there.

15 MR. FRIGO: And when you say system wide,  
16 should I think of that as a national program?

17 MR. PORTO: Yes, you could think of it that  
18 way. Yes.

19 MR. FRIGO: And are the liaisons -- Is it a  
20 24/7 role or is it -- We spoke with three liaisons  
21 yesterday and all three of them were mainly daylight  
22 guys. So how should we think about that program as far  
23 as the 24 liaisons? When do they work and?

24 MR. PORTO: So are you asking what their  
25 schedule is or their main role? Is their role 24/7

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 being a liaison or do we have them strategic or their  
2 schedule staggered in a way to provide 24/7 coverage?

3 MR. FRIGO: I'm looking to learn more about  
4 what the methodology for deploying the 24 resources  
5 across the system wide? How is that rolled out?

6 MR. PORTO: Okay. So with the liaisons,  
7 when we went to develop the schedule for the liaisons,  
8 we want to make sure that we had coverage 24/7, Sunday  
9 through Saturday and around the clock. Yes, we do have  
10 staggered schedules and at any given time there is a  
11 liaison on the property or liaisons on the property  
12 anywhere in the system.

13 Currently there are eight liaisons that we  
14 have that are dedicated to the tour third shift or  
15 night shift. So roughly 33 percent are liaisons that  
16 are dedicated to that third shift. And the others are  
17 all staggered. So there might be Monday through  
18 Friday, Monday through Thursday, Sunday through  
19 Thursday, Tuesday through Saturday just to make sure  
20 that we have a staggered schedule to cover that.

21 MR. FRIGO: Okay. So it might not -- From  
22 the worker-on-the-ground perspective being in a gang, I  
23 might not see a liaison all the time. But based on how  
24 the program is managed from System safety, there is a  
25 liaison that's out there.

1 MR. PORTO: Correct.

2 MR. FRIGO: Somewhere.

3 MR. PORTO: Correct. And it's not set in  
4 stone these schedules. We made sure when we went  
5 through -- And actually today is the anniversary of one  
6 year ago, September 8, 2015 that we signed into  
7 agreement all of these System safety agreements.

8 When we first developed it, this is how we  
9 set it up. But there's flexibility within the  
10 agreement that we're able to change these start dates  
11 or working times of any liaison. We go through and  
12 review any of the data that we're collecting if we  
13 identify a trend or if we know that a major project is  
14 coming up that's going to require a little bit more  
15 safety resources to be present there. We have that  
16 flexibility given that we follow the collective  
17 bargaining agreements and provide proper notification.  
18 We have that ability to adjust the schedules of any  
19 liaison.

20 MR. FRIGO: Let's talk a little bit more  
21 about that, about planning and major work that might  
22 require a shifting of resources. We'll get to data  
23 because I really want to talk about data as well.

24 MR. PORTO: Sure.

25 MR. FRIGO: But if you can talk more about

1 how that -- You mentioned that you get involved in, you  
2 and your staff, in the site-specific safety work plans  
3 and hazard analysis and mitigation processes and using  
4 the liaisons as a resource as well.

5 MR. PORTO: Yes.

6 MR. FRIGO: If you can speak to that.

7 MR. PORTO: Sure. With the site-specific  
8 safety work plans, it's not consistently applied  
9 throughout the engineering system. What I mean when I  
10 say that is we don't have a single template that's used  
11 throughout the system for site-specific safety work  
12 plans.

13 Right now, they are fragmented, a little  
14 different variations per division. Primarily, they're  
15 going to cover the same concept. We are working  
16 towards development of one single template to be able  
17 to apply consistently throughout there.

18 Also by comment, there are some project  
19 managers that are better than others in developing  
20 those site-specific safety work plans, the acronyms.  
21 But we go through and review the best that we can to  
22 identify any issues that are there. We have the  
23 conversations with the project managers, with the field  
24 managers that are going to be providing the work force  
25 to support this, to make sure that we've identified to

1 the best of our ability any hazards that could be  
2 present that are out there.

3           When we identify them, we're going to go  
4 through that process of mitigating to the best of our  
5 ability, using engineering controls or whatever or what  
6 we have to reduce that risk or eliminate it or be able  
7 to identify if there's certain risk that is acceptable  
8 within a process. But that is last resort.

9           MR. FRIGO: So you mentioned the project  
10 manager as part of the function of the SSWP.

11           MR. PORTO: Yes.

12           MR. FRIGO: Does the SSWP not exist without  
13 a project manager?

14           MR. PORTO: Right now, it's part of larger  
15 scheduled projects for maintenance side or the routine  
16 type tasks. It doesn't exist. Now that's something  
17 where JSAs would come into play. And we would able to  
18 look at these routine tasks to identify hazards and  
19 mitigating strategies that way.

20           MR. FRIGO: Okay. So again sticking to the  
21 site-specific work plan, the SSWP, can you give an  
22 example that you can recall of any project that  
23 required your input or Safety's input from a hazard  
24 analysis perspective?

25           MR. PORTO: Pretty much any large scheduled

1 project is going to have -- there's a sign-off on there  
2 for safety. It has to go through somebody on the  
3 Engineering Safety Team, somebody in my organization to  
4 take a look at it and sign off on it.

5 So any one of the large projects we have  
6 going on, the New Jersey High Speed Rail Project -- we  
7 could name and go on and on and on naming them -- Do  
8 you want me to continue keep naming different projects?

9 MR. FRIGO: No.

10 MR. PORTO: I mean from the facade project  
11 going on.

12 MR. FRIGO: No, I'm just curious to learn  
13 more about -- You pick whatever project that you want  
14 and if you could just describe that process of hazard  
15 identification and then analysis in that the mitigation  
16 and/or elimination, whatever, exists. I'm just curious  
17 to learn more how.

18 MR. PORTO: Okay. Well, we'll use for  
19 example everybody's walked into the station today. So  
20 you've seen all the construction going on, the  
21 scaffolding and all up there. So we have this facade  
22 restoration project going on.

23 During the planning phases of that, we sat  
24 down with the project manager as well as the successful  
25 contractor that won the bid for that job and discussed

1 the plan, what we are going to do, what the job entails  
2 as far as meeting the objectives of what that project  
3 is. And then we go through each of those steps to get  
4 to that from the material preparation and then we bring  
5 material in and identify what issues would exist with  
6 the placement. Where are we going to place it from the  
7 infrastructure from where it's being placed and how  
8 it's being placed and the equipment that's going to be  
9 there? Go through each one of those steps to identify  
10 any possible hazards that could come up from our side,  
11 a safety aspect.

12           When we identify those, we talk about how  
13 can we mitigate this concern. So it's an interim  
14 process that we go through and we go through each step,  
15 each phase of that and develop this preliminary plan.

16           As we go through the project, with this  
17 project -- So we did that at the planning phase. Then  
18 as we start to bring material in, we revisit that. We  
19 take a look and make sure that things are being done.  
20 Make sure that the assurance piece is there. Going out  
21 doing inspections. Making sure they're following what  
22 we said and then the mitigating steps that we said  
23 should be present.

24           Through that process, we can identify  
25 certain aspects of the project that we weren't able to



1 identify in the initial planning phases. As I was  
2 saying through the mitigating process, we're going to  
3 go back to the table, bring everyone together and talk  
4 about this came up. How are we going to move forward  
5 with mitigating this step?

6 MR. FRIGO: Thanks, Matt. And so it sounds  
7 like initially there is the project. And then there is  
8 the coordination of subject matter experts that assist  
9 in the development of the SSWP to support the project.  
10 And as part of that, there is the identification of  
11 hazards by the safety professionals.

12 MR. PORTO: Yes.

13 MR. FRIGO: And then when you get into the  
14 analysis section, are there any tools that you use? Is  
15 there any -- How do you determine what hazards, you  
16 know, the severity of a hazard? Or is there a  
17 consequence? A probability?

18 MR. PORTO: You're hitting right now. The  
19 hazard, you would have the probability and then the  
20 severity. So you take a look at basic risk assessment  
21 matrix. What is the probability of this issue, the  
22 concern that we have, from occurring? Then we take a  
23 look at how severe would something be if you did not  
24 mitigate this?

25 And you'll come up with your assessment on

1 that. So you could have something that is severe,  
2 classified as severe. That requires immediate  
3 attention. This is your 1A.

4 You could have something that's medium or a  
5 thing that the probability of occurring is once in a  
6 million. And when you get to those steps, that's where  
7 you really start getting into acceptable risk.

8 MR. FRIGO: I'm glad you -- Thanks for  
9 clarifying that for all of us.

10 MR. PORTO: I apologize for not saying that  
11 to begin with. I skipped right over it.

12 MR. FRIGO: Not at all. And I just want to  
13 -- I know I gave you the freedom to pick the project  
14 example and you picked here at 30th Street Station.  
15 I'm wondering if you could just -- If we could just go  
16 into the field for a second.

17 MR. PORTO: Sure.

18 MR. FRIGO: And let's pick a major  
19 production project that's on the right of way utilizing  
20 on track equipment and using men that are going to be  
21 out there and again using your description of the  
22 hazard analysis process and acceptable risk and  
23 assigning risk categories and whatnot. What would be  
24 some of those severe risks that in a generic project on  
25 the right of way that would be considered severe that

1 you would have to mitigate?

2 MR. PORTO: Number one, the tracks, the  
3 environment that you're working on, providing  
4 protection for the passage of moving trains. I mean  
5 right there the probability, number of trains that we  
6 had running down, we have the high frequency of  
7 movement that's happening. Severity of something  
8 happening if we did not mitigate that, extremely high.  
9 Right there, that's number one. Is that what you're  
10 looking to hear?

11 MR. FRIGO: I'm just trying to get a better  
12 understanding of how it plays out in the field.

13 MR. PORTO: Sure. And there's many other  
14 hazards as well that we're taking a look at, staging of  
15 equipment for bringing down some rail and replacing it  
16 there. We have to really go through and discuss that  
17 process, how it's going to be placed, how it's going to  
18 be secured, because look at the severity of the rail  
19 coming down and with somebody there moving rail, using  
20 on-track equipment and a crane and the whole dynamics  
21 of that operation. We have to go through that and  
22 discuss that. So it's not just RWP, railway work  
23 protection and taking a look at a holistic view of the  
24 project.

25 MR. FRIGO: I want to take the example now

1 away from the SSWP world and I want to bring it to the  
2 job site that doesn't have the project manager, that  
3 didn't have the planning team that put together the  
4 SSWP. How am I to understand how the hazard  
5 identification analysis and mitigation process works in  
6 that example?

7 MR. PORTO: In those examples, it's heavily  
8 dependent on the manager that's overseeing that  
9 project. These managers, they have a lot of experience  
10 within the industry and that's how they've reached the  
11 position that they're in.

12 It's almost a double-edged sword and this is  
13 throughout the entire industry. This is within the  
14 railroad industry. You have all this experience. With  
15 that experience comes with it the experience of knowing  
16 what can go wrong, the areas to make sure that they're  
17 going to cover and discuss with the employees or the  
18 supervisors and foremen that are out there performing  
19 the job.

20 But the other side of that is I guess the  
21 reluctance to change, to do new things. System safety  
22 approach to things, there's a change for the railroad  
23 and the railroad industry. I'm not saying they're  
24 going to say no. They're not going to go through if we  
25 try providing training on hazard identification and

1 doing risk assessment matrix on these items.

2 But that's really how it comes in. They're  
3 not going through following or doing a true risk  
4 assessment matrix and documenting these hazards on  
5 those types of tasks.

6 MR. FRIGO: But it sounds like they're  
7 relying on their experience to plan the work safely and  
8 to issue the work safely in areas again where  
9 experience has played the main role.

10 MR. PORTO: Absolutely. But also we have  
11 the verification steps, the assurance steps, where  
12 we're going in there. That's where it's critical to  
13 make sure that we have proper inspection, plans and  
14 inspections or observations happen at the worksite.

15 If there was any oversight at that chance,  
16 we're able to capture it, identify it. At that point,  
17 we can go through and mitigate any of the hazards that  
18 are identified.

19 MR. FRIGO: And you mentioned managers as  
20 being the planning organizational factor at that local  
21 level to plan the work and make sure the work gets  
22 done. Is that at a division level? Is that best how  
23 to think of that or?

24 MR. PORTO: Almost subdivision level. It  
25 would be ADE, assistant division engineer, level within

1 their specific geographic territory craft.

2 MR. FRIGO: Thanks for that clarification,  
3 Matt. Do you know with the safety liaisons that are  
4 out there if the liaisons are used by the assistant  
5 division engineers as a resource when it comes to  
6 planning work?

7 MR. PORTO: Absolutely, and they should be  
8 reaching out to them as a resource as well as reaching  
9 out to the lead safety specialists when they're  
10 planning. Critically, it's integral in that planning  
11 phase that they should be doing this.

12 MR. FRIGO: And the lead safety specialists,  
13 how many of those are there that would come under your  
14 section for Engineering?

15 MR. PORTO: Six lead safety specialists.

16 MR. FRIGO: And are they organized system  
17 wide as well?

18 MR. PORTO: They are system wide and by  
19 division.

20 MR. FRIGO: By division. So it sounds like  
21 there's always a lead safety specialist or a safety  
22 liaison that an ADE could reach out to to assist in  
23 planning some of this work and to gain a system safety  
24 perspective.

25 MR. PORTO: Absolutely.

1 MR. FRIGO: And thanks for helping me  
2 understand that process. And I know you and I both are  
3 into data. So why don't we talk a little bit about  
4 that? And we learned from the liaisons that they now  
5 have tablets.

6 MR. PORTO: Yes.

7 MR. FRIGO: Before there was a checklist and  
8 there are forms that are populated. And they kept  
9 saying "Well, the forms go to Matt. We don't know what  
10 happens to that." Maybe if you could help us  
11 understand what happens when the forms go to you and  
12 how is your -- You mentioned trends. If you could walk  
13 us through your data, your analytics project.

14 MR. PORTO: Sure. Absolutely. Yes, I would  
15 love to. And just to practice before I go into all  
16 that, the system safety agreement like I said we just  
17 signed it one year ago today.

18 And as with any process or program, it's  
19 continuous improvement. We're always looking for ways  
20 to get better and improve to make it easier for  
21 everyone to be better.

22 With that said, the whole electronic safety  
23 program that we've developed, it's I would say somewhat  
24 newer. There's been parts of it that have been out for  
25 longer than others. But as far as the inspections and

1 collection of information on the tablets out in the  
2 field, that system went live on August 1st. So we're  
3 still in the earlier stages of that implementation.

4           And the reason I'm saying that is it's all  
5 the information right now and how we built the system  
6 is for them to be able to have these tablets, to be  
7 able to be out there at the worksite, capture that  
8 information.

9           They can capture pictures right from there,  
10 attach it to their forms and submit the information.  
11 The information once it's submitted, we provide  
12 cellular service with all the tablets. So it's live.  
13 A hundred percent gets fed back to our database.

14           The information is all stored in one central  
15 location. That information depending on whatever  
16 inspection they do we can go through and we do go  
17 through and take a look at who is submitting the  
18 inspections, at what frequency, where, what  
19 deficiencies are we seeing.

20           That type of information right now is more  
21 on a manual side. What I'm going to be doing here in  
22 the very near future is being able to provide  
23 interactive accessibility from the tablets for managers  
24 to be able to go access that information and be able to  
25 slice and dice it however they would like to see it.



1           The information also we're going to go  
2 through. It's like I said broken down by liaison. So  
3 the liaisons will receive a report on a monthly basis  
4 showing for them specifically. So it would let's say  
5 Midatlantic North track. What deficiencies they've  
6 seen in their inspections that have been submitted as  
7 well as any of the lagging indicators that are out  
8 there. And with the observations we're looking at that  
9 more of leading indicators.

10           Then we can comply all the information  
11 together and provide a focus for them, different areas  
12 where they can concentrate on, discuss these specific  
13 areas within their safety committees, when they're out  
14 in the field talking with employees, to try to really  
15 narrow in, focus in, on the areas of concern within  
16 their area.

17           We can also do that by a division basis or  
18 global by craft, track, across the entire system. It's  
19 almost complete, but we do have a predictive and a  
20 local model that we're working on that uses multiple  
21 databases that we're pulling from operating rule  
22 violations, historical injury data for the past 25  
23 years, the observation information as well. And we're  
24 using the official networks as well as recursive  
25 partitioning to be able to go through and provide that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 predictive and a local model that will identify which  
2 variables that are feeding into this that have a higher  
3 probability of occurring for the next month. That will  
4 help try to focus in and identify certain areas of  
5 focus for us to be able to be more effective in our  
6 safety approach.

7 MR. FRIGO: That's interesting to hear  
8 about. I'm just curious how -- You mentioned that a  
9 goal of this project is to create a monthly summary for  
10 the liaison. But what you're describing there sounds  
11 like there would be many others within the organization  
12 that would be interested in it.

13 MR. PORTO: Absolutely. And it's not just  
14 for the -- The liaisons are going to have the immediate  
15 access because it's going to be right there on their  
16 tablets. And their tablets, everything was designed  
17 around this system that we developed. So they'll have  
18 that immediate access.

19 But the division engineers -- and we've  
20 spoken with the division engineers about this -- they  
21 can access it. ADEs can access it. And they will be  
22 able to see the focus areas as well for that. It's  
23 very easy. It's just adding another line of coding  
24 there to be able to have that report automatically  
25 generated and sent out on a monthly basis to whoever we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealgross.com](http://www.nealgross.com)

1 want to provide that information.

2 MR. FRIGO: Do you -- Is there a method for  
3 communicating this information down to the bottom, down  
4 to the boots on the ground? How do you see that  
5 working now?

6 MR. PORTO: Sure. So one of the great  
7 aspects I see when we developed the system safety  
8 agreement was the safety committee approach. We built  
9 a three tiered committee approach with tier one being  
10 localized committee chaired by the safety liaisons.

11 They're required to chair the tier one  
12 safety committee. And that tier one committee is made  
13 up of representatives from each gang within their  
14 jurisdiction.

15 So we've got MidAtlantic Tract North. At  
16 their tier one committee, there would be a  
17 representative from every single gang within  
18 MidAtlantic Tract North that participates in this tier  
19 one committee.

20 The tier two committee is divisional based.  
21 It's chaired by the lead safety specialist as well as  
22 the division engineer.

23 And the tier three is our safety advisory  
24 committee which is myself, the deputy chief engineer  
25 for maintenance, and the general chairman of BMW, BRS,

1 and BRSA (phonetic). The structure that we have is  
2 that any information that is generated either that we  
3 want to get down we can funnel it down through the  
4 safety committees and get it down to that tier one  
5 committee.

6 We have a representative from every single  
7 gang across every craft. We can get that information  
8 word of mouth that way. It also works the other way  
9 around that it provides an environment for anybody that  
10 has a concern issue that they can bring up.

11 Even if they're not on that tier one  
12 committee, they bring it up to their gang  
13 representative that's going to go to that committee.  
14 They'll be able to bring it up and bring it to the  
15 attention of a liaison.

16 All these liaisons, they're the veterans of  
17 their craft out there. They had a lot of trust out in  
18 the field. So employees feel very comfortable being  
19 able to bring up these concerns to them. Then from  
20 there, it escalates up. They provide the minutes.

21 Or any concerns or issues that they weren't  
22 able to resolve at the tier one gets brought up at the  
23 tier two committee. The same type of process. If they  
24 can't resolve anything, it goes up to the tier three  
25 committee.

1           Anything that makes it to the tier three  
2 committee with the individuals involved on that  
3 committee, there's no reason why it cannot be fixed or  
4 resolved. That's one of the main mechanisms that we  
5 have in place to be able to communicate what I'd like  
6 to call ballast to the board room.

7           MR. FRIGO: Very good. Thank you for that  
8 information. I'm going to pass it on and then I'm  
9 going to have some follow-up on the next round.

10          MR. PORTO: Okay.

11          INTERVIEWER: Good morning. This is --

12          MR. PORTO: Good morning, sir.

13          INTERVIEWER: Thank you for coming in. The  
14 liaison they don't necessarily report to you.

15          MR. PORTO: Not directly, no. No liaisons  
16 except for the our liaison report directly to me. All  
17 the liaisons they report to the lead safety specialist  
18 within the division that they're within.

19          INTERVIEWER: Do you have a counterpart in  
20 other departments? You're the Director of the Safety  
21 Engineering. Are there directors in other divisions?

22          MR. PORTO: There are. There's a mechanical  
23 safety director for mechanical. There's a safety  
24 director for any city, safety director for long  
25 distance and space reporting.

1 INTERVIEWER: And do you regularly meet with  
2 these and discuss common issues I assume?

3 MR. PORTO: Yes.

4 INTERVIEWER: Would they as well be involved  
5 in any the site-specific plans that your office is  
6 involved in?

7 MR. PORTO: Not the -- Well, I guess  
8 depending on how far you want to drill down with that.  
9 You know if it's a large project that incorporates  
10 TSRBs and things of that nature, I'm sure they are. I  
11 can't say for sure one way or another.

12 INTERVIEWER: We understand that the  
13 liaisons are out there and they are regularly either  
14 doing daylight or doing night hours. (Inaudible) are  
15 working and in the case there's a deficiency or defect  
16 they generate observations specific to that. But then  
17 is it my understanding that their observations are not  
18 limited to only identifying defects or deficiencies?  
19 There are other observations that are prepared  
20 (Inaudible)

21 MR. PORTO: Absolutely. Positives and we  
22 encourage that when they do see good things out there  
23 that there's that positive reinforcement and  
24 communication. Regardless of what they see,  
25 communication is integral in that process to make sure

1 that they talk with that employee and provide that  
2 feedback.

3 INTERVIEWER: They are expected or required  
4 as we've come to understand to make a minimum of five  
5 observations per week.

6 MR. PORTO: Correct.

7 INTERVIEWER: How is a number like that  
8 generated? Are the number of observations dictated by  
9 the number of -- by itself? I mean I could be --  
10 correct me if I'm wrong -- I'm in today and I've made  
11 three observations within 15 minutes. Would that be  
12 proper?

13 MR. PORTO: Actually, it's five a week. And  
14 we felt that five a week is something that is very  
15 obtainable for any liaison to be able to do on top of  
16 the other requirements, roles and responsibilities that  
17 they have of the chairing the tier one committee and  
18 just being out there visiting gangs and having  
19 discussions with them. So we decided on going with  
20 five. It's something that everybody should be able to  
21 hit without a problem.

22 And the other reason is that we didn't want  
23 this to be a quota driven process. We didn't want to  
24 say "You must conduct 20 observations a week." And  
25 that might reduce the quality of the inspections that

1 we're getting out there just because they're trying to  
2 hit this target.

3           With five, we're hoping that it is a quality  
4 driven process that these are good interactions. We're  
5 capturing live, good snapshots, good data in, good data  
6 out. So we want to make sure we have quality good data  
7 coming out.

8           INTERVIEWER: So we have liaisons in the  
9 field making observations. They're entering this data  
10 into a tablet and then uploading the information that  
11 is readily accessible by your office.

12           MR. PORTO: Correct.

13           INTERVIEWER: Is it accessible by your  
14 counterparts in these other departments as well? Or is  
15 it solely within Engineering?

16           MR. PORTO: As of right now, no. We have it  
17 within Engineering right now. As I said, it's  
18 continuous improvement. All of the development is  
19 being done by myself, the writing of all the code and  
20 the design, everything. If I had a team to be able to  
21 do this, we would be a lot further on to be able to  
22 provide that access for everyone else to be able to get  
23 to it and gain benefit from that information.

24           INTERVIEWER: You're in all of this.

25           MR. PORTO: Yes.



1 INTERVIEWER: As well as just the regular  
2 Director of Safety function you're also writing code  
3 for the data to be connected.

4 MR. PORTO: Yes.

5 INTERVIEWER: Wow. I was unaware. So there  
6 will be the day, if not now at some point, to share  
7 that with the Chief Engineer's office.

8 MR. PORTO: They have access to -- The way  
9 that we interface with the information is through a  
10 SharePoint site on our intranet. So the chief engineer  
11 has access to the information. And when I say has  
12 access to it has visibility rights to be able to view  
13 the information that's going in there and look at the  
14 automatically generated reports that are there right  
15 now.

16 They don't have access to the database to go  
17 in to make an edits. So, yes, they do have access to  
18 it. And with that interface it's as easy as whoever we  
19 want to add to have access to be able to view it we  
20 just give them the privileges. Then they're able to  
21 view it.

22 And like what I said in the future is being  
23 able to provide that whole interactive ability within  
24 that. Right now, everybody can see it. But being able  
25 to interact with that data and then slice and dice it

1 how they wish in addition to the automatically  
2 generated reports, that's down the road.

3 INTERVIEWER: Does this data information  
4 even if read only link with other outside corporations,  
5 private entities, government agencies?

6 MR. PORTO: No, since it's based off of our  
7 intranet you have to have the credentials to be able to  
8 log onto our network to be able to see the information.  
9 But it is information that we do share at the Safety  
10 Advisory Committee. So they are privy to the reports  
11 and information that we're generating from it.

12 INTERVIEWER: But being other safety  
13 organizations, do they have interest in the safety  
14 culture on the property?

15 MR. PORTO: No, because you have to have the  
16 network authorization to be able to get behind our  
17 network.

18 INTERVIEWER: So after collecting all this  
19 data and you sit down and you have something that it  
20 seems like is going to be working, you've got data,  
21 you're able to draw different correlation related to  
22 site-specifics and what may have been a problem here,  
23 could potentially be a problem in similar  
24 circumstances, are you able to take that information  
25 and share that with those who are responsible

1 internally with training or what would be training to  
2 enforce more of these rules because of these issues  
3 that are creating problems?

4 MR. PORTO: Absolutely. Internally we  
5 absolutely can do that.

6 INTERVIEWER: And has that been done in the  
7 past or is that just a future finding?

8 MR. PORTO: Again, this system went live  
9 August 1st. So we're just a little bit over a month of  
10 the system being live. But, yes absolutely. I mean we  
11 have plans of incorporating those type of reports even  
12 with 217.9, an efficiency test that utilizes this type  
13 of information to help focus in on areas that we can  
14 look at performing efficiency tests out there in  
15 certain areas that we see trends developing.

16 INTERVIEWER: I understand this is  
17 (Inaudible) The system safety agreement went live a  
18 year ago.

19 MR. PORTO: Correct.

20 INTERVIEWER: So I'm wondering if any of  
21 this transference of knowledge to those who administer  
22 training or facilitating obligations, has any of that  
23 been happened?

24 MR. PORTO: It has occurred. When we provide  
25 any areas of focus to liaisons, they go out in the

1 field. They communicate it through their safety  
2 committees. They also regularly go into the refresher  
3 camps or new employee orientation training. And these  
4 are the tolls that they should be using to put together  
5 their strategy for talking about certain areas of  
6 safety.

7 INTERVIEWER: I heard today and I've heard  
8 it before (Inaudible) your contacts when you're talking  
9 about maybe project managers or field administrators  
10 that some are better than others.

11 MR. PORTO: That can be applied to anything.

12 INTERVIEWER: Anything in life. But how do  
13 we get less of the vision between those that are good  
14 or adequate and those that need enhancements? How does  
15 that program address any of those shortcomings?

16 MR. PORTO: How would this program?  
17 Specifically the system safety agreement?

18 INTERVIEWER: Or anything that is being  
19 (Inaudible)

20 MR. PORTO: Certainly. I'm a big proponent  
21 of education and enhancing that and continuous  
22 improvement in any process. And that goes for training  
23 as well. So if we can leverage the information that  
24 we're gathering, the knowledge that we gain and use  
25 that to improve training at any level whether it's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 training for project managers or on-the-job training,  
2 that what we should use it for. And that's how we can  
3 leverage this to be able to get to that objective.

4 INTERVIEWER: I'm assuming project managers  
5 and the like type positions receive training.

6 MR. PORTO: Correct.

7 INTERVIEWER: So (Inaudible) in creating  
8 that position. But are the additional trainings for  
9 these project manager type people say more safety  
10 specific that your department administers?

11 MR. PORTO: Safety specific for project  
12 managers, no. But there is new training that is going  
13 on with our project managers. They're required to go  
14 through the PMO process and become certified project  
15 managers. That is a big initiative that our chief  
16 engineer rolled out as soon as he came here to AMTRAK.

17 INTERVIEWER: Okay. Thank you, Matt.

18 MR. PORTO: You're welcome, sir.

19 MR. WALKER: All right. Fran Walker. I  
20 have a few questions. The liaisons in the past  
21 speaking of the computer program, they've gotten that  
22 knowledge that if they see a John Doe not complying  
23 with BBE rule or a safety rule or use the wrong tools.  
24 Is that documented by name and by rule, this person was  
25 not compliant?

1 MR. PORTO: Yes, absolutely. They can  
2 identify specifically by name, identify the specific  
3 rule that they see that was not compliant. However,  
4 within the System Safety Agreement -- and this was on  
5 both sides of the table in the negotiations -- we felt  
6 it necessary to include the language that these  
7 liaisons when they're out there to ensure that they  
8 have the trust of their other peers that any  
9 information that they document will not be used in a  
10 punitive matter in any way.

11 MR. WALKER: So in the past it was given to.  
12 But in the future now, it's going to be available to  
13 everybody else to see. So nobody can bring discipline  
14 against somebody whatever if they have not seen it.

15 MR. PORTO: We have the control of what  
16 people will be able to see. We're not going to put  
17 names out there of this individual didn't wear PPE four  
18 or five times.

19 Those type of things won't be provided in  
20 the reports for them to be able to drill down into.  
21 That's something that the liaisons will have access to  
22 so that they can identify and see if we have an issue  
23 with one specific employee and this one specific rule.  
24 And they should be out there as well as with the safety  
25 manager having these discussions with the employee,

1 talking to their ADE and saying "Maybe you want to  
2 perform some of these specific efficiency tests with  
3 this employee to help coach them and mitigate those  
4 issues."

5 MR. WALKER: All right. They don't get the  
6 interpretations of the rule and they don't understand.  
7 Do they bump it up to you to give them the  
8 interpretation of the rule? Then do they give feedback  
9 into the employees?

10 MR. PORTO: Absolutely. I have a true open  
11 door policy and every liaison knows they can get a hold  
12 of me at any time, any time of the day. I always have  
13 my cell phone on me as well as the lead safety  
14 specialists, their direct managers.

15 MR. WALKER: In the past did the liaisons  
16 ever bring to your attention that there was maybe an  
17 interpretation on these rules in effect?

18 MR. PORTO: No, I do not recall an  
19 interpretation on that.

20 MR. WALKER: All right. Have you gone over  
21 the rules? Have you taken the class on (Inaudible)

22 MR. PORTO: Yes, sir.

23 MR. WALKER: Are you aware that a  
24 requirement is that all operating rules/procedures  
25 dealing with that is actually one manual?

1 MR. PORTO: Yes.

2 MR. WALKER: All right. Was it ever brought  
3 to your attention by the liaisons or anybody that there  
4 was a problem say about a year ago when the manual was  
5 revised that shunt rule was not in the manual? Was  
6 that brought to your attention by anyone?

7 MR. PORTO: Specifically the shunt rule, no.

8 MR. WALKER: You're saying these forms that  
9 they used to go out with the liaisons that it was a  
10 paper form that only went to you.

11 MR. PORTO: The paper forms, that was under  
12 the old system safety program.

13 MR. WALKER: The prior logs, I'm saying  
14 there was a paper form the liaisons filled out and that  
15 only was sent to you.

16 MR. PORTO: No.

17 MR. WALKER: Your department.

18 MR. PORTO: The paper forms the liaisons  
19 would keep all those forms. They were the ones that  
20 would go through it and look for any trends and  
21 identify any trends. It would have been -- That's just  
22 too much for any one person to be able to collect forms  
23 from 24 individuals across the entire system and try to  
24 input that information and generate trends off of that.

25 MR. WALKER: Basically it was the liaison's



1 responsibility to identify trends and bump it up to you  
2 to see if there was any problem.

3 MR. PORTO: Between September 8th and August  
4 1st when we went live with an electronic system, yes.  
5 But continuous improvement. We're always looking to  
6 improve and that's one of the ways that we did that.

7 MR. WALKER: Okay. So I guess system safety  
8 position now to interpret all rules you say regarding  
9 any safety rule. Is it their responsibility to  
10 interpret the rules?

11 MR. PORTO: If there is an interpretation  
12 that is needed on 214, yes. It should come through  
13 system safety.

14 MR. WALKER: One last question. I guess at  
15 one time in a different department -- I guess Human  
16 Resources -- they asked you to develop the RED  
17 (phonetic) manual and it was published. Do you know  
18 when that responsibility was changed from say in Human  
19 Resources or whatever to system safety?

20 MR. PORTO: I can't say. All I can speak on  
21 is since I've been here and in the position of Director  
22 of Safety. So I know when 336 regulation came out and  
23 went into effect on July 1, 2014. That was done in a  
24 collaborative effort through system safety, through  
25 engineering training. We had a collaborative approach

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to revising the manuals.

2 MR. WALKER: Okay. No further questions.

3 INTERVIEWER: I have no questions.

4 MR. BEATON: Hi Matt.

5 MR. PORTO: Hello, sir.

6 MR. BEATON: Bob Beaton. Have we met  
7 before?

8 MR. PORTO: I don't believe so.

9 MR. BEATON: Okay. You look familiar and  
10 I'll figure that out at some point in time.

11 MR. PORTO: Okay.

12 MR. BEATON: I'm delighted to be able to  
13 talk to you and learn from you today since you're the  
14 Director of Safety Engineering. You joined AMTRAK in  
15 2011.

16 MR. PORTO: Yes, sir.

17 MR. BEATON: What were you doing before  
18 that?

19 MR. PORTO: Before that, I was a metrology  
20 engineer in research and development for semiconductor  
21 microelectronic devices.

22 MR. BEATON: So you're a EE by academic  
23 training.

24 MR. PORTO: I'm astrophysics for undergrad,  
25 a minor in math.

1 MR. BEATON: Okay. Cool. What  
2 semiconductor house did you work for?

3 MR. PORTO: It was originally Rohm and Haas  
4 Electronic Materials, bought out by Dow Chemical. And  
5 we made the consumables for semiconductor  
6 microelectronics.

7 MR. BEATON: I'm a Tectronics alumnus back  
8 in the day when we were playing with gallimorcinite  
9 (phonetic). So maybe we have something to talk about.

10 MR. PORTO: I felt a lot of that.  
11 Absolutely.

12 MR. BEATON: All right. So as a physicist  
13 and technical specialist, how did you get into safety?

14 MR. PORTO: It was I came to the railroad.  
15 As I said I came in in the environmental specialist  
16 position and enjoyed being out in the field. Being out  
17 there as a manager new to the railroad, safety is  
18 something that everybody has to do.

19 I had a great mentor at the time, my boss  
20 who was the Division Engineer in MidAtlantic Division.  
21 He did not shy away from somebody wearing two hats.

22 And being out there, there were a lot of  
23 times when I had to respond to different emergency out  
24 on the tracks where I might have been the only manager  
25 or white hat as they say out in the field. I felt that

1 it was important that I knew thoroughly the safety  
2 rules and applications of those rules out in the field.

3 From a regulatory standpoint, it was a  
4 fairly easy transition. It was just changing the title  
5 of the CFR from 40.49 and being able to understand the  
6 regulations that pertained to our industry.

7 MR. BEATON: In your role as Director of  
8 Safety, Engineering, what does engineering mean? I  
9 mean as an engineer or physicist/mathematician you have  
10 an academic understanding of the word engineering. But  
11 now you're in the railroad and now you have a practical  
12 understanding of the word engineering. What does  
13 engineering mean in your title in terms of what you do?

14 MR. PORTO: That would be maintenance and  
15 the production and construction activities.

16 MR. BEATON: Okay. Are there other  
17 directors of safety, other groups?

18 MR. PORTO: Yes, there are.

19 MR. BEATON: And how many are there?

20 MR. PORTO: There is specifically for the  
21 operations a director of safety for any city, director  
22 of safety for mechanical, director of safety for long  
23 distance, space forwarded. And those folks in the main  
24 operations have other directors.

25 MR. BEATON: These are your peers, your

1 colleagues, and I assume you work well with them.

2 MR. PORTO: Yes.

3 MR. BEATON: Or act frequently with them I  
4 mean.

5 MR. PORTO: Yes.

6 MR. BEATON: So who corrals this group of  
7 safety directors?

8 MR. PORTO: We all report to the deputy  
9 chief safety officer.

10 MR. BEATON: And that would be Theresa.

11 MR. PORTO: Correct.

12 MR. BEATON: Okay. And Theresa reports to  
13 whom?

14 MR. PORTO: Michael Logg.

15 MR. BEATON: And Michael reports to whom?

16 MR. PORTO: To DJ Stadler.

17 MR. BEATON: Stadler. And Stadler reports  
18 to?

19 MR. PORTO: Now he reports to Mr. Morman,  
20 our new CEO.

21 MR. BEATON: Are you expecting that new  
22 reporting structure to have any direct impact on your  
23 group or your activities?

24 MR. PORTO: You know the safety especially  
25 in the railroad industry and in the passenger railroad

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 industry is paramount. If there would be any more  
2 attention and funds brought to it, that would be great.  
3 But I have no clue.

4 MR. BEATON: Not expecting anything at this  
5 point.

6 MR. PORTO: I don't know what to expect. He  
7 just started.

8 MR. BEATON: So you're holding your breath.  
9 You're reserving the right to develop it.

10 MR. PORTO: Yes.

11 MR. BEATON: All right. I got that. So who  
12 reports to you?

13 MR. PORTO: The lead safety specialists.

14 MR. BEATON: And how many are there? I  
15 think Ryan probably already asked that question.

16 MR. PORTO: Yes, there's six.

17 MR. BEATON: Six. And where are they  
18 located?

19 MR. PORTO: There is one lead safety  
20 specialist per division. So we have a MidAtlantic  
21 Division, New York Division, New England Division. We  
22 have a production lead safety specialist, central lead  
23 safety specialist and west lead safety specialist.

24 MR. BEATON: And physically they're located  
25 in this building or are they --

1 MR. PORTO: No, they are located within that  
2 division.

3 MR. BEATON: So they communicate with you by  
4 way of?

5 MR. PORTO: We talk every day. I talk with  
6 my lead safety specialists whether it be by phone,  
7 email, text.

8 MR. BEATON: Okay. So you know the value of  
9 teleworking then, right?

10 MR. PORTO: Yes, sir.

11 MR. BEATON: And teleconferencing.

12 MR. PORTO: Yes.

13 MR. BEATON: Do you have a pretty good  
14 relationship with your crew?

15 MR. PORTO: I do.

16 MR. BEATON: Do they have reports to do?

17 MR. PORTO: Yes, the safety liaisons report.

18 MR. BEATON: The safety liaisons, okay.

19 MR. PORTO: Correct.

20 MR. BEATON: So I met the safety liaisons  
21 and talked with them yesterday. I had quite a great  
22 conversation with them. I was quite impressed.

23 And one of my takeaways talking about the  
24 safety liaisons is they're kind of the big man on the  
25 ground. I mean they weald a lot of influence being a

1 member of the crafts, but also have the direct line of  
2 sight to get things done with management.

3 MR. PORTO: Yes.

4 MR. BEATON: Was that intended you guys set  
5 up safety liaisons?

6 MR. PORTO: Absolutely.

7 MR. BEATON: Is it part of the selection  
8 process for a safety liaison to consider how well they  
9 can politic?

10 MR. PORTO: No, it's not. The selection  
11 process, it's one of the areas that has been  
12 drastically revised under the new agreement. So the  
13 selection process is first based on the seniority of  
14 the employee. Well, actually I take back that first  
15 comment.

16 MR. BEATON: Okay.

17 MR. PORTO: So after the first we filter by  
18 seniority and we identify the top seven. We go through  
19 and we pool all the different type of personnel  
20 information that we have on the top seven candidates  
21 for that specific position.

22 That information is shared with the chairman  
23 of the respective union that that liaison falls under.  
24 And myself, the deputy chief engineer of maintenance as  
25 well as my managers of the system safety, Theresa and



1 Michael, we take a look at that information and develop  
2 our ideas of who we feel should be the best candidate  
3 out of these seven.

4 And we usually wait about a week after we  
5 send that information out. Then we come back to the  
6 table, myself, the deputy chief engineer of maintenance  
7 as well as the general chairman and we go through a  
8 process, the strike process. We each have three  
9 strikes.

10 The union goes first. They strike an  
11 employee. We go. Last man standing has the position.

12 MR. BEATON: Okay. So through a process of  
13 elimination ultimately --

14 (Simultaneous speaking)

15 MR. PORTO: (Inaudible)

16 MR. BEATON: That's understood these days.  
17 There's a consensus. I heard you use the term earlier  
18 when you were talking with the young fellow across the  
19 table from me JSA.

20 MR. PORTO: Yes.

21 MR. BEATON: Do you remember JSA? What does  
22 JSA stand for?

23 MR. PORTO: Job Safety Analysis.

24 MR. BEATON: Job Safety Analysis, okay, as  
25 opposed to something like KSA's knowledge, skills and

1 abilities. So in the selection of your safety  
2 liaisons, at what point do the qualifications as a  
3 safety engineer or safety specialist come into play?

4 MR. PORTO: Can you clarify that? Sorry.

5 MR. BEATON: When you go through the process  
6 of elimination to select people, at what point do you  
7 consider -- I mean I didn't hear you say you were  
8 picking them based on their political savvy? But I  
9 heard you say you picked them on their seniority and  
10 then by consensus with the other stakeholders here.  
11 But at what point do you pick them based on their KSAs  
12 for safety?

13 MR. PORTO: Oh, we go through and we take a  
14 look at the top seven candidates by seniority. That's  
15 how we get to the top seven first off. We go through  
16 and we talk to the managers of each one of those  
17 employees, people that have experience with them.

18 And when we come up with our strategy of  
19 here's by priority who we would like to have in the  
20 position, that's based off of the collection of  
21 information including their knowledge around safety.

22 MR. BEATON: You've got 25 safety liaisons  
23 or so.

24 MR. PORTO: Twenty-four right now.

25 MR. BEATON: Twenty-four.

1 MR. PORTO: Twenty-five soon.

2 MR. BEATON: Twenty-four. Hopefully you get  
3 another union involved to get another one. Out of that  
4 pool of 24, potentially 25, safety liaisons, how many  
5 actually have any formal training in safety to the  
6 point that they have a degree or a certificate?

7 MR. PORTO: Off the top of my head, I don't  
8 know. That's not a requirement for them to be able to  
9 bid on the position.

10 MR. BEATON: Not a requirement to be a  
11 safety liaison. It's not a requirement.

12 MR. PORTO: But there very well could be  
13 some safety liaisons with a formal education.

14 MR. BEATON: And you mentioned that your  
15 direct reports were lead safety --

16 MR. PORTO: Specialists.

17 MR. BEATON: -- specialists.

18 MR. PORTO: Right.

19 MR. BEATON: And there are six of those.

20 MR. PORTO: Yes, sir.

21 MR. BEATON: How many of your lead safety  
22 specialists have had formal safety training to the  
23 point where they have a certificate or a degree?

24 MR. PORTO: One of my positions is vacant  
25 right now. So I'm basing this off of the five.

1 MR. BEATON: Okay.

2 MR. PORTO: I would say four of the five  
3 have one.

4 MR. BEATON: Have what?

5 MR. PORTO: Whether it's a bachelors degree  
6 in a safety-specific area or a certification.

7 MR. BEATON: Do you know that? Or are you  
8 speculating?

9 MR. PORTO: No, I know.

10 MR. BEATON: So there are four of the five  
11 are degreed safety.

12 MR. PORTO: Or have a certification in  
13 safety.

14 MR. BEATON: And the safety certification  
15 would be from whom?

16 MR. PORTO: I'm trying to recall. I can't  
17 recall exactly the certification.

18 MR. BEATON: Are you a member of any system  
19 safety organizations, professional organizations?

20 MR. PORTO: I'm a member of the BAINS  
21 (phonetic) Committee. And I --

22 MR. BEATON: BAINS is a railroad safety  
23 oversight committee. But I'm talking about in the  
24 professional.

25 MR. PORTO: In the professional, no.

1 MR. BEATON: Have you ever been to a system  
2 safety professional conference, given a paper or talk  
3 or?

4 MR. PORTO: Within system, no.

5 MR. BEATON: Okay.

6 MR. PORTO: And the closest would be I'm the  
7 chair of the RIMA (phonetic) Safety Committee.

8 MR. BEATON: Okay.

9 MR. PORTO: And we go --

10 MR. BEATON: Railroad Industry.

11 MR. PORTO: Correct.

12 MR. BEATON: Safety group.

13 MR. PORTO: Yes.

14 MR. BEATON: But nothing outside that, the  
15 Rail Safety?

16 MR. PORTO: No, sir.

17 MR. BEATON: Are you familiar with system  
18 safety work outside of the railroad industry?

19 MR. PORTO: Yes.

20 MR. BEATON: What industries?

21 MR. PORTO: I'm coming from a very large  
22 corporation that is very large on safety. Yes.

23 MR. BEATON: I'm just trying to learn. I  
24 probably should give you my usual pre-apology.

25 MR. PORTO: That's alright.

1 MR. BEATON: I love talking about safety.  
2 So if I sound a little enthusiastic it's only because  
3 I'm a little enthusiastic. But don't take it as  
4 anything other than we're just having a conversation.

5 MR. PORTO: Absolutely. I would never.

6 MR. BEATON: So have you ever heard the  
7 phrase "human systems integration"?

8 MR. PORTO: Specifically I can't say. Maybe  
9 I have.

10 MR. BEATON: You used the phrase a moment  
11 ago "safety matrix" right?

12 MR. PORTO: Yes.

13 MR. BEATON: What is that, safety matrix,  
14 not from a math point of view? We're not going to  
15 invert anything here.

16 MR. PORTO: I think how I used it was a risk  
17 assessment matrix.

18 MR. BEATON: Risk assessment.

19 MR. PORTO: Yes.

20 MR. BEATON: Can you tell me how that safety  
21 matrix is laid out?

22 MR. PORTO: Sure. It's going to be based on  
23 the probability of an occurrence and you can look at  
24 that as being on the Y axis and on the X axis you're  
25 going to have your severity.

1 MR. BEATON: The probability of occurrence,  
2 how do I define probability of occurrence?

3 MR. PORTO: Likelihood of it happening.

4 MR. BEATON: So am I defining the  
5 probability of an accident?

6 MR. PORTO: It depends on what the hazard or  
7 risk that you're assessing is if it's going to injury  
8 or something occurring you're looking at. It's not  
9 going to be the mathematical.

10 MR. BEATON: So let's talk about risk and  
11 then job specific risk analysis or job site analysis at  
12 JSA. So I want to use your matrix for risk assessment.

13 MR. PORTO: Sure.

14 MR. BEATON: And let's just take a job  
15 context like ballast vacuuming to pick something less  
16 than randomly. How do I talk about probability of  
17 occurrence in a ballast vacuuming job?

18 MR. PORTO: You're going to want to take a  
19 look at that task and everything that goes along with  
20 it, the environment, HOV noise exposure. I mean that's  
21 something that you want to take a look at, the physical  
22 action, the activity that has to take place to be able  
23 to perform a rail vac operation and the mechanics  
24 around it.

25 MR. BEATON: Can you give me an example of a

1 issue that you would identify for use in a rail  
2 vacuuming task? Let's just put it in context at  
3 Chester. Give me an example of a specific thing that  
4 you would use your safety matrix for if you looked at  
5 the Chester accident or work plan prior to the  
6 accident.

7 MR. PORTO: Regardless of what you're taking  
8 into account, it's going to be through the same process  
9 you go through.

10 MR. BEATON: I'm just trying to get a handle  
11 on what this matrix thing -- how you use it and you go  
12 through.

13 MR. PORTO: You identify that you have  
14 something that goes with protection, the protection  
15 that's going to be identified as something that would  
16 be on the highest end of that risk assessment matrix.  
17 You're going to prioritize the mitigation strategies  
18 and how to go about doing it.

19 MR. BEATON: So would I assign a probability  
20 of currents to the protection? Is that what goes into  
21 the matrix?

22 MR. PORTO: No, not at the protection being  
23 there. That's going to be a control.

24 MR. BEATON: What goes into the matrix?

25 MR. PORTO: So if we're taking a look at



1 that scenario.

2 MR. BEATON: Yes.

3 MR. PORTO: We're taking a look at the work  
4 being done on the tracks, that's there movement on the  
5 tracks. We have the high frequency of movements  
6 occurring at a high rate of speed. And to mitigate it  
7 you have to implement RWP type protection. That's very  
8 simplistic.

9 MR. BEATON: Have you ever filled out a  
10 safety matrix for a task?

11 MR. PORTO: Yes.

12 MR. BEATON: And your resource to fill that  
13 out, where did that come from? How do you know about  
14 the safety matrix? Is there a document?

15 MR. PORTO: Safety resources, I mean it's  
16 risk assessment matrix which is part of a lot of  
17 different safety approaches.

18 MR. BEATON: Is there a seminal partner  
19 document or resource? Do you know the origin of the  
20 safety matrix?

21 MR. PORTO: My occurrence of it was within  
22 the Mil standard (phonetic). I believe that's where I  
23 pulled it out from, 82 I believe. Eighty-two, I don't  
24 know. It could be.

25 MR. BEATON: If I told you it was 82E would

1 that make any difference as opposed to 82D?

2 MR. PORTO: I couldn't tell you the  
3 specifics. I know 82E if I would put money on it I  
4 would say that's where it is because I know that's  
5 where I've seen a lot of --

6 MR. BEATON: Who makes up Mil standards?  
7 I'm just curious where the hell these things come from.

8 MR. PORTO: I couldn't tell you. I don't  
9 know who.

10 MR. BEATON: I'm trying to understand how  
11 influential 82E which was last revised in 2012 is to  
12 you. You describe it as an X axis, Y axis. So if  
13 we're looking at the Y axis, it's probability of  
14 occurrence. The X axis I assume is?

15 MR. PORTO: Severity.

16 MR. BEATON: Severity, okay. So at some  
17 point there I have a low probability of occurrence and  
18 a low severity. Okay. That's close to my origin I  
19 guess. That defines a region in the space. What does  
20 it define for me? What do I get out of that? What  
21 does that matrix tell me?

22 MR. PORTO: Your risk. You're identifying  
23 the risk for that hazard.

24 MR. BEATON: So low probability, low  
25 consequence is what kind of risk?

1 MR. PORTO: It's a low risk.

2 MR. BEATON: Low risk. And for a low risk  
3 hazard, what do I do about that?

4 MR. PORTO: You still want to take a look at  
5 it and see if there's a way that you can mitigate. I  
6 mean it really kind of goes back to like I said the  
7 definition of system safety. Right. It's going to be  
8 the engineering principles criteria, the practices to  
9 try to eliminate risk.

10 MR. BEATON: All right. And just to  
11 complete this because I want to come back to system  
12 safety here in a second but the other end of these  
13 axes if we're talking about X and Y axes, a high  
14 risk/high consequence hazard, what do I do with that?

15 MR. PORTO: That's something you need to  
16 take a look at and then go through your hierarchy  
17 controls to mitigate it.

18 MR. BEATON: Does 882 differentiate the  
19 kinds of mitigations or the kinds of oversight that are  
20 required for different risk or different areas in this  
21 space?

22 MR. PORTO: I can't tell you specifically if  
23 882 identifies that or not. But if you're asking me if  
24 I know the hierarchy of controls, yes.

25 MR. BEATON: Does 882 refer to a hierarchy

1 of controls?

2 MR. PORTO: I --

3 MR. BEATON: I'm just curious.

4 MR. PORTO: 882 I don't have a photographic  
5 memory.

6 MR. BEATON: I think you told me you hadn't  
7 heard the phrase "human system integration." Is that  
8 correct?

9 MR. PORTO: No, I said I can't recall if I  
10 had or not.

11 MR. BEATON: Can't recall, okay. Talking  
12 about Chester and talking about risk management. And  
13 you were talking with Ryan earlier about big projects.  
14 Was there a site-specific work plan prepared for the  
15 Chester work that preceded this accident?

16 MR. PORTO: I truly can't recall.

17 MR. BEATON: What would be the criteria to  
18 determine whether a site-specific work plan was done  
19 for a wayside, a maintenance job like rail backing?

20 MR. PORTO: The site-specific work plan,  
21 they are developed with the scheduled jobs primarily  
22 within our production group is where they come from.

23 MR. BEATON: Was this job handled by your  
24 production group?

25 MR. PORTO: No, it was not.

1 MR. BEATON: It was handled by?

2 MR. PORTO: Division maintenance.

3 MR. BEATON: Does division maintenance ever  
4 do site-specific work plans for their jobs?

5 MR. PORTO: Yes.

6 MR. BEATON: What's the criteria or  
7 threshold that would determine when a site-specific  
8 work plan would be done versus when we'll just go do  
9 it?

10 MR. PORTO: I would say when the project is  
11 large enough that requires a project manager to oversee  
12 the schedule.

13 MR. BEATON: The project manager would be  
14 somebody from the division or somebody from production

15 MR. PORTO: At the time of 89, the project  
16 managers were within divisions.

17 MR. BEATON: Okay. Then there was not a  
18 project manager for this 51 hour job.

19 MR. PORTO: I cannot recall.

20 MR. BEATON: Okay. When we look at Chester  
21 today through the lens of hindsight and all the other  
22 initiatives that AMTRAK has going on, would you today  
23 view Chester as a small job that would not require a  
24 site-specific work plan?

25 MR. PORTO: I would think that any job

1 requires proper planning and review of what's going on  
2 to identify any hazards that are there.

3 MR. BEATON: But in Chester from today's  
4 vantage point with the benefit of hindsight, I mean has  
5 AMTRAK put into play a procedure where jobs such as  
6 what was being done at Chester now get a site-specific  
7 work plan?

8 MR. PORTO: Yes, site-specific, yes.

9 MR. BEATON: Okay. And you're involved in  
10 those?

11 MR. PORTO: My staff is as far as reviewing.

12 MR. BEATON: The lead safety --

13 MR. PORTO: Specialist for whatever division  
14 the work falls in.

15 MR. BEATON: So when you do a site-specific  
16 work plan and there's a hazard analysis associated with  
17 that, that's what's done by your staff, the five guys,  
18 four of whom are safety certified or degreed.

19 MR. PORTO: Correct.

20 MR. BEATON: And they do a risk analysis.  
21 What kinds of risks do you think they look at in  
22 Chester today?

23 MR. PORTO: Well, definitely making sure of  
24 the proper RWP and procedures are established, followed  
25 and the assurance, checks to make sure that they are

1 there.

2 MR. BEATON: All right. That's a nice  
3 30,000 foot answer. Let's get down to nap of the  
4 earth.

5 MR. PORTO: Okay.

6 MR. BEATON: We know -- There's been a lot  
7 of lessons learned here in Chester, right?

8 MR. PORTO: Yes.

9 MR. BEATON: So tell me what lessons you  
10 take away as Director of Safety, Engineering based on  
11 Chester?

12 MR. PORTO: The transfer of information  
13 between the roadway worker in charge, setting up the  
14 project to make sure everybody starts at the same time,  
15 that there is a clear start and stop time of the  
16 different personnel that are working at the site. It's  
17 not a staggered type start and end time.

18 MR. BEATON: Okay. When you use the term  
19 "project manager" are you referring to a foreman or a  
20 supervisor or somebody else?

21 MR. PORTO: No, when I refer to project  
22 managers, it's a manager, nonagreement employee. That  
23 is their job to manage large projects, procure  
24 contracts, bid the process or bid the contracts out.

25 MR. BEATON: Did Chester have a project

1 manager?

2 MR. PORTO: I don't know.

3 MR. BEATON: When we look at Chester, what  
4 we do know about it is we had a shift transition going  
5 on there. If you were to look at shift transition  
6 today with the benefit of having learned some lessons  
7 from Chester, what do you take away from Chester with  
8 regard to risks, safety risks, associated with shift  
9 transitions?

10 MR. PORTO: The clear communication to make  
11 sure that those two foremen or rail workers in charge  
12 of protection have a discussion that everybody is off  
13 the tracks, that they're cleared. They have a  
14 discussion to talk about the work that was performed  
15 throughout the night, how they went about providing the  
16 protection, the differing groups or other crafts that  
17 were there. Talk about the concerns or issues or maybe  
18 problems that came up throughout the night to make sure  
19 that that foreman or rail worker who was in charge  
20 coming in has an understanding of the scope of what  
21 occurred previously. Make sure that when the transfer  
22 or moving the authority of protection on those tracks  
23 that it is occurring with both of them right there and  
24 full understanding of that happening.

25 MR. BEATON: That's good. So you want to



1 make sure that shift change is handled in a  
2 coordinated, disciplined sort of fashion.

3 MR. PORTO: Yes, sir.

4 MR. BEATON: When the outgoing foreman gives  
5 up his fouls through the lens of a risk assessment sort  
6 of process, are there risks associated with the crew  
7 remaining at the worksite and the outgoing foreman  
8 releasing his fouls.

9 MR. PORTO: Well, the process as it was  
10 established it takes into account any of them and  
11 mitigates them. You cannot give up a foul without  
12 having those individuals on the track.

13 MR. BEATON: Are there any layers of safety  
14 included in here? Is this an opportunity for a single  
15 point of failure?

16 MR. PORTO: There are layers that are built  
17 within it, definitely with SSDs and now as we move  
18 forward with BTC. There is definitely other  
19 technological.

20 MR. BEATON: But in the context of Chester  
21 that we didn't have the supplemental shining devices in  
22 use. We didn't have BTCs.

23 MR. BEATON: In that particular scenario.

24 MR. PORTO: It is a single point failure.

25 MR. BEATON: What are some of the potential

1 risks that would turn that single point failure into a  
2 catastrophic event?

3 MR. PORTO: I think we solved Chester, you  
4 know, failure to clear the tracks.

5 MR. BEATON: Fail to release but.

6 MR. PORTO: Without notifying railway  
7 workers.

8 MR. BEATON: Yes, people weren't notified.  
9 People didn't stay clear.

10 MR. PORTO: The communication aspect, yes.

11 MR. BEATON: So given that the foul time  
12 procedure isn't failsafe. It's not error free. It  
13 depends upon cooperative performance by people who we  
14 know are foulable. Is there a takeaway that AMTRAK  
15 sees from this lesson of Chester?

16 MR. PORTO: It's back to reassuring that the  
17 process we have, these rules and procedures in place,  
18 are for a reason. And we need to ensure that they're  
19 being followed and everybody understands that they must  
20 be followed.

21 I mean you can sharpshoot pretty much any  
22 type of protection out there and come up with --

23 MR. BEATON: I think what you're saying if  
24 they just followed the rules they would still be alive.

25 MR. PORTO: Well, no. I'm not saying that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that's what the takeaway is that we took away from  
2 this. There are other things that we can do to add  
3 layers of protection and build in redundancy, taking a  
4 look at some other railroads, SEPTA and Metro North and  
5 what they implemented.

6 MR. BEATON: This botched handoff with these  
7 two foremen -- and I'm only characterizing it as  
8 botched because you've identified it as a point of  
9 discussion for us -- was this the only failure that  
10 occurred with this crew at the time of the accident?

11 MR. PORTO: No.

12 MR. BEATON: Can you give me a short list of  
13 some of the other failures that occurred at the time of  
14 the accident?

15 MR. PORTO: Not putting down an SSD on the  
16 track that was being fouled by equipment for longer  
17 than five minutes. Definitely the transfer that  
18 occurred there.

19 MR. BEATON: What about the role of the  
20 supervisor?

21 MR. PORTO: The supervisor, absolutely  
22 surprised was there the previous night. Well, I'm  
23 sorry. I'm thinking of -- Yes, the supervisor was out  
24 there. And the supervisor was very hands-on type of  
25 supervisor. So he was performing the work and he

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 should have as a supervisor ensured that job briefings  
2 were performed. He had employees coming in there and  
3 that's another one there.

4 MR. BEATON: Were there any actions of the  
5 supervisor that may have facilitated the continuation  
6 of work throughout the shift transition?

7 MR. PORTO: Could you clarify please?

8 MR. BEATON: Well, did the supervisor  
9 through his behavior do anything that facilitated the  
10 continuation of work during the shift transition?

11 MR. PORTO: Yes, the supervisor was out  
12 there working during the transfer of the shift.

13 MR. BEATON: And that would have influenced  
14 or facilitated other people to continue working?

15 MR. PORTO: Yes.

16 MR. BEATON: Such as the backhoe operator?

17 MR. PORTO: Yes.

18 MR. BEATON: Is it reasonable to assume that  
19 the backhoe operator continued to work and continued to  
20 fail the track because his supervisor was right there  
21 with him continuing to work?

22 MR. PORTO: I wouldn't say that's the  
23 reason why. It wasn't communicated to anybody that  
24 this transfer was occurring.

25 MR. BEATON: Do you think the supervisor

1 knew that there was going to be a shift change about  
2 this time of the morning?

3 MR. BONVENTRE: I would just object to just  
4 that I'm wondering if you're asking the witness to  
5 speculate on things that they did.

6 MR. BEATON: No, I'm not asking him to  
7 speculate. I'm asking him to tell me what he knows.

8 MR. BONVENTRE: Okay.

9 MR. BEATON: What he knows. Yes. Thank you  
10 for raising that. I'm not asking you to speculate at  
11 all.

12 MR. PORTO: Okay.

13 MR. BEATON: And again I apologize for my  
14 enthusiastic tone. But I'm just wanting to learn from  
15 this.

16 MR. PORTO: A supervisor would know when  
17 individuals for that task being performed were starting  
18 or ending the shifts.

19 MR. BEATON: He would know.

20 MR. PORTO: Yes.

21 MR. BEATON: There's another failure in the  
22 mix of things. And we had some watchmen out there as  
23 well, right?

24 MR. PORTO: Yes, sir.

25 MR. BEATON: Did they make any mistakes or

1 have any failures?

2 MR. PORTO: I was not part of the recording  
3 of the reporter team. So I'm not privy to those  
4 recordings or any of those discussions. So I do not  
5 know.

6 MR. BEATON: Okay. From a general crew  
7 behavior point of view in your role as director of  
8 safety for engineering, do you have an expectation for  
9 peer to peer support and "I'll watch your back,  
10 brother, and you watch mine"?

11 MR. PORTO: Absolutely. I mean we preach  
12 that all the time that you are your brother's keeper.  
13 If you see something, bring it up. You could be saving  
14 somebody's life.

15 MR. BEATON: Do you think there was a  
16 failure in the peer-to-peer support?

17 MR. PORTO: I can't speculate on what was  
18 occurring there. I just know that it wasn't  
19 communicated to anybody out there that a transfer was  
20 occurring and it definitely wasn't communicated that a  
21 foul was being given up.

22 MR. BEATON: This wasn't the first time this  
23 crew had gone through a shift change though.

24 MR. PORTO: No.

25 MR. BEATON: So did it require explicit

1 communication? I mean that crew probably knew that the  
2 new white hat showed up.

3 MR. PORTO: Any time there's a transfer it  
4 requires that.

5 MR. BEATON: So is it reasonable to assume  
6 that they would have some expectation that a shift  
7 change was going to occur?

8 MR. PORTO: Yes.

9 MR. BEATON: And it's probably reasonable to  
10 assume that people knew that the backhoe operator and  
11 the supervisor and helper were continuing to work.

12 MR. PORTO: I don't know.

13 MR. BEATON: Okay.

14 MR. PORTO: Everything was so staggered. It  
15 might not have been a reasonable thing for them.

16 MR. BEATON: They were working at least  
17 within line of sight of others.

18 MR. PORTO: Yes.

19 MR. BEATON: Okay. But nobody told them to  
20 stop working or to clear up.

21 MR. PORTO: No, from everything I've heard  
22 or know about this, no.

23 MR. BEATON: I mean it seems to me when I  
24 look at this litany of failures I'm kind of thinking  
25 there's a lot of low-hanging fruit for a safety

1 engineer or director to grab onto and run with.

2 MR. PORTO: There is a lot. There's --

3 MR. BEATON: I like to call it rich, rich  
4 with opportunity.

5 MR. PORTO: In fact, I will adopt that as  
6 well.

7 MR. BEATON: All right. I probably  
8 overstayed my welcome with questions. I just had one  
9 more. Does the phrase "safety culture" mean anything  
10 to you?

11 MR. PORTO: Yes.

12 MR. BEATON: Can you elaborate on what it  
13 means?

14 MR. PORTO: Safety culture is like another  
15 aspect into how we work here. We want to make sure  
16 there's a safety culture that people feel confident in  
17 the safety programs and processes that we provide as  
18 well as the employees and how they respond within that  
19 environment to safety.

20 MR. BEATON: You used the phrase "system  
21 safety." Does system safety differ from safety? What  
22 value does the word "system" add to safety?

23 MR. PORTO: System safety is more of a  
24 methodological -- I can't even talk. It's the  
25 approach, say a different approach, that's going to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 provide the practices and principles of safety to  
2 reduce and achieve lower risk around the organization.

3 MR. BEATON: Is there a relationship between  
4 the phases "safety culture" and "system safety"?

5 MR. PORTO: Yes.

6 MR. BEATON: Can you tell me what it is?

7 MR. PORTO: I mean that you have safety  
8 culture that's going to be in there definitely in the  
9 promotion of safety when you take a look at the pillars  
10 of safety and on a promotional aspect of their getting  
11 out there and having this interaction of safety. It's  
12 going to be part of that process when you take a look  
13 at safety more as a holistic as an all encompassing  
14 approach.

15 MR. BEATON: So the system is the holistic  
16 view of the company or the events that you're concerned  
17 with from a safety analysis perspective.

18 MR. PORTO: An application of engineering  
19 controls.

20 MR. BEATON: All right. I think I've  
21 covered the first half of my questions. I'll turn my  
22 time over to the rest of the crew here.

23 INTERVIEWER 2: Thank you, Dr. Bob. Matt,  
24 do you need a break? Are you good to go?

25 MR. PORTO: I'm good.

1 INTERVIEWER 2: I'm coming in the last  
2 position here. You have to kind of jump around a  
3 little bit. I think what I want to start out with is  
4 if I wanted to avail myself to some kind of risk  
5 identification, risk analysis type training, is that  
6 out there? Is that available?

7 MR. PORTO: It's something that we're moving  
8 towards to be able to provide that. We don't have  
9 anything, an actual structured program right now that's  
10 being delivered. But for instance with the safety  
11 liaisons when we started them and we brought them  
12 altogether for training, it is something that we  
13 covered.

14 INTERVIEWER 2: By covered, you mean that  
15 risk analysis/risk mitigation that's an important part  
16 of your job.

17 MR. PORTO: Yes.

18 INTERVIEWER 2: Okay. Where I was going  
19 with that is to establish whether there was any formal  
20 courses or formal training. And I would guess that  
21 you're just trying to handle this in-house, right?

22 MR. PORTO: Yes.

23 INTERVIEWER 2: Okay. And you mentioned  
24 that I think the tools that you equip them with if I'm  
25 understanding all this correctly is that the way they

1 go about their risk management or hazard assessment  
2 right now is a checklist applied to particular tasks  
3 that they're observing

4 MR. PORTO: Yes.

5 INTERVIEWER 2: That's the main thing.

6 MR. PORTO: That's one of the tools that is  
7 provided to them.

8 INTERVIEWER 2: Well, tell me about the  
9 other ones.

10 MR. PORTO: We have an action tracker  
11 system. So it's more than just an inspection that's  
12 performing. If they've identified a concern or an  
13 issue that needs to be corrected, they're able to enter  
14 that into the action tracker system.

15 INTERVIEWER 2: Action tracker means I add  
16 things or what?

17 MR. PORTO: It's a system. Well, it's a  
18 system that they will enter in an issue to be able to  
19 track, control and document as we progress and then  
20 correct the issue. It's going to be able to assign it  
21 to a manager to make sure that it gets done.

22 So it's assigned to a manager with a due  
23 date and have the corrective action identified that  
24 needs to be performed. The manager will go through and  
25 implement that corrective action once it's done. We

1 have the verification step to ensure that it was  
2 corrected to the way that it was specified in there.

3 INTERVIEWER 2: Okay. And for whatever  
4 training or instruction effort that you are providing  
5 to the safety liaisons or the six leaders or whoever  
6 that's going out there and making these observations,  
7 do you have the ability to share with that with the  
8 broader context of engineering people in the three  
9 departments?

10 MR. PORTO: The training to do that?

11 INTERVIEWER 2: Yes.

12 MR. PORTO: We just have to formalize a  
13 program to do so.

14 INTERVIEWER 2: Okay. So that's on the to-  
15 do list right now.

16 MR. PORTO: Yes.

17 INTERVIEWER 2: All right. The system  
18 safety agreement, can you give me some visibility? How  
19 did that get initiated? How did that start?

20 MR. PORTO: The new system safety agreement  
21 that we're under right now?

22 INTERVIEWER 2: Well, you know you can tell  
23 me about the new one. Then I'm going to ask you about  
24 the old one.

25 MR. PORTO: All right.

1 INTERVIEWER 2: So however you want to  
2 answer.

3 MR. PORTO: It will be easier to go we had  
4 an existing system safety agreement. I can't tell you  
5 when it started. Steve might be able to remember the  
6 date. I do not. It was in existence I know up until  
7 April of 2015. We also had another agreement, a safe  
8 to safer agreement, but both at the same time.

9 The end of March into April, we abrogated  
10 both of those contracts with the respective unions.  
11 And that's when we came to the table to begin  
12 negotiations to revise a new system safety agreement  
13 and incorporate both of those agreements again to bring  
14 a holistic approach to safety. We came to agreement  
15 September 8th of last year with the new system safety  
16 agreement.

17 INTERVIEWER 2: Okay. And under the old  
18 system safety agreement or whatever safety initiative  
19 preceded the one that we're in right now, were there  
20 safety liaisons?

21 MR. PORTO: Yes.

22 INTERVIEWER 2: Okay. Different numbers,  
23 different structure or roughly the same?

24 MR. PORTO: Different numbers, different  
25 structure, yes.

1 INTERVIEWER 2: Less? More? Same?

2 MR. PORTO: Less liaisons. The safe to  
3 safer agreement had safety facilitators, safe to safer  
4 facilitators. When we abrogated both contracts to  
5 combine it, the net headcount between the two of  
6 liaisons/facilitators was a new neutral. So we didn't  
7 add, we didn't remove, any of the headcount for safety  
8 positions.

9 INTERVIEWER 2: Okay. And in terms of  
10 numbers, I want to get these numbers pinned down.  
11 You're at the top of the safety liaison effort in the  
12 engineering department, right?

13 MR. PORTO: Yes, sir.

14 INTERVIEWER 2: So you're one. And I've  
15 heard the number 24 kicked around. The first thing I  
16 want to know is you've also told us about six division  
17 leaders.

18 MR. PORTO: Six lead safety specialists.

19 INTERVIEWER 2: Okay. System safety  
20 specialists and they work on a division level. Does  
21 the six come out of the 24?

22 MR. PORTO: No, sir.

23 INTERVIEWER 2: Well, that's important. So  
24 there's you, one and six and 24 is 31. And if you get  
25 some kind of an initiative going you might add another

1 one. So it will be one, six, 25. Have I understood  
2 that correctly?

3 MR. PORTO: Yes, sir.

4 INTERVIEWER 2: Okay. And the only thing  
5 we're talking about is these are AMTRAK employees  
6 working on AMTRAK property.

7 MR. PORTO: Yes.

8 INTERVIEWER 2: And I'm going to say the  
9 vast bulk of those numbers that we talked about are out  
10 here on the northeast corridor.

11 MR. PORTO: Yes.

12 INTERVIEWER 2: Correct?

13 MR. PORTO: Yes.

14 INTERVIEWER 2: And you do have some  
15 property up in Michigan. So I'm going to say a lesser  
16 number of people assigned to that area.

17 MR. PORTO: Yes.

18 INTERVIEWER 2: All right. So what do you  
19 do in a typical day? What's your world like, Matt?

20 MR. PORTO: Typical day, I don't know if I  
21 have any typical day.

22 INTERVIEWER 2: An untypical day then. What  
23 do you do on an untypical day?

24 MR. PORTO: They always start off with  
25 taking on the different division morning calls, listen

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to the safety calls. I have a rotating schedule  
2 because a lot of them happen at the same time. So  
3 Monday, Tuesday, Wednesday, I'll listen on the  
4 MidAtlantic, New York production or whatever division  
5 morning call. I change that up every day.

6 That goes into our engineering, our chief  
7 engineer's call where we talk about the safety issues  
8 and concerns, incidents that occurred. If there is  
9 anything that comes up that requires investigation or  
10 to look into, we'll start getting into that, seeing who  
11 is going to be a part of that investigation committee  
12 and delegating out and facilitating resources as  
13 necessary.

14 Then it's heavily dependent on what's going  
15 on, the meetings. There is a lot of meetings that we  
16 have.

17 Going through and running reports that are  
18 within our electronic safety program that we set up, I  
19 make sure that that information is refreshed on a daily  
20 basis.

21 Going through regular tasks and different  
22 things, administration type tasks. A setting up  
23 meetings, coordinating safety advisory committee  
24 meetings. Following up with action items that come  
25 from that or from anything else. Working on any number



1 of different safety initiatives that we have going on.

2 I know I'm speaking very generally here, but  
3 it's a long day. A typical day is about 12-14 hours  
4 here. Five days of week of that. Sometimes six or  
5 seven.

6 INTERVIEWER 2: In a broader context of  
7 time, maybe a month or a couple of months, how often do  
8 you have the latitude to go out and spend a day with  
9 either a safety specialist or one of the safety  
10 liaisons?

11 MR. PORTO: That's been something that I've  
12 made a priority this year to get out of the office and  
13 make sure I'm getting out in the field more. I miss  
14 being out in the field as much as I was with my other  
15 position.

16 I would say at least on average once a week  
17 I am out of the office in the field. There's times it  
18 could be the entire week out in the field.

19 INTERVIEWER 2: Okay. Let's go into the  
20 world of you are out of the office and comes the day  
21 that you go out and either meet with a safety  
22 specialist or a safety liaison and in this scenario  
23 you're going to spend the entire day with them. Tell  
24 me how that goes.

25 MR. PORTO: So we'll meet. I'm not going to

1 come here to 30th Street. Wherever we decide we're  
2 going to meet depending on work that's going on out  
3 there, I mean, at the location. Usually the  
4 maintenance away base we'll go in and talk with  
5 supervisors and managers that are there, identify where  
6 work's being done in the area. Head out to the field  
7 and just have conversation with anybody that we come  
8 across with just to get a gauge and pulse on how things  
9 are going.

10 Usually by that time even before I get  
11 there, the lead safety specialist or liaison have  
12 something in mind that they want to take a look at or  
13 where we're going to go. We'll go out if it's  
14 something that we're going to go visit, the job site.  
15 And we go out there.

16 And the first thing we do is talk to the  
17 roadway worker in charge and have our briefing, ask him  
18 how things are going, different activities that they're  
19 doing and kind of play it by ear.

20 If I'm there, take a look and do  
21 observations and see how they're working. Talk about  
22 different areas of focus that we want to talk with that  
23 group, if it's a group. We see if they've had recent  
24 operating rule violation and talk to them about that  
25 and how it came about, some of the findings that might

1 have come from the investigation, how they're working  
2 to implement any changes and recommendations from that  
3 and go from there.

4 INTERVIEWER 2: So you have a mental  
5 checklist of things you're going to do when you're in  
6 the presence of the gang.

7 MR. PORTO: Correct.

8 INTERVIEWER 2: But truth be known you're  
9 also checking the performance of your safety liaison,  
10 right?

11 MR. PORTO: Yes, sir.

12 INTERVIEWER 2: So what expectations do you  
13 have as your observing or monitoring them?

14 MR. PORTO: One of the things I want to see  
15 is their ability to effectively communicate with all  
16 the employees out there. The last thing I want to have  
17 anyone on my staff come across as is the safety police.

18 I don't want them coming up there and  
19 barking orders or finding things and jumping right on  
20 that. It's about ensuring that there's communication,  
21 open communication, how they communicate with them,  
22 that effective quality communication.

23 INTERVIEWER 2: Okay. Do you think they  
24 knew the job briefing better, differently, when you're  
25 there and the safety liaison is there?

1 MR. PORTO: I receive stellar job briefings  
2 when.

3 INTERVIEWER 2: Me, too. Whenever I'm out  
4 there, I do, too. All right.

5 So let's shift gears here a little bit. I  
6 want to talk about your thoughts about how nimble  
7 AMTRAK can be if you, Matt Porto, see something and you  
8 want to change something, whether it's something  
9 physical, whether it's something on the track. But  
10 really I think I want to know how nimble can AMTRAK be  
11 on changing a process or a procedure. Do you want me  
12 to give you an example so you can respond?

13 MR. PORTO: No.

14 INTERVIEWER 2: Or do you want to pick your  
15 own?

16 MR. PORTO: We could be more nimble when it  
17 comes to responding to something that needs to be  
18 changed on a safety process.

19 INTERVIEWER 2: Okay.

20 MR. PORTO: There's a lot of layers.

21 INTERVIEWER 2: You and I did some site  
22 distance work as part of this investigation. We were  
23 out there with stopwatches and watching the approach of  
24 an exemplar train and all that kind of stuff.

25 Now I want to talk a little bit about hot

1 spots. There was an engineering assessment survey done  
2 that geographically listed and located a lot of hot  
3 spots. And by hot spots I think what you and I are  
4 talking about is places where workers need to know that  
5 there is a higher number of watchmen needed to warn  
6 people about the advance of the train.

7 MR. PORTO: Yes.

8 INTERVIEWER 2: Correct so far.

9 MR. PORTO: Yes, except engineering  
10 initiatives mainly driven by labor.

11 INTERVIEWER 2: Okay. All right. And so in  
12 my understanding there's an opening paragraph to that  
13 hot spots thing.

14 MR. PORTO: Yes, sir.

15 INTERVIEWER 2: And I thank you for making  
16 me understand that that's kind of an agreement and  
17 there's more than just AMTRAK working on that, right?

18 MR. PORTO: Yes, sir.

19 INTERVIEWER 2: If you want to change or  
20 improve the context of that paragraph to provide more  
21 instruction or a broader warning about the application,  
22 is that an easy thing to do or is that a difficult  
23 thing to do?

24 MR. PORTO: There's a lot of legal language  
25 in there. In my opinion any time you've got to

1 lawyers involved.

2 INTERVIEWER 2: Are we talking AMTRAK  
3 lawyers or are we talking union lawyers? And my next  
4 question is why are lawyers even involved in it.

5 MR. PORTO: It's the world we live in.

6 INTERVIEWER 2: All right. So back to the  
7 central question. If you wanted to change or improve  
8 the language, there's a process.

9 MR. PORTO: There's a process, yes.

10 INTERVIEWER 2: And it's doable.

11 MR. PORTO: Yes.

12 INTERVIEWER 2: All right. Tell me a little  
13 bit about the RWP changes. We're aware that at one  
14 point in time the supplemental shunning device rule,  
15 some of that was over there maybe in the training and  
16 maybe in the manual.

17 And I think Fran brought it up and it just  
18 reminded me. We know what got moved and we know about  
19 when it got moved. But can you help us? Why did it  
20 get moved? And was that a good thing or a bad thing?  
21 I mean somebody had to some reason to do that.

22 MR. PORTO: The SSDs never went away, that  
23 rule or requirement for applying that with equipment  
24 five minutes or more. It never went away. The books  
25 as they went through and specifically the revision

1 required for the 336 we looked at the current book and  
2 it had in it all different aspects of more (Inaudible)  
3 rules within the RWP manual.

4           The RWP manual alone is not an easy read.  
5 It's written by a lot of FRA or their gentleman  
6 counsel. By further complicating it and adding all  
7 these operating rules, it just make it even a tougher  
8 read.

9           By having these rules in there instead of  
10 referencing the document, you run the risk of any time  
11 that there's changes to an operating rule that not  
12 being reflected in this other material. Instead of  
13 being just a reference, now it's a source document that  
14 you're going to have to keep track to make a change.  
15 Let's go find everywhere where that is and try and get  
16 that changed.

17           In addition to that, we're operating over  
18 multiple areas with different operating rules. It's  
19 not just NORAC or GCorp (Inaudible) NS Territories,  
20 CSX. By incorporating the NORAC rules into RWP manual,  
21 only satisfies a certain geographic area within our  
22 system.

23           Furthermore as we go through the training  
24 and the training of the RWP material, the manuals,  
25 reference, piece of material for the training, we have

1 trainers that are going through and teaching and  
2 training this information on operating rules that  
3 aren't qualified or might not even be qualified  
4 operating rules or in NORAC.

5           So it's communication of information that  
6 shouldn't be going through that reading. We have  
7 operating practices, operating rules that they go  
8 through and they provide training specific to the  
9 operating rules.

10           Like I said, the material and that  
11 information didn't go away. You have your RWP manual.  
12 You have your operating rules for the area where you're  
13 working. There are requirements to be there at the job  
14 and accessible by any (Inaudible) worker while they're  
15 there. Regulations require for them to have that.

16           Does it make sense to have it printed twice?  
17 As we went through it, it was changes for RWP, but they  
18 were done in a group with consensus. That's kind of  
19 how they got changed.

20           INTERVIEWER 2: Okay. So let's go back to  
21 training for a minute. This SSD process/procedure, the  
22 application of it, all the steps you have to go  
23 through, when it's the right time to use it, when you  
24 don't have to use it, when you have to use it and all  
25 this and that, there's a bit of a discussion that



1 really needs to take place between a trainer and  
2 instructor and an employee to fully understand and  
3 comprehend that. Would you agree with that?

4 MR. PORTO: Yes.

5 INTERVIEWER 2: Okay. So the best of your  
6 understanding, is the supplemental shunning device  
7 process/procedure/rule -- do all the engineering  
8 employees receive that training?

9 MR. PORTO: It is the thing for the roadway  
10 worker protection training, yes.

11 INTERVIEWER 2: But it's not in the manual.  
12 It used to be in the manual, but it's not currently in  
13 the manual.

14 MR. PORTO: Correct.

15 INTERVIEWER 2: But it is over in the  
16 timetable special instructions.

17 MR. PORTO: Yes.

18 INTERVIEWER 2: And if I happen to be  
19 foreman, whatever level of foreman I am or however that  
20 goes, I have to take more training or additional  
21 training, more qualification and if I do that NORAC  
22 stuff that's where they discuss that maybe more in  
23 depth or not.

24 MR. PORTO: Yes, absolutely. Just to go  
25 back with the other one you asked of all engineering

1 employees, I can't say 100 percent sure that all  
2 engineering employees receive training.

3 INTERVIEWER 2: Yes.

4 MR. PORTO: Do employees in Michigan go  
5 through the roadway worker protection? I can't say for  
6 sure of receiving training or NORAC when NORAC doesn't  
7 even apply anywhere in our area.

8 INTERVIEWER 2: All was a poor choice of  
9 words on my part. Most.

10 MR. PORTO: Most, yes.

11 INTERVIEWER 2: I think when we talk about  
12 that you're looking at maintenance way  
13 construction/production that's kind of what I'm talking  
14 about.

15 MR. PORTO: Yes.

16 INTERVIEWER 2: And certainly most of the  
17 railroad. I understand that maybe all is too broad a  
18 category. I get that.

19 But one of the -- Should we have a concern  
20 if the width and breadth and depth of everything I need  
21 to know about supplemental shunning devices is in this  
22 foreman training category? And let me connect another  
23 dot. If we're doing job briefings and part of roadway  
24 work or one of the premises, is that there's going to  
25 be a check because we all got trained the same? And if

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you, the EIC, tried to do something short of compliance  
2 with RWP, I have a duty. I have an obligation. If I'm  
3 working for you, I can call you out on it and say "Hey,  
4 Foreman Jones, I didn't hear you say anything about  
5 supplemental shunning device. Are we going to do it or  
6 are we not going to do it?"

7 So there's the basis of a challenge as I  
8 understand it. What I'm paying out is it can work that  
9 way. And what I'm wondering is if we've taken it out  
10 of the manual and it's not there readily available for  
11 me to see and maybe I'm not properly applying my  
12 training, the brevity of it maybe that I was exposed to  
13 in roadway worker, do I then not maybe understand  
14 enough to challenge the guy when he doesn't use it?

15 MR. PORTO: I don't think so. I mean it's  
16 something that is discussed in our training. It's  
17 always been a part of our job safety briefings. And  
18 like I said, the operating rules, that has to be  
19 present at the location.

20 If you're saying just because they can't go  
21 reference the material and print, they can. It's there  
22 at every job site. (Inaudible) They're trained. The  
23 employees know what SSDs are.

24 INTERVIEWER 2: Okay.

25 MR. PORTO: And it's discussed at the job

1 briefing.

2 INTERVIEWER 2: So the supplemental shunning  
3 device process/procedures in the roadway worker manual.

4 MR. PORTO: No, it's not in the roadway  
5 worker.

6 INTERVIEWER 2: It's in the timetable.

7 MR. PORTO: Well, now it's there.

8 INTERVIEWER 2: All right. I'm sure we're  
9 going to get more questions and discussion on this.

10 MR. PORTO: Sure.

11 INTERVIEWER 2: So I want to go back to you  
12 are out of the office. It's a happy day. You're out  
13 there with your safety liaison. And we go and maybe  
14 I'm even with you. And we go up and we talk to others,  
15 eight or nine employees in a gang on a task. Somebody  
16 says, "Hey, we're going to run some trains. So  
17 everybody has to get in the clear."

18 We're all standing off on the right of way,  
19 clear of all tracks. We're all safe. And you and I  
20 decide to talk to a few of the laborers. And we ask  
21 them to explain the supplemental shunning device. How  
22 is that going to go?

23 MR. PORTO: I think the majority of the  
24 employees will be able to --

25 INTERVIEWER 2: Explain it.

1 MR. PORTO: -- explain that.

2 INTERVIEWER 2: All right. That's all I've  
3 got for right now.

4 MR. PORTO: For right now.

5 INTERVIEWER 2: Yeah. I'm just teasing you.  
6 I don't have that many more questions.

7 INTERVIEWER 3: You okay?

8 MR. PORTO: I'm fine.

9 INTERVIEWER 3: One of the great things  
10 about having fantastic colleagues in the party system  
11 is that everybody has covered my areas that I wanted to  
12 talk to you today about.

13 MR. PORTO: You have nothing.

14 INTERVIEWER 3: I have nothing to follow up  
15 on. I just need to take it all in now.

16 MS. IMPASTATO: I just have one quick  
17 question. With regard to the training for the  
18 liaisons, can you give us an overview of the topics  
19 that were covered?

20 MR. PORTO: Sure. We brought them all down  
21 altogether and we went over and talked about how to  
22 perform an investigation, fact-finding, how to identify  
23 hazard identification. We talked about performing  
24 inspections and providing feedback to employees and  
25 positive reinforcement.

1           We had a section on behavior-based safety.  
2 And we talked about how we're integrating that to our  
3 approach. We covered a number of different items that  
4 you would find in OSHA Penhauer (phonetic), a course of  
5 fall protection in confined space, lockout/tagout.

6           We went over analytical techniques for  
7 identifying trends, putting together strategies.  
8 Provided training on effective leadership techniques  
9 for being a chair and leading a safety committee and  
10 having effective safety committees.

11           It was a long week. I'm trying to think of  
12 everything. I know I'm missing some.

13           MS. IMPASTATO: Were there any other  
14 speakers?

15           MR. PORTO: There were. And when we first  
16 started, the way we kicked it off -- and I think this  
17 was something that was very powerful to show support of  
18 the process -- the very thing we did we had all of the  
19 division engineers present, myself, my entire staff,  
20 all the lead safety specialists. We had a number of  
21 deputy chief engineers there. We had the chief  
22 engineer there. We had the deputy chief safety officer  
23 and the safety officer there as well as the general  
24 chairmen of the three unions that were represented.

25           We were able to open up the week long

1 training with a unified message of supporting this  
2 process. It was actually very powerful because there  
3 was no rhetoric from anybody as they went through and  
4 spoke. It was just a very clear, unified message that  
5 we are all here in solidarity to support this program.  
6 And I think that's one of the highlights of that really  
7 starting the program off on the right foot.

8 MS. IMPASTATO: Thank you.

9 INTERVIEWER: Matt, as the ringleader of  
10 safety engineering, you said you made your  
11 qualifications of RWP and NT2.

12 MR. PORTO: Yes, sir.

13 INTERVIEWER: How recently have you had to  
14 requalify?

15 MR. PORTO: I will be going to my annual RWP  
16 recertification at the end of this month. Last  
17 December was the last requal of my NT2 RWP. I went  
18 through my NORAC. I will have to go through a  
19 refresher within the first quarter of next year.

20 INTERVIEWER: And when you attended, were  
21 you typically the only student or requalification  
22 person in your class? Or are you in let's just say the  
23 general population?

24 MR. PORTO: I'm in with everybody, with  
25 whoever signed up for that class, management.

1 INTERVIEWER: Watchman (Inaudible)

2 MR. PORTO: No, I'm not.

3 INTERVIEWER: Do you know if they can become  
4 a watchman?

5 MR. PORTO: Yes.

6 INTERVIEWER: And how long?

7 MR. PORTO: Ninety days.

8 INTERVIEWER: And conversely how long would  
9 it take to become a foreman?

10 MR. PORTO: It's two years before you can  
11 take MW1000 to hold the position as a foreman. I can't  
12 recall exactly.

13 INTERVIEWER: And the training duration?

14 MR. PORTO: For?

15 INTERVIEWER: (Inaudible)

16 MR. PORTO: For which? Like MW1000.

17 INTERVIEWER: (Inaudible)

18 MR. PORTO: I can't recall.

19 INTERVIEWER: Six weeks out?

20 MR. PORTO: For MW1000? Are you asking how  
21 long MW1000 is?

22 INTERVIEWER: How long it takes to enter  
23 training (Inaudible) to qualify as a foreman?

24 MR. PORTO: I believe it currently is four  
25 or six weeks.



1 INTERVIEWER: Thirty days.

2 MR. PORTO: Four weeks, okay. I'm guessing,  
3 but I'm pretty sure it is.

4 INTERVIEWER: Ninety days to become a  
5 watchman and 30 days for a foreman. The training --  
6 this follows up on what Theresa was just asking about -  
7 - of the liaisons, this was you training for the new  
8 liaisons (Inaudible)

9 MR. PORTO: Correct.

10 INTERVIEWER: And was that training provided  
11 solely by AMTRAK or were there outside agencies,  
12 entities responsible for pieces of that training?

13 MR. PORTO: No, it was solely by AMTRAK  
14 except for -- I'm trying to recall. There was one  
15 segment on that Wednesday where we had an outside  
16 contractor to come in to provide training.

17 INTERVIEWER: Okay. You mentioned the SSD  
18 being approved by consensus. I guess you could say  
19 being approved.

20 MR. PORTO: It was done by committee.

21 INTERVIEWER: By committee. Was this a  
22 committee of just the system safety or was the training  
23 department involved? Was the DE involved? Was the  
24 BMWWE involved? Or was just system safety?

25 MR. PORTO: No. It was a committee that had

1 training, had engineering personnel, had system safety,  
2 had operating rules representation.

3 INTERVIEWER: And was your personal goal  
4 manual or --

5 MR. PORTO: I can't recall. I mean it was  
6 discussion. It wasn't that we voted. It was through  
7 discussion.

8 INTERVIEWER: All right. I have no further  
9 questions.

10 INTERVIEWER 2: I've got just a few follow-  
11 ups. Let's talk about your oversight and safety  
12 programs. I think in your opening remark you were  
13 describing your activities and oversight of safety  
14 programs to make sure that the safety is done in the  
15 right areas.

16 It seems to me I'm very positively impressed  
17 with your program with your safety liaisons.

18 MR. PORTO: Thank you.

19 INTERVIEWER 2: And I hear what you're doing  
20 in embedding people with the crews that are at risk in  
21 harm's way if you will and brothers working with  
22 brothers to increase the likelihood that people are  
23 going to communicate and report up issues.

24 How do you monitor the performance of safety  
25 liaisons? I mean you and I were talking about data.

1 And you've got some analytics in play. What sort of  
2 analytics apply to the safety liaisons?

3 MR. PORTO: Because it is an agreement that  
4 we have with the unions that we have defined roles and  
5 responsibilities that a liaison has to perform, one of  
6 the things that I personally wanted to see as we went  
7 through negotiations was a more structured, defined set  
8 of roles and responsibilities for liaisons. In my  
9 opinion previously it was very generalized. So it was  
10 hard to be able to have metrics so that you can gauge  
11 the performance of a liaison.

12 That's what we base currently the  
13 performance of a liaison off of what we have defined in  
14 there. One of those was discussed about having five  
15 inspections performed a week. So that goes into it.  
16 Being a chair of a tier one committee that must meet  
17 monthly and providing minutes from those meetings,  
18 different roles that are in there. When we look at the  
19 performance of a liaison it's going to be based on  
20 making sure that they fit these metrics that are  
21 defined.

22 INTERVIEWER 2: From your vantage point of  
23 director of safety though, what kind of validity do  
24 those metrics have with regard to the objectives that  
25 you want these safety liaisons to meet? We talked

1 earlier about where did the number five comes from.

2 MR. PORTO: Sure.

3 INTERVIEWER 2: In serving on the committee,  
4 how does that relate to what you want these folks to be  
5 doing?

6 MR. PORTO: Yes. Because of the agreement  
7 that we have it is very quantitative in the metric that  
8 we have for them. But as the director of safety I  
9 understand that there is a qualitative aspect to it as  
10 well.

11 To be able to gauge that, I can't sit there  
12 and define, assign a number or some kind of scale to  
13 it. But, yes, I'm engaged. I have discussions with  
14 them. So I have an idea of that qualitative aspect.

15 INTERVIEWER 2: Certainly, the good people  
16 are going to do a good job for you. But you've got a  
17 lot of distance between you and now in these crews.  
18 You've got to rely. You've got to build a trust  
19 relationship. They've got to be straightforward and  
20 honest and I'm sure they are with you.

21 But in situations like this from my own  
22 experience -- and let me use a phrase which I don't  
23 really like to use, but I'll use it anyway -- how do  
24 you keep your liaisons from going native on you? Do  
25 you know what I mean by that by the way?

1 MR. PORTO: Yes. There's a lot of trust  
2 that we have there. But we have a good structure in  
3 place. All the liaisons report to a lead safety  
4 specialist who is right there in the division where  
5 they are. That's the direct report.

6 So by having the organization set up that  
7 way, the lead safety specialist is able to monitor and  
8 facilitate those resources and ensure that these  
9 liaisons are performing the tasks.

10 INTERVIEWER 2: When the liaisons report up  
11 an issue and they get it resolved, is there any  
12 incentive or acknowledgment? Is there a recognition of  
13 accomplishment for them?

14 MR. PORTO: There is -- I mean we definitely  
15 reach out when we talk or if we have a staff meeting  
16 it's brought up about the accomplishments that we've  
17 made. The chief engineer has a monthly newsletter that  
18 he puts out and he wants to -- it hasn't been yet --  
19 incorporate a section to the safety process which will  
20 include. And he wants it to be very positive at  
21 identifying these successes within the process.

22 INTERVIEWER 2: When I was talking to the  
23 safety liaisons, I sort of asked them how do they get  
24 things done. When people report a problem, they seem  
25 to know who to call. They're not necessarily always

1 calling you for the solutions.

2 MR. PORTO: No.

3 INTERVIEWER 2: They're calling their  
4 network of brothers throughout the company. How do you  
5 keep them in line? I mean, how do you monitor that  
6 whole network of transactions as a whole political  
7 environment going on there?

8 MR. PORTO: Sure. And a lot of it comes  
9 back to the (Inaudible) tracker process that we have in  
10 place.

11 INTERVIEWER 2: There's a order that goes  
12 in.

13 MR. PORTO: Yes. So if there is something  
14 that needs a corrective action, if it's an actionable  
15 item or concern, it must be entered. It's assigned a  
16 unique ID number and then it's tracked through --

17 INTERVIEWER 2: Do you look at these job  
18 orders and apply any sort of risk analysis to them to  
19 see if what they're reporting is just the tip of an  
20 iceberg for a larger set of concerns?

21 MR. PORTO: Yes, sir. We do. There are  
22 multiple process steps in it. So the liaisons, they  
23 submit the item from there and there's a lot of  
24 automatically generated work from the background. It  
25 gets sent to the lead safety specialist within the area

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and they define the issue.

2 INTERVIEWER 2: At this point in time the  
3 safety liaison program where they're reporting up  
4 changes that need to be made, it's been in effect for  
5 how long?

6 MR. PORTO: The actual documentation,  
7 electronic documentation of it?

8 INTERVIEWER 2: Yeah.

9 MR. PORTO: That all went live August 1st.  
10 I've been building this for --

11 INTERVIEWER 2: August 1st.

12 MR. PORTO: August 1st that I -- Yes.

13 INTERVIEWER 2: August 1st meaning last  
14 month.

15 MR. PORTO: Last month is when all of the  
16 electronic process went live.

17 INTERVIEWER 2: Okay.

18 MR. PORTO: But it's up --

19 INTERVIEWER 2: Before that it was paper  
20 process, but basically the same thing going on.

21 MR. PORTO: It was paper process, reaching  
22 out, phone calls, emails. There wasn't a structured  
23 approach to collecting and cataloging this information.

24 INTERVIEWER 2: But there was still safety  
25 liaisons on the ground interfacing with crews or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 boarding up problems.

2 MR. PORTO: Yes.

3 INTERVIEWER 2: And how long has that  
4 process been in play?

5 MR. PORTO: Under the new safety agreement  
6 it was signed one year today.

7 INTERVIEWER 2: One year ago today, okay.  
8 So over the course of the one year including the last  
9 month where things have gone electronic --

10 MR. PORTO: Yes.

11 INTERVIEWER 2: -- how many total issues  
12 have been reported up through this system whether  
13 they've been resolved or not? I mean just a ball park  
14 number.

15 MR. PORTO: The ball park, dozens.

16 INTERVIEWER 2: Dozens.

17 MR. PORTO: It is a successful program.

18 INTERVIEWER 2: By dozens are we talking 20  
19 or are we talking hundreds?

20 MR. PORTO: More. Probably hundreds.

21 INTERVIEWER 2: Hundreds.

22 MR. PORTO: And some of these aren't huge  
23 issues. There are some very small issues.

24 INTERVIEWER 2: Okay. I'm just trying to  
25 get a sense for the influence of this. And I assume

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 that as it gets established and accepted it will be  
2 used more and more. But after about a year you've got  
3 hundreds of issues that have floated up.

4 MR. PORTO: Yes.

5 INTERVIEWER 2: Of those hundred, can you  
6 give me a sense for how many have actually led to some  
7 successful resolution or been fixed?

8 MR. PORTO: The majority of them especially  
9 the smaller, low-hanging fruit there, absolutely.

10 INTERVIEWER 2: Yeah.

11 MR. PORTO: Like I've been saying with  
12 continuous improvement I mean if you can point to any  
13 company or anything in the world that has a perfect  
14 safety process please let me know.

15 INTERVIEWER 2: Has anybody ever reported up  
16 fall protection as an issue?

17 MR. PORTO: Yes.

18 INTERVIEWER 2: Has that been resolved?

19 MR. PORTO: We are the process of resolving  
20 that, yes.

21 INTERVIEWER 2: You have a solution.

22 MR. PORTO: Yes. We've been undergoing  
23 within the engineering department a fall hazard  
24 analysis system wide. And that report actually just  
25 came into my mailbox.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 INTERVIEWER 2: Has anybody reported up  
2 being afraid?

3 MR. PORTO: Afraid of?

4 INTERVIEWER 2: Well, afraid of doing the  
5 wrong thing.

6 MR. PORTO: Yes. Do you mean the right to  
7 refuse? A good faith challenge or?

8 INTERVIEWER 2: I'm just using a term that  
9 was given to me where I'm just saying that the  
10 employees, have they ever reported up being afraid?  
11 These are grown men working on the railroad, working  
12 with big heavy toys and they're afraid.

13 MR. PORTO: Afraid of what?

14 INTERVIEWER 2: They're afraid of doing the  
15 wrong thing.

16 MR. PORTO: Of doing the wrong thing.

17 INTERVIEWER 2: Has anybody ever reported up  
18 a problem with or an issue or a concern with the  
19 cardinal rules?

20 MR. PORTO: Yes.

21 INTERVIEWER 2: Has that been resolved?

22 MR. PORTO: We tried to resolve it with  
23 communication to let them know --

24 INTERVIEWER 2: It's in the process of being  
25 resolved.

1 MR. PORTO: About the cardinal rules. I  
2 mean, it's --

3 INTERVIEWER 2: Are you aware that employees  
4 are afraid to be proactive in their job because they  
5 don't want to violate a cardinal rule?

6 MR. PORTO: Yes, I've heard that.

7 INTERVIEWER 2: You've heard that.

8 MR. PORTO: Yes.

9 INTERVIEWER 2: Was that reported up through  
10 the safety advocacy or safety liaison system?

11 MR. PORTO: I've definitely heard liaisons  
12 mention that, yes, that they've heard that out in the  
13 field.

14 INTERVIEWER 2: Was a ticket filled out with  
15 that that can be traced?

16 MR. PORTO: There has not been a ticket  
17 filled out for that issue since August 1st.

18 INTERVIEWER 2: Why not?

19 MR. PORTO: I don't know why a liaison has  
20 not entered that in.

21 INTERVIEWER 2: So a year from now when  
22 somebody says, "The employees are afraid," and Matt  
23 Porto is moved onto the president of AMTRAK or some  
24 other job, who is going to be able to track that issue?

25 MR. PORTO: It is something that should be

1 tracked. I think that it's not something unique to  
2 maintenance-of-way employees. I think we've heard this  
3 in other areas. And I believe that -- I hate to  
4 speculate. Maybe I shouldn't speculate, but we're  
5 working on a communication strategy.

6 INTERVIEWER 2: I don't want you to  
7 speculate.

8 MR. PORTO: The attorney will attest to.

9 INTERVIEWER 2: He doesn't want you to  
10 speculate and I don't either.

11 MR. PORTO: But what it comes down to is how  
12 it's communicated out. In the engineering department,  
13 we put out cardinal rules before the rest of the  
14 company. We did this back in June of 2015 and we  
15 communicated it in such a way that it didn't cause the  
16 same reaction as this corporate might have.

17 INTERVIEWER 2: As the director of safety,  
18 engineering and trying to ensure that safety  
19 initiatives are focused on the right areas knowing that  
20 employees, boots on the ground, are afraid of breaking  
21 a cardinal rule, does that meet your criteria for being  
22 an issue that gets prioritized?

23 MR. PORTO: Yes.

24 INTERVIEWER 2: It does.

25 MR. PORTO: Yes.

1 INTERVIEWER 2: And it doesn't have to be an  
2 issue that you need to maintenance away to go into your  
3 electronic tracking system, does it?

4 MR. PORTO: No, it does not.

5 INTERVIEWER 2: Another example of that  
6 might be drug use. Has that been reported through your  
7 tracking system?

8 MR. PORTO: No, it has not.

9 INTERVIEWER 2: Is drug abuse unique to  
10 maintenance-of-way?

11 MR. PORTO: No, I don't think that would be  
12 unique to industry let alone --

13 INTERVIEWER 2: Is there a problem with drug  
14 use in maintenance-of-way?

15 MR. PORTO: I haven't heard of any. None of  
16 that stuff gets reported to me in safety.

17 INTERVIEWER 2: Drug abuse or alcohol has  
18 never been reported to you as director of safety,  
19 engineering.

20 MR. PORTO: No, that would go up to our --  
21 We have within our medical department somebody.

22 INTERVIEWER 2: So it's not in your  
23 wheelhouse.

24 MR. PORTO: If somebody had a drug and  
25 alcohol test and results of that, no. That wouldn't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 come to safety. That would go to our medical  
2 department.

3 INTERVIEWER 2: Okay. Do you happen to know  
4 how long the backhoe at Chester was fouling the track  
5 before the accident just in terms of time?

6 MR. PORTO: The backhoe operator, he  
7 reported to work like around 11:00 p.m., 12:00 midnight  
8 that night. And there was intermittent fouling going  
9 on throughout the night.

10 INTERVIEWER 2: But in the particular  
11 instance of fouling the track that led to this  
12 accident, do you know how long that backhoe had been  
13 there fouling the track?

14 MR. PORTO: It would be speculation at this  
15 point. I mean maybe if we went through and listened to  
16 recording we would be able to determine that.

17 INTERVIEWER 2: As the safety director, do  
18 you think that's an important thing for you to know?

19 MR. PORTO: Yes.

20 INTERVIEWER 2: So that's something that  
21 you'll get to as you review this case.

22 MR. PORTO: Absolutely. We've gone through  
23 and on the engineering track committee we've pulled  
24 that commission together.

25 INTERVIEWER 2: So we've talked a lot about

1 the various players in this. One that we haven't  
2 talked about I want to spend the last three hours I  
3 have with you. I'm just seeing if you're still awake.  
4 I'm not going to take three hours.

5 Are you familiar with -- I mean I know  
6 you've got a clear focus on what you're doing. But are  
7 you familiar at all with the actions and the role of  
8 the dispatcher in this accident?

9 MR. PORTO: Can you clarify the question?

10 INTERVIEWER 2: Do you know what the  
11 dispatcher did in terms of releasing blocks or setting  
12 up blocks or talking to the crews or any interaction?

13 MR. PORTO: I mean I've heard the tapes.  
14 I've heard all the communications.

15 INTERVIEWER 2: You've listened to the  
16 tapes, okay.

17 MR. PORTO: Correct.

18 INTERVIEWER 2: Do you have any comments on  
19 the role that the dispatcher played in this accident?

20 MR. PORTO: It would be my personal comments  
21 and that of AMTRAK. So I'm not going to express that.

22 INTERVIEWER 2: So you have your personal  
23 opinions, but you keep them to yourself. And that's  
24 perfectly understandable and fine. And you have the  
25 official AMTRAK position because you're here

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 representing, an agent of AMTRAK.

2 MR. PORTO: Yes, sir.

3 INTERVIEWER 2: And that's perfectly fine.  
4 And I would expect nothing less. As the director of  
5 safety, engineering for AMTRAK, when you look at the  
6 Chester accident through the lense or the eyes of the  
7 dispatcher from a safety point of view, I'm trying to  
8 understand how this dispatcher and his actions  
9 interfaced with the maintenance-of-way work groups out  
10 there.

11 What I'm understanding -- and correct me if  
12 I've got a misunderstanding -- is that this dispatcher  
13 relied on one foreman releasing his fouls which created  
14 a hole for him to run a train through which he did  
15 because he had a train to get through there.

16 MR. PORTO: Yes.

17 INTERVIEWER 2: But he ran it through at  
18 speed.

19 MR. PORTO: Procedurally, the dispatcher did  
20 nothing wrong.

21 INTERVIEWER 2: I'm not trying to blame  
22 anybody.

23 MR. PORTO: I understand.

24 INTERVIEWER 2: I'm just looking at this  
25 from a safety point of view. Was there any reason to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 think that he could have run it through there at a  
2 restricted speed to enhance the safety of the people on  
3 the ground or the people in the train?

4 MR. PORTO: I don't see why that would make  
5 an difference. Didn't fall under the 336 requirements  
6 where they were protecting the adjacent track and  
7 needing run at certain speed to continue operations.  
8 So that's not there.

9 Regardless if they're running at a reduced  
10 speed, 60 miles per hour or at maximum authorized  
11 speed, I don't see the difference that it would make  
12 because of roadway worker protection is established to  
13 protect the roadway worker from movements on that track  
14 regardless of speed.

15 INTERVIEWER 2: Okay. So let's go back.  
16 Let me just ask this in light of the safety matrix that  
17 you talked about and the likelihood of improbable,  
18 highly consequential events. Is there any influence on  
19 your thinking from a safety matrix point of view why  
20 you might want to run at restricted speed through a  
21 construction zone?

22 MR. PORTO: No again because we had a  
23 mitigation, a process there to mitigate out, risk.

24 INTERVIEWER 2: Does the mitigation process  
25 rely at all in any way on human actions and judgments?

1 MR. PORTO: The thoughts of humans --

2 (Simultaneous speaking)

3 INTERVIEWER 2: If humans are something less  
4 than 100 percent error-free, does your mitigation plan  
5 have risk associated with it?

6 MR. PORTO: Yes.

7 INTERVIEWER 2: So from the point of view of  
8 having a mitigation plan that isn't failsafe, it's  
9 subject to the fallibilities of human beings acting  
10 naturally less than error-free. Is that reasonable  
11 plan to rely on when you've got fairly precious cargo,  
12 other human beings?

13 MR. PORTO: Yes, I understand exactly where  
14 you're coming from.

15 INTERVIEWER 2: You understand it  
16 intellectually.

17 MR. PORTO: Yes. I mean roadway worker  
18 protection is there and is established to protect from  
19 moving equipment. I know that's not the answer to the  
20 question that you have, but it's --

21 INTERVIEWER 2: Are you struggling to give  
22 me the AMTRAK answer or are you struggling because your  
23 personal consciousness is coming involved here?

24 MR. BONVENTRE: Can we go off?

25 INTERVIEWER 2: Let's go off the thing.

1 (Whereupon, a short recess was taken.)

2 INTERVIEWER 2: Sorry for my enthusiastic  
3 line of questioning. I appreciate your answer. I  
4 think as you get an insight to this, there's some sense  
5 of caution that seems like it could be applied to this  
6 situation with the dispatcher running a train through  
7 the open hole at speed.

8 But there may be at least theoretically  
9 intellectually some reasons to have a discussion about  
10 cautions. And maybe that's a takeaway that we get in  
11 the future.

12 MR. PORTO: Roger that.

13 INTERVIEWER 2: Okay. I think that's all  
14 the questions that I have. Thank you again for the  
15 education and the opportunity to chat with you.  
16 Appreciate it.

17 MR. PORTO: You're welcome. Thank you.

18 MR. HIPSKIND: This is Dick Hipkind. May I  
19 just -- A few loose ends. In everything that we've  
20 talked about today, risk, risk management and  
21 everything, I just want to condense a lot of it. In  
22 almost all the roadway work out there -- and I'm not  
23 talking about the big gangs. I'm talking about the  
24 small gangs, the incidental -- people have to be in  
25 harm's way. And they're going to be on or about a live

1 track.

2           The paramount, the top risk, in almost all  
3 these situations is the train movement, train movement  
4 at a high speed.

5           MR. PORTO: Correct.

6           MR. HIPSKIND: On any track at any time in  
7 any direction.

8           MR. PORTO: Yes, sir.

9           MR. HIPSKIND: Hence, why we have watchmen,  
10 why we have the roadway worker. Is it fair to say then  
11 if that is the main thing to be looking out for to  
12 manage, should I understand that the reliance on  
13 compliance with roadway worker -- In other words, let's  
14 be looking out for trains. Let's have that discussed  
15 in our job briefing. That initiates the plan.

16           But then the other part of the plan is get  
17 in the clear and stay in the clear and report to the  
18 dispatcher you're in the clear if you have that kind of  
19 a situation. Is that the main thrust of the  
20 mitigation?

21           MR. PORTO: Yes.

22           MR. HIPSKIND: All right. One of the things  
23 we talked with the safety liaisons yesterday is that  
24 they do not cross over into the world of counseling.  
25 So you said, "Well, I want them out there and I want

1 them talking to the men." But I want to dot an I on  
2 this. Is counseling part of what you do?

3 MR. PORTO: And when you say counseling, can  
4 you --

5 MR. HIPSKIND: An employee -- It's been  
6 reported to you that an employee on several occasions  
7 seems to have a consistent bad behavior. Do you ever  
8 get in a situation where you have to counsel that  
9 employee?

10 MR. PORTO: There are situations that occur  
11 where, yes, I would counsel or speak with employee or  
12 lead safety specialist would speak with the employee.

13 MR. HIPSKIND: Okay.

14 MR. PORTO: And liaisons too. There is a --  
15 I don't want to call it counseling -- coaching element  
16 to what they do.

17 MR. HIPSKIND: Well, they coach. But you  
18 might counsel as in a formal discussion about an unsafe  
19 behavior or something.

20 MR. PORTO: That would be more in lines of  
21 the line level management/supervision to provide that  
22 counseling.

23 MR. HIPSKIND: Okay. So if not you, then it  
24 could be somebody else on the division level.

25 MR. PORTO: It would be on the division

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 level. It wouldn't be me to formally document  
2 counseling, no.

3 MR. HIPSKIND: Okay. Whether it's you or  
4 somebody on the division, counseling is part of the  
5 process.

6 MR. PORTO: I just want to make sure I  
7 answer this correctly.

8 MR. HIPSKIND: Sure.

9 MR. PORTO: So you say counseling is part of  
10 the process of what? If there has been a trend  
11 observed through the liaison process or.

12 MR. HIPSKIND: Yeah, I'm not talking about a  
13 one time thing. All I'm trying to introduce is that  
14 safety liaisons, people who work for you, don't do  
15 maybe what the line maintenance managers for the  
16 division might do or you might do if we're talking  
17 about something more than coaching.

18 MR. PORTO: Correct.

19 MR. HIPSKIND: Correct?

20 MR. PORTO: Yes.

21 MR. HIPSKIND: Good. We had a discussion  
22 about risk management courses or training modules,  
23 whatever name you want to get to. And my sense of it  
24 was that that's in development, right?

25 MR. PORTO: Yes.

1 MR. HIPSKIND: Is that something -- I take  
2 it it's something that's going to happen in the near  
3 future. Is that something that you could share with  
4 the investigation, our plans or your thoughts, and  
5 maybe when some of that is going to come about?

6 MR. PORTO: It wouldn't fall directly under  
7 my responsibilities of the director of safety. I mean  
8 that would be under the training, the system safety  
9 training, that's developing that.

10 MR. HIPSKIND: Okay. But there's an ongoing  
11 plan or schedule. We don't need all the course  
12 material. Just some understanding of an outline of  
13 what's the projected implementation or whatever. Is  
14 that something you could share with us and provide to  
15 Ryan?

16 MR. PORTO: I'm sure I can, yes.

17 MR. HIPSKIND: Okay. All right. Last  
18 question and it really is the last question from me.  
19 What are your top challenges? In the work that you do,  
20 what's the top one or two challenges?

21 MR. PORTO: I guess the number of challenges  
22 that are there. Sometimes I sum up my job that I feel  
23 that we spend so much time fighting fires that we're  
24 not able to teach fire prevention.

25 MR. HIPSKIND: That's a good way to put it.

1 Okay. That's all I've got other than I do want to  
2 thank you for your sustained participation both on  
3 scene and all the work you do with the site. That's  
4 very helpful.

5 MR. PORTO: Thank you.

6 MR. HIPSKIND: Ryan, back to you.

7 MR. FRIGO: John, do you have any  
8 clarification?

9 MR. BONVENTRE: I don't believe there's any  
10 clarification.

11 MR. FRIGO: Great. Matt, I just want to  
12 echo what Mr. Hipskind said and thank you for your  
13 participation both on scene and in the activities of  
14 following the on scene events and for today. Thank you  
15 taking the time to help us understand a lot of what has  
16 gone on and what goes on within your system safety  
17 group. Thank you again.

18 I just have four questions I'd like to go  
19 over before we close out. Is there anything you would  
20 like to add or change to today's interview?

21 MR. PORTO: No.

22 MR. FRIGO: Are there any questions we  
23 should have asked but did not?

24 MR. PORTO: Asked a lot of questions. I  
25 believe we covered pretty much everything.



1           MR. FRIGO: Do you have any suggestions for  
2 preventing a recurrence?

3           MR. PORTO: Nothing that we haven't  
4 discussed already.

5           MR. FRIGO: And is there anyone else who we  
6 should interview?

7           MR. PORTO: I mean not knowing the full list  
8 of everyone that was interviewed I trust NTSB and  
9 everybody working with you that you have a good cross  
10 section of the corporation.

11           MR. FRIGO: Great. Thanks again, Matt.  
12 Thank you. Off the record.

13                   (Whereupon, the above-entitled matter was  
14 concluded.)

15

16

17

18

19

20

21

22

23

24

25

C E R T I F I C A T E

MATTER: Accident Involving AMTRAK Train #89  
April 3, 2016  
NTSB Accident No. DCA16FR007  
Interview of Matthew Porto

DATE: 09-08-16

I hereby certify that the attached transcription of page 1 to 122 inclusive are to the best of my professional ability a true, accurate, and complete record of the above referenced proceedings as contained on the provided audio recording; further that I am neither counsel for, nor related to, nor employed by any of the parties to this action in which this proceeding has taken place; and further that I am not financially nor otherwise interested in the outcome of the action.



**NEAL R. GROSS**  
COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701