

1 United States Coast Guard
2 Marine Board of Investigation
3 Formal Hearing
4 Fishing Vessel Destination
5
6 Henry M. Jackson Federal Building
7 U.S. Coast Guard Thirteenth District
8 915 Second Avenue
9 Seattle, Washington 98174
10 August 7, 2017 - August 17, 2017

12 REPORTER'S OFFICIAL TRANSCRIPT OF PROCEEDINGS
13 (VOLUME III of IX)

14
15 DATE TAKEN: Wednesday, August 9, 2017
16 TIME: 9:03 a.m. - 4:18 p.m.
17
18
19
20

21
22 REPORTED BY:
23 Jeannie A. Milio, RPR
24 Official Court Reporter
25 Administrative Law Judge Office
Baltimore, Maryland 21202-4022

1 APPEARANCES

2 UNITED STATES COAST GUARD

3 MARINE BOARD OF INVESTIGATION PANEL MEMBERS

4
5 **COMMANDER SCOTT W. MULLER, CHAIRMAN**

6 Fifth Coast Guard District
7 Inspections and Investigations Branch (dpi)
8 431 Crawford Street
9 Portsmouth, Virginia

10 **MR. JAMES GILLETTE, MARINE BOARD MEMBER**

11 Investigations NCOE
12 1615 Poydras Street, STE 1030
13 New Orleans, LA 70112

14 **LCDR PEDRO L. MENDOZA, MARINE BOARD RECORDER**

15 COMDT, CG-INV-1
16 2703 Martin Luther King Jr. Avenue, SE
17 Stop 7501
18 Washington, DC. 20593-7501

19 **TECHNICAL ADVISORS:**20 **COMMANDER TAMARA S. WALLEN, MARINE BOARD LEGAL ADVISOR**

21 Coast Guard Island
22 Building 51-6
23 Alameda, CA 94501-5100

24 **MR. SCOTT J. GIARD**

25 Rescue Coordination Center District 13 Command Center
Henry M. Jackson Building
915 2nd Avenue
Seattle, WA 98174

26 **LCDR RANDY L. PRESTON**

27 Investigations NCOE
28 1615 Poydras Street, STE 1030
29 New Orleans, LA 70112

30 **YN1 CAITLIN K. CALVERT**

31 Seventeenth Coast Guard District
32 Legal Office
33 P.O. Box 25517
34 Juneau, AK 99801-5517

1 APPEARANCES (continued.)

2 NATIONAL TRANSPORTATION SAFETY BOARD

3 MARINE BOARD INVESTIGATION PANEL MEMBERS

4
5 MR. MICHAEL KARR,
6 INVESTIGATOR-IN-CHARGE
7 Office of Marine Safety
8 490 L'Enfant Plaza East, SW
9 Washington, DC 20594-2000

10 APPEARANCES ON BEHALF OF PARTIES IN INTEREST

11 ON BEHALF OF VESSEL OWNER DAVID L. WILSON
12 SVETLANA P. SPIVAK, ESQUIRE
13 Law Offices of Holmes, Weddle & Barcott
14 999 Third Avenue, Suite 2600
15 Seattle, WA 98104
16
17
18
19
20
21
22
23
24
25

T A B L E O F C O N T E N T S

OPENING STATEMENTS

By CDR Muller III-5

By Mr. Karr III-8

DIRECT EXAMINATION OF JONATHAN PARROTT

By CDR Muller III-10

By Mr. Gillette III-41

By Mr. Karr III-43

By Ms. Spivak III-49

DIRECT EXAMINATION OF TIMOTHY ALLS

By CDR Muller III-52

By Mr. Gillette III-63

DIRECT EXAMINATION OF RICHARD ETSSELL

By CDR Muller III-67

By Mr. Gillette III-93

By Mr. Karr III-98

By CDR Muller III-100

DIRECT EXAMINATION OF GISLI OLAFSSON

By CDR Muller III-103

Mr. Karr III-120

Ms. Spivak III- 121

DIRECT EXAMINATION OF LANCE NYLANDER

By CDR Muller III-127

By Mr. Gillette III-157

By Mr. Karr III-160

P R O C E E D I N G S

OPENING STATEMENT

1 CDR MULLER: Good morning. This hearing
2 will now come to order.

3 Today is August 9th, 2017, and the time is
4 9:03. We are continuing at the U.S. Coast Guard
5 Thirteenth District, Seattle, Washington.

6 I am Commander Scott Muller of the United
7 States Coast Guard, Chief of the Inspections and
8 Investigations Branch Fifth Coast Guard District,
9 Portsmouth, Virginia.

10 I am the Chairman of the Coast Guard Marine
11 Board of Investigation and the presiding officer over
12 these proceedings. The Commandant of the Coast Guard
13 has convened this board under the authority of Title
14 46 U.S. Code, §6301, and Title 46 Code of Federal
15 Regulations Part Four to investigate the circumstances
16 surrounding the sinking of the fishing vessel
17 Destination with the loss of six lives on
18 February 11th, 2017 approximately 3 nautical miles
19 north of St. George Island, Alaska.

20 The investigation will determine as closely
21 as possible the factors that contributed to the
22 incident in order to develop recommendations aimed at
23 preventing similar casualties.
24
25

1 Whether there is evidence that any act of
2 misconduct, inattention to duty, negligence or willful
3 violation of the law on the part of any licensed or
4 certificated person contributed to the casualty, and
5 whether there is evidence that any Coast Guard
6 personnel or any representative or employee of any
7 other government agency or any other person caused or
8 contributed to the casualty.

9 This Marine Board has planned for at least
10 one hearing session. The purpose of this hearing is
11 to collect factual information. The Marine Board will
12 use the factual information when developing its report
13 of findings, conclusions and recommendations.

14 I have previously determined that the
15 following individual is a Party In Interest to this
16 investigation, Mr. David Wilson represented by Ms.
17 Spivak of Holmes, Weddle & Barcott, LLC.

18 This party has a direct interest in the
19 investigation and has demonstrated the potential for
20 contributing significantly to the completeness of the
21 investigation or otherwise enhancing the safety of
22 life and property at sea through participation as a
23 Party In Interest. All Parties In Interest have a
24 statutory right to employ counsel to represent them,
25 to cross-examine witnesses and to have witnesses

1 called on their behalf. I will examine all witnesses
2 at this formal hearing under oath or affirmation, and
3 witnesses will be subject to federal laws and
4 penalties governing false official statements.

5 Witnesses who are not Parties In Interest
6 may be advised by their counsel concerning their
7 rights; however, such counsel may not examine or
8 cross-examine other witnesses or otherwise
9 participate. These proceedings are open to the public
10 and to the media. I ask for the cooperation of all
11 persons present to minimize any disruptive influence
12 on the proceedings in general and on the witnesses in
13 particular.

14 Please turn your cell phones or other
15 electronic devices off or to silent or vibrate mode.
16 Please do not enter or depart the hearing room except
17 during periods of recess. Flash photography will be
18 permitted during the opening statement and during
19 recess periods. The members of the press are, of
20 course, welcome. An area has been set aside for your
21 use during the proceedings. The news media may
22 question witnesses concerning the testimony they have
23 provided here, but only after I have released them
24 from these proceedings. I ask that any such
25 interviews be conducted outside this room.

1 Since the date of the casualty, the NTSB and
2 the Coast Guard have conducted substantial evidence
3 collection activities and some of that previously
4 collected evidence will be considered during these
5 hearings. Should any person have or believe he or she
6 has information not brought forward, but which might
7 be of direct significance that person is urged to
8 bring that information to my attention by emailing
9 FVDestination@USCG.mil.

10 The Coast Guard relies on strong
11 partnerships that execute its missions and this Marine
12 Board of Investigation is no exception. The National
13 Transportation Safety Board provided a representative
14 for this hearing, Mr. Michael Karr, also seated to my
15 left is the Investigator In Charge for the NTSB
16 investigation.

17 Mr. Karr, would you like to make a brief
18 statement?

19 MR. KARR: Good morning. I'm Michael Karr
20 Investigator In Charge for the National Transportation
21 Safety Board for this investigation of this accident.
22 The NTSB has joined this hearing to avoid duplicating
23 the development of facts. Nevertheless, I do wish to
24 point out that this does not preclude the NTSB from
25 developing additional information separately from this

1 proceeding if that becomes necessary. At the
2 conclusion of the hearing, the NTSB will analyze the
3 facts of this accident, and determine the probable
4 cause independent of the Coast Guard. We'll issue a
5 report of the NTSB findings and if appropriate the
6 NTSB will issue recommendations to correct safety
7 problems discovered during this investigation.

8 Thanks.

9 CDR MULLER: Thank you, Mr. Karr.

10 We will now call our first witness of the
11 day, Mr. Parrott of Jensen Maritime. Mr. Parrott, if
12 you would please come forward to the witness table and
13 Lieutenant Commander Mendoza will administer your oath
14 and ask you some preliminary questions.

15 JONATHAN PARROTT,

16 A witness produced on call of the Coast
17 Guard, having first been duly sworn, was examined and
18 testified as follows:

19 LCDR MENDOZA: Please be seated.

20 Sir, may you please state your full name and
21 spell your last name for the record.

22 THE WITNESS: My name is Jonathan Parrott,
23 and my last name is spelled P-A-R-R-O-T-T.

24 LCDR MENDOZA: Please state your current
25 employment and position title, sir.

1 THE WITNESS: Currently employed by Jensen
2 Maritime part of Crowley Maritime and current title is
3 director of new design development.

4 LCDR MENDOZA: Do you hold any professional
5 licenses or certificates.

6 THE WITNESS: I am a licensed professional
7 engineer, naval architecture, marine engineering in
8 the State of Washington.

9 LCDR MENDOZA: Thank you, sir.

10 CDR MULLER: Good morning, Mr. Parrott.

11 THE WITNESS: Good morning.

12 CDR MULLER: It's a pleasure to meet you in
13 person. I know for the last number of months we spoke
14 a few times, mainly where you helped provide
15 information to the Board and also very helpful
16 information regarding stability and design to myself.
17 So I appreciate your assistance.

18 THE WITNESS: A pleasure.

19 DIRECT EXAMINATION

20 BY CDR MULLER

21 Q. So if you would, to get started if you could
22 further describe your company, the work and the
23 projects it performs and your capacity and function in
24 those projects.

25 A. Jensen Maritime was formed in approximately

1 1961 by Ben Jensen, who was a naval architect here in
2 Seattle. For the first probably 20 years he was
3 primarily, we were primarily involved in developing
4 fishing vessels and small commercial work boats for
5 the pacific Northwest and the Alaskan area.

6 Currently we are part of Crowley Maritime.
7 They bought us in 2008, and we do some work for them
8 but we maintain other clients in the fishing industry
9 and the commercial markets.

10 Q. Are you active in any professional
11 organizations and have you worked for the Coast Guard
12 in the past and in what capacity?

13 A. Currently a member of -- lifetime -- or a
14 fellow member of SAAMI (phonetic), it doesn't mean
15 that much really, but I am also technical advisor to
16 the North Pacific Fishing Vessel Owners' Association.
17 And then for working with the Coast Guard, we have
18 assisted the Coast Guard for many years in discussing
19 with stability and just anything that they have
20 requested us to do.

21 Q. Okay. Thank you. So as you are aware, we
22 are here to discuss the fishing vessel Destination.
23 Can you tell us how you came to know the fishing
24 vessel Destination if not you personally, but your
25 company?

1 A. The original name of the boat was the
2 Compass Rose and she was the sister ship to the Judy
3 B, which we designed in the late '70s. The Judy B was
4 built at Nichols. The first owner of the boat, Tony
5 Berand (phonetic) came to us and had a shipyard down
6 in Texas contract the boat. We did some modifications
7 to the vessel, to the original design, to suit his
8 requirements and did the stability at the time and
9 that was about the extent of the work.

10 Q. So to date the Board has not been able to
11 locate or obtain any drawings of the fishing vessel
12 Destination depicting the vessel's arrangements post
13 its 1993 modifications.

14 So some of my questions with you today will
15 focus on specific elements of the vessel's drawings as
16 originally constructed in 1981 as the Compass Rose.
17 Later on this morning I will be directing questions to
18 other witnesses, ship builders and naval architects
19 involved in the vessel's modifications. My questions
20 for you then will form a foundation to better
21 understand and establish the scope and extent of those
22 modifications.

23 So if you can turn now to Exhibit 199. It's
24 also displayed on the screen here and in front of you
25 in the binder.

1 A. Yes. Thank you for that.

2 Q. This is the vessel's plans for the fishing
3 vessel Destination as originally constructed in 1981
4 as the Compass Rose. Do you recognize these drawings?
5 What are they?

6 A. The particular drawing is the original pot
7 loading table that we developed from the stability of
8 the boat at the time she was delivered from the
9 shipyard.

10 Q. If I can just backup one second. So
11 generally speaking, those drawings in front of you,
12 are those the original design drawings?

13 A. Yes. They are the original design drawings
14 from our files, yes.

15 Q. Right. And can you in those drawings or
16 would you be familiar if the vessel was designed by
17 your company to meet any standard such as load line or
18 class?

19 A. At the time there was no requirement for
20 classing or load line fishing vessels of this size.
21 As a standard in our office, we use the ABS structural
22 rules to design the structural scantlings and then for
23 the stability we use the Coast Guard stability
24 requirements that have been formulated in Part 28 in
25 the current regulations.

1 Q. So to be clear, was this vessel as the
2 Compass Rose, was that designed to the ABS standards
3 that you currently use today?

4 A. Yes. We would have used ABS standards for
5 the structural calculations, yes.

6 Q. Right. Thank you. Okay. So as you
7 previously mentioned, the first -- what you have in
8 front of you there is the Exhibit 199, page 30. On
9 display is 30A, which is just a slightly blown up
10 version. This is the pot loading table?

11 A. That's correct.

12 Q. So looking at this table, for Jensen
13 Maritime when they produced this, because I don't --
14 would you have produced this yourself at the time?

15 A. That is my handwriting.

16 Q. Oh, that is? Okay. I'm glad I asked that
17 question. So if you can recall when you produced this
18 pot loading table, can you describe to us the form or
19 philosophy used to create the table and calculations.
20 Were they established in accordance with any
21 particular standard?

22 A. The primary goal of our stability reports
23 was to illustrate in a simple manner safe operating
24 limits for the boat. The stability criteria
25 establishes a certain standard for a series of

1 criteria writing arms and reserve buoyancy that as
2 long as the boat meets those minimum standards, it has
3 less of a chance of capsize.

4 If it doesn't meet the criteria, it just
5 means it has more a chance of capsizing. It's a
6 statistical analysis. So we use this and then we try
7 to generate instructions and pot tables that are
8 simple, that the skipper of the boat can quickly take
9 a look and determine where he is on his fuel load and
10 his cargo tanks and then determine how many pots he
11 can safely carry.

12 Q. So how would a mariner, a vessel captain,
13 utilize this table?

14 A. Well, we have -- it's basically broken down
15 into two fuel loads, more than normal fuel load, less
16 than normal fuel load. Note one defines what normal
17 fuel load is. And then if you go down on the
18 left-hand side determine how many sea water holds he
19 has in use, and this vessel had three holds. And so
20 we've got, the top line is all holds dry, which is a
21 condition that was very rarely operated in. The boats
22 tended to be just too far out of the water so the
23 skippers like to have a little bit more in the water?

24 Then we went through with each one of the
25 single holds and then combination of the two holds and

1 then the last line in the table is all three holds.
2 So he would determine where he was in the fuel load,
3 where he was in his cargo load, and then work over
4 into the matrix to determine how many pots he could
5 carry and how many tiers.

6 Q. Does this table calculate or take into
7 account icing conditions?

8 A. This particular table does not. The
9 instructions in the Master usually will say there was
10 a potential icing condition, they need to reduce pots
11 by so many pots.

12 Q. So this table, does it list that kind of
13 instruction?

14 A. No. It wouldn't, this table does not list
15 that.

16 Q. Okay. Does the table specify the size or
17 weight of the pots used in the calculations?

18 A. Yes. Note two defines what pots were used
19 for the calculations.

20 Q. Are you able to read that line?

21 A. Yes.

22 Q. If you would?

23 A. Note two says pots were assumed to be 6 foot
24 6, by 6 foot 6 by 34, weighing 700-pounds each and the
25 weight includes lines and buoys.

1 Q. Thank you. So now I would like to discuss
2 the outboard profile diagram. This is Exhibit 199,
3 page 31 A for the purpose of display on the screen.

4 If you would, can you describe the height of
5 the wheelhouse in relationship to the aft master's
6 stateroom.

7 A. This particular design has flush pilot house
8 where the pilot house and the master stateroom are on
9 the same level.

10 Q. Can you also point out in that drawing where
11 the life raft is located?

12 A. The drawing indicates that the life raft is
13 on the housetop, just aft of the door into the pilot
14 house on the starboard side.

15 Q. Thank you. On this drawing I see what I
16 would call freeing ports, just above the water line,
17 those squares there.

18 A. Yes.

19 Q. Would you agree, those are freeing ports?

20 A. Yes.

21 Q. How many are there?

22 A. There are four midships and then one more
23 aft on the poop deck.

24 Q. Would you recall that you conducted
25 calculations for or otherwise would the plans indicate

1 those freeing ports reflected any sort of standard in
2 terms of surface area?

3 A. Freeing port areas we usually will calculate
4 in accordance with ABS rules. As a standard I think
5 .7 square feet plus a factor for the length on the
6 well deck. The actual calculation would not generally
7 be indicated on the drawings themselves, but we would
8 make sure that we had sufficient space -- room for
9 that.

10 Q. Okay. So, and would you recall, I mean, is
11 this drawn to scale? In other words, would these
12 freeing ports be representative depiction of its
13 surface area?

14 A. They should be. They should be very close
15 to within an inch in each general direction. The
16 particular drafter that we had on this, that did the
17 drawings is usually pretty careful with that.

18 Q. Okay. Thank you. Okay. If we can turn to
19 the next page. Should be page 32. This is Exhibit
20 199, 32, 32A for the purpose of the screen display.
21 This is a drawing of the hatch and tank covers.

22 Can you describe the arrangement and
23 location of the hatch covers for tanks one and two?
24 Could they be described as adjacent to one another
25 sharing a common bulkhead?

1 A. They would be adjacent to each other. They
2 would be offset because of framing and insulation in
3 the hold. So there would probably be maybe 6 inches
4 between the hatches, but there would be separate
5 hatches and separate coamings for each hold.

6 Q. Can you describe the orientation or
7 arrangement of the loading covers? Those are the
8 smaller circles there --

9 A. Uh-huh.

10 Q. -- on the hatch cover. They could also be
11 referred to as access hatch covers as well, but I
12 think also loading covers because that's where the
13 crew would load the crab into the tank.

14 Can you describe its arrangement based -- to
15 the centerline. So in other words, are they
16 centerline or off centerline?

17 A. They are off centerline. They're generally
18 fairly close to where they would unload the crab pots
19 to minimize, just basically minimize the distance the
20 crab have to go into the hold. So they would be as
21 close into the pot launcher as they could be.

22 Q. Okay. So if we can go to the next page,
23 which should be page 27 of Exhibit 199, 27 A is
24 depicted on the screen. Again, just a slightly zoomed
25 in version of the plans.

1 So this depicts, page 27 depicts the drawing
2 of the hold overflows. Can you describe the
3 arrangement location and number of those shoots with
4 each tank?

5 A. Each tank had its own overflow chute. About
6 halfway across the chute was a bolted hatch in case
7 crab got in there or something like that so they could
8 clean it out. And then there were, each chute had two
9 pipes going overboard with butterfly valves. And
10 these would be on the opposite side of -- generally on
11 the opposite side of where they were catching the
12 crab.

13 Q. There's a pointer next to your right hand,
14 one of those buttons should be a laser pointer.

15 A. Got it.

16 Q. Okay. So if you would, if you could point
17 and describe where that overflow would exit the hatch.
18 And if I may, I believe they call that the hatch
19 coaming?

20 A. Uh-huh.

21 Q. Would you agree with me?

22 A. Yes.

23 Q. So if you can point to that location.

24 A. This detail is a section through the hatch,
25 the coaming, the actual hatch coaming is over here.

1 Then the chute comes through here. There is the
2 access hatches in this area, and then the pipes
3 overboard are over here. This is a plan view down
4 here where you've got the hatch coaming, the chute,
5 the cleanout hatch is right there, and then the two
6 pipes each overboard is right here.

7 Q. Okay. Is there some kind of grate or
8 strainer in way of a coaming?

9 A. This indicates as grate on the opening at
10 the hatch coaming and this would be to prevent crab
11 from getting into the -- or full crab getting into the
12 overboard chute and clogging it.

13 Q. You mentioned earlier there was some pipes
14 with valves in it?

15 A. Yes.

16 Q. How many pipes per chute, overflow chute?

17 A. This drawing indicates that there were two
18 pipes. Unfortunately the printing is just a little
19 too small for me to determine the size, but it looks
20 like they were six inch schedule 80 pipe or schedule
21 40 pipe going overboard from the end of the scratch --
22 the overboard chute.

23 Q. And how many pipes per chute?

24 A. Two pipes per chute.

25 Q. Okay. Very well. Thank you.

1 Let me just establish one train of thought,
2 if you will. So we established that there's an
3 individual chute, one per, and separate individual
4 chute per hold. So when those tanks are flooded and
5 tanked and overflowing would you agree with the
6 statement that when it discharges overboard you would
7 see -- if they were all flooded you would see three
8 separate discharges or cascade effect through those
9 pipes?

10 A. Yes. One for each tank that was
11 overflowing. Yes. You would see three.

12 Q. So one can conclude that if you were to
13 count the number of discharge overflows, you can then
14 determine looking from the side of the vessel how many
15 tanks were tanked; is that a correct --

16 A. You should be able to. The only
17 complication there would be if they had the hatch, the
18 whole hatch loose and so there was also water coming
19 out from the gap in the hatch and going on deck.
20 There would definitely be some extra water coming
21 through the freeing ports, but it would be a much
22 smaller volume so you'd be able to -- I think you'd be
23 able to kind of determine which hold was still full
24 from the water coming over the shoots.

25 Q. Would there be any reason why the crew would

1 keep the hatch loose?

2 A. Not that I can think of.

3 Q. Okay. Perhaps if they just didn't tighten
4 it down tight enough?

5 A. Yeah, possibly.

6 Q. Okay.

7 A. Possibly. But the hatches are generally
8 bolted down, so in general just open when they are
9 just off loading.

10 Q. Okay. If we can turn now to Exhibit 199,
11 page 35. This is the salt water circulation system or
12 hold piping diagram. So looking at this drawing, can
13 you describe the arrangement -- excuse me. Can you
14 confirm that each hold has its own suction and
15 discharge line?

16 A. That is correct.

17 Q. Can you confirm that the system is fitted
18 with check valves?

19 A. Check valves were installed in both the
20 suction and return lines, the supply and return lines.

21 Q. Just by way of explanation or education if
22 you will, can you describe to the Board generally what
23 a check valve would be used for or why naval
24 architects or engineers would put that on a drawing?

25 A. It's to prevent back flow through the

1 system. You don't want -- these systems were usually
2 designed to be able to flood one or all holds. And if
3 you were just flooding one hold, you'd want to make
4 sure that you weren't flooding other holds. If you
5 had water in a hold and you closed off the system, or
6 you shut down the system, you don't want the water
7 flowing into another tank by mistake.

8 Q. Right. Would a term be used -- could you
9 describe that as gravitate?

10 A. Yeah.

11 Q. One tank can gravitate into another?

12 A. Right.

13 Q. Okay. And that -- just by, again, frame of
14 reference, that could also occur if one were not to
15 close a valve, let's say?

16 A. That's correct. If one had a valve open.
17 It could backflow through that valve into another
18 hold.

19 Q. Thank you. Okay. I'd like to turn to the
20 next exhibit, Exhibit 199 next page was 17. This is a
21 drawing of the propulsion shafting, can you describe
22 the location of what they call the stuffing box?

23 A. The stuffing box really isn't shown on this
24 drawing, but there's about here is where they have
25 a -- forgot the term -- but they have a shaft liner,

1 they have a liner here that would be where the stern
2 tube bearing is, which is right here. And then the
3 stuffing box would be just forward of that. On the
4 boat itself it's approximately located at frame 12 and
5 a half, I think. It's below the number three hold.

6 Q. So if we looked at the profile view?

7 A. Uh-huh.

8 CDR MULLER: Lieutenant Commander Mendoza,
9 if you kindly would turn back to the profile view,
10 which was page 31.

11 THE WITNESS: Actually, the general
12 arrangement would probably be better.

13 CDR MULLER: Okay. Go back one if you don't
14 mind.

15 A. Typically, you've got a shaft alley that
16 runs underneath the holds. They've got hatches in way
17 of the hold bottom for access, and so your shaft you'd
18 have a stuffing box right here at the engine room
19 bulkhead, and then back here where it was going into
20 the stern tube, right about there is where the stern
21 tube ends and the stuffing box would be right about
22 there. And typically you would have a little access
23 hatch right above that, so for inspection.

24 BY CDR MULLER

25 Q. And, again, to frame what is a stuffing box?

1 A. Stuffing box is a piece of equipment that
2 goes around the shaft that prevents water from coming
3 up from the stern tube into the boat.

4 Q. Okay. So would the stern tube then be the
5 very last watertight envelope or structure of the hull
6 of the vessel.

7 A. It would be the last basically watertight
8 piece of equipment between the bearings and the shaft
9 alley, yes.

10 Q. Okay. So then after that, the shaft would
11 continue on, but connect to the propeller?

12 A. Right.

13 Q. So I would like to now shift the discussion
14 more specifically to stability books. So if we can
15 start to turn to Exhibit 219, which is an example
16 Jensen Maritime Stability Information Book. So just
17 to check in, does Jensen Maritime conduct stability
18 assessments for fishing vessels or run tests and
19 calculations to develop stability instructions?

20 A. Yes, that's one of our core businesses for
21 the last 50 years.

22 Q. So roughly generally how many has your
23 company produced over the years?

24 A. When I started in '79, 1979 with the
25 company, being the junior naval architect, I did most

1 of the stability grunt work at that time. That was
2 the tail end of the construction for the crab fleet,
3 and we were probably doing 15 to 20 a year for the
4 first five years and then switched over to trawlers,
5 and I would have to say we've done probably 200 to
6 250/300 stability reports in the past 30, 40 years
7 that I've been with the company.

8 Q. Okay. And ballpark figure, how many
9 stability books has your company produced for fishing
10 vessels in the last year?

11 A. In the last year I would say most of the
12 work we've done has been -- they hadn't gotten the
13 fleet that are governed by the alternate compliance
14 safety program, the Coast Guard put into effect about
15 ten years ago, and then the small trawlers and we're
16 probably doing an average of eight fish boat
17 stabilities a year for the past five years. Have to
18 say that it's been a while since we've done a crabber,
19 Probably four or five years since we've done the last
20 crabber.

21 Q. So these stability books over the years that
22 your company has produced, did they adhere to any
23 established standard?

24 A. No not really. The standard -- Coast Guard
25 has -- or the stability criteria have a standard set

1 of conditions that we need to run. We run extra ones
2 just to make sure that we're covering all of the
3 bases. We kind of formulated our own standard really
4 during the first couple of years I was there with the
5 company in '79 and '80. And the general format of the
6 stability booklets hasn't changed that much since
7 then. They're very similar to what we submit to ABS
8 on load line fish boats and actually the tug boats
9 that we do now, there's very little difference in the
10 format.

11 Contents have changed a bit with the advent
12 of PC and computer stability. We've been able to put
13 more information in there, but a lot of that
14 information is more suited to review of the stability
15 booklet by the class societies rather than the
16 skippers. So we've broken the stability booklets up
17 into basically the first section, which is the results
18 and the instructions, and then the appendices after
19 that are the general information that the skipper may
20 or may not need. It's primarily the first section of
21 the booklet is where the pot loading table is and the
22 instructions to the Master.

23 Q. So you just referred to a Coast Guard
24 criteria, would that be found in 46 C.F.R. 28.500?

25 A. That's correct.

1 Q. Subchapter C, subpart E stability.

2 A. Yes. Part 28 has become the standard for
3 fish boat stability, yes.

4 Q. Okay. So turning now to, this is page 1 of
5 Exhibit 219. Again, it's the example Jensen Maritime
6 stability information book. I call it an example
7 because for the record, the stability book displayed
8 here on the screen on the very top it just says F/V
9 there is no fishing vessel name associated with this
10 document.

11 Can you quickly -- can you describe why you
12 produced this document and what you used it for.

13 A. The Coast Guard sector in anchorage
14 requested a copy of a standard good format, for lack
15 of a better term, stability booklet that they could
16 take a look at and kind of make sure that the
17 information presented in other booklets, produced by
18 other people generally had the same information to the
19 Master.

20 So this was a boat that is similar to the
21 Destination, in that she's a crabber, about roughly
22 the same size. She's been sponsored. And so we
23 prepared this, deleted the name, and so to protect the
24 innocent there, and sent this up to Anchorage to the
25 headquarters up there for their use.

1 Q. Okay. Thank you. So if we could turn now
2 to pages 3 and 4, starting on page 3. This is the
3 instruction section. Does the stability book provide
4 information and operating instructions? Please
5 describe some of those general operating instructions
6 what is covered and in particular any discussion or
7 indication regarding ice loads.

8 A. This is a pretty typical operating
9 instruction letter to the Master. Basically, if we go
10 through and we say how we've established the criteria,
11 which is 46 C.F.R. Part 28, lightship weight, and
12 center, basically saying in that section that if
13 weights change, stability should be checked.

14 It's very important to maintain your
15 watertight integrity. And just be aware of any loads
16 and changes to the loads on the boat. Freeboard and
17 trim is the next section and generally we're basically
18 saying that minimum of six inches of freeboard at all
19 times. Some boats have the capability of when they're
20 fully tanked down, full of fuel and full of crab pots
21 they can actually get very close to submerging the
22 main deck so we established a 6-inch minimum even
23 though at the deeper level, they could still meet
24 stability criteria. We felt that at least 6 inches of
25 freeboard was a minimum that they'd want to carry.

1 Trim, we basically leave that up to the
2 skipper because trim will depend -- the optimum trim
3 will depend on the weather conditions, heavier weather
4 they will want to keep the bow up out of the water.

5 The next section is a consumables and this
6 is where we establish run off procedure if it's
7 necessary, what limits -- what tanks not to use, what
8 tanks to use. The standard verbiage in there tank
9 cross flooding valves should be closed, and the number
10 of slack tanks kept to a minimum at all times.

11 If the vessel has ballast tanks, we discuss
12 if there are limits on when and where they can use
13 their ballast tanks. And then standard hold tank
14 filling/emptying procedure.

15 Then we go into crab loads, further define
16 what pots they use. And then we have ice loads in
17 there where we use -- we explain what ice we use, this
18 particular one is 1.32-inches on deck and a third of
19 an inch on vessel size and we give them total weight.

20 And then --

21 Q. Excuse me, you just mentioned ice loads.

22 A. Uh-huh.

23 Q. So that would be --

24 A. That would be section eight on page two.

25 Q. Right. Good. Thank you.

1 A. And then the section above, the last --
2 we've got in there, when operating with potential
3 icing conditions reduce pot loads by 45 pots for this
4 particular vessel, but we'll indicate somewhere that
5 there's a reduction in pot load for icing, for
6 potential icing conditions.

7 And then lifting equipment, typically that's
8 not a big issue for most of these boats. Worse case
9 scenario is they're lifting a full crab pot, they are
10 not very far over the side. Important instructions
11 here would be weather tightness and seaworthiness.
12 Just reminding them to be aware of where their
13 watertight doors are open or closed, hatches, that
14 they should check, the coamings and then make sure
15 that the watertight door is actually watertight.

16 Q. If you don't mind I would just like to
17 highlight one or two sections and maybe you can just
18 read it. If you don't mind, if you can read the first
19 two sentences of the ice loads. That's paragraph
20 eight.

21 A. Section VIII says, "ice loads calculated for
22 this report are U.S. Coast Guard/IMO recommended
23 standard ice load for the Bering Sea. The standard
24 ice loads for this vessel is 15.21 long tons, 34,063
25 pounds, which is equivalent to 1.32 inches on decks

1 and .33 inches on vessel sides.

2 Q. Okay. If you don't mind, the paragraph
3 above, king crabbing loads.

4 A. Okay.

5 Q. The second sentence, start with rectangular
6 pots.

7 A. Rectangular pots were assumed to weigh a
8 maximum of 725-pounds each including lines and buoys,
9 and measure 7 feet by 7 feet by 34 inches.

10 Q. Okay. One more, if you will, this is for
11 the record. The first sentence in the last paragraph
12 of the section X, weather tightness and seaworthiness.
13 Starting with, the Master shall log.

14 A. The Master shall log all weight and buoyancy
15 changes made to the vessel before each fishing season
16 including description, weight and location. Where
17 such changes are made, a naval architect shall be
18 consulted to update the stability guidance as required
19 by Section II.

20 Q. So regarding that last sentence you just
21 mentioned, what would you consider the Master
22 should -- what kind of weights should he log?

23 A. This is more -- we've run into issues where
24 we've done stability tests on boats, especially the
25 head and gut boats where five years after we've done a

1 stability report, we've noticed a fairly large weight
2 gain. And the owners usually come back and say, oh,
3 we haven't changed anything. And then we'll go back
4 through the boat with them and they say, oh, yeah,
5 that's right. We changed this pump. We put a bigger
6 generator on. And they just find, oh, yeah, we have
7 added weight. So that sentence is more along the
8 lines to make the skippers aware that little changes
9 can add up over time in weight gains.

10 Q. Is the intent of that paragraph to be all
11 inclusive? In other words, is it just subject to the
12 vessel itself? And I believe in naval architecture
13 terms you might call that lightship condition or would
14 it also constitute other weights that might be added
15 to the vessel, specific cargo or perhaps even pots?

16 A. It would be, it should cover all weights.
17 Lightship weight doesn't cover, like, pot loads. So
18 if you go from a 750-pound crab pot to an 825-pound
19 crab pot, you know, you need to adjust your stability
20 criteria, pot loading table for that.

21 Q. Thank you. Okay. If we can turn now to
22 page five of Exhibit 21. This is the loading table
23 for this example stability book. Does this loading
24 table detail describe the assumed weight and
25 dimensions of the pots for the calculation?

1 A. It does in note two.

2 Q. Would you mind reading that for us?

3 A. "Rectangular pots are assumed to measure
4 7 feet by 7 feet by 34 inches by 725 pounds each
5 including lines and buoys."

6 Q. Does the table describe minimum freeboard
7 criteria?

8 A. Yes, in note four. "Conditions referencing
9 this note may have less than 6 inches of freeboard
10 depending on consumables loading." Whether they've
11 got full fuel or they're at the bottom or top of the
12 range of fuel loads. "Loads should be reduced to
13 maintain 6 inches of freeboard."

14 Q. Does the table reference icing conditions?

15 A. In note five it says, "under icing
16 conditions, reduce the pot load by 45 pots from the
17 uppermost tier. Do not operate where this reduction
18 results in a negative pot load."

19 Q. Okay. So my question here is: How does a
20 Master apply icing conditions? Under what
21 circumstances? Is it dictated about location,
22 operating location by latitude? Is it dictated by the
23 season, by month, or is it the presence of actual
24 prevailing icing conditions?

25 A. It would be prevailing weather conditions.

1 We do not -- we do not say, you know, assume icing
2 will operate between November and March because you
3 might get weather conditions outside of that timeframe
4 that could be potential icing. Weather is very
5 unpredictable. So it's up to the skipper to kind of
6 be aware of the potential weather he's going to see in
7 the next couple of days and adjust the loads for that.

8 Q. Okay. Stepping back a little bit. My
9 question here is how often and when should a stability
10 book be updated or when is a new stability assessment
11 required? So how often should these books and
12 information books be reviewed?

13 A. That really depends where you are in the
14 fisheries. For a load line boat -- well, for the head
15 and gut boats that are using the alternate compliance
16 program, they are required to review their stability
17 every five years at a minimum. So we've generally
18 been inclining those boats every five years. Outside
19 of that, class rules will dictate, MTN, there's an MTN
20 that we use for most of the Coast Guard inspected and
21 class boats that you keep track of the weights that
22 are added for lightship, and once they reach a certain
23 threshold, then you re-incline the boat. For crabbers
24 there is no set standard.

25 Q. So for a crabber, place us in context, if

1 you issued the stability book to a crabbing vessel, at
2 what circumstances would you expect the vessel owner
3 to approach you and start talking stability? What
4 kind of scenarios?

5 A. Any type conversion. You know, adding
6 length or sponsoning or changing the pilothouse.
7 We've had people come to us where they've changed
8 engines. You know, they pulled out their old engine
9 and put in a new engine. We've had several, probably
10 a dozen, dozen and a half, two dozen situations where
11 we've gotten a call from the owner of a boat right
12 before they were going out fishing saying, hey, we
13 just changed our pot size. We need to adjust our pot
14 loading table for new pots, weight and size.

15 Q. Okay. Thank you. All right. I'm almost
16 done.

17 Moving along here. Earlier on in your
18 testimony, you mentioned reserve buoyancy. Can you
19 describe what that is, and I mean could that be kind
20 of considered a safety factor or a buffer? And how
21 that is incorporated in stability book information.

22 A. Reserve buoyancy basically is watertight
23 volume above the waterline that will assist the boat
24 in righting itself as it's heeled. Typically on
25 these, the reserve buoyancy is the poop deck, usually

1 an 8 or 9-inch raised deck back aft. And then on this
2 particular style of boat, the forecastle forward. We
3 have a fair amount of reserve buoyancy up there in the
4 deckhouse. So it's critical to keep any of the down
5 flood points into those spaces as far inboard and as
6 high as possible.

7 There really, the only way they're
8 incorporated in the stability booklet is in -- when
9 we're doing our -- running our conditions on the
10 computer with our computer model. In the instructions
11 to the Master, they are basically covered with keep
12 the watertight doors and access hatches closed.

13 Q. So as a naval architect conducts their
14 calculations -- would a naval architect keep track of
15 reserve buoyancy calculations? And is it running some
16 scenarios or numbers? For example, playing around
17 with different weights, different loaded conditions,
18 different cargoes? Can a naval architect start to see
19 a pattern in the calculations where the reserve
20 buoyancy calculations would decrease or is that a
21 fixed volume?

22 A. It's a fixed volume. It's interesting when
23 I was doing stability way back when, we didn't have
24 the computer power that we have these days. So we
25 didn't run as many conditions. So the older naval

1 architect were -- one of the interesting things that
2 happened as I came in was that we started getting
3 enough computer power to generate, to take a look at
4 different conditions. And one of the things that we
5 found out was when the boats turned forward, they have
6 a lot more reserve buoyancy and better stability, but
7 that is offset by the fact that the pilothouse is now
8 closer down to green water in the heavy weather?

9 So you had to adjust the loads and work with
10 the skipper to say, okay, where do you want to draw
11 the line? I mean, you can't have the boat going
12 around nose down and maximize your pot table that way?

13 So we had to -- we started running more
14 conditions, which you can see in the standard one
15 where we have instead of two fuel conditions, we have
16 six fuel conditions. We were able to, with more
17 computer power we were able to generate better results
18 and look at conditions where we hadn't looked at
19 before.

20 Q. Okay. Can a naval architect start to see a
21 pattern? Let's say there's certain stability criteria
22 that we will say the vessel has to meet certain
23 righting moments --

24 A. Right.

25 Q. -- and other criteria, can a naval architect

1 managing different scenario weights, is it possible
2 for the naval architect to start to see that while
3 some numbers may not exceed the established standard
4 criteria, but the numbers are starting to get close,
5 in other words, like a safety margin or the buffer or
6 you're starting to dwindle, if you will?

7 A. Yeah. We can, you know, with computers and
8 things like that we can see where we're getting close
9 to the limits, and, you know, we generally will
10 establish how close to the limit we want to get
11 internally. You know, got to remember that the
12 stability criteria is a statistical threshold, and
13 just because you're at the limit if you go a hundredth
14 of a foot, more foot degrees doesn't mean you're
15 unstable. It just means you're increasing your chance
16 of having a stability related accident. So it really
17 depends on sea conditions also out there.

18 Q. Okay. Thank you. One final question: It
19 may be in one of those diagrams in front of you, but
20 generally speaking either in a vessel on the Compass
21 Rose built in '81 or generally speaking in the fish
22 holds, the tanks, are they fitted with any kind of
23 ventilation to prevent over-pressurization or vacuum?

24 A. I know that we've been on the recent boats
25 that they've had overflows and events I would have to

1 say on the Destination in the standard crabber, no, it
2 does not have a separate vent other than the overflow
3 chute.

4 CDR MULLER: Okay. Thank you. So that
5 concludes my questions. I'd like to now turn it to
6 the other board members.

7 Okay. We're going to have a short recess
8 for five minutes for a quick break for the Board.

9 Thank you.

10 (Whereupon, a brief recess was taken.)

11 CDR MULLER: Okay. The hearing will now
12 come to order. We are continuing our questions for
13 Mr. Parrott.

14 Mr. Parrott, just want to remind you you are
15 still under oath.

16 THE WITNESS: I understand.

17 CDR MULLER: So I have concluded my
18 questions. I would like to now ask Mr. Gillette if he
19 has any questions.

20 MR. GILLETTE: Yes, Commander.

21 DIRECT EXAMINATION

22 BY MR. GILLETTE:

23 Q. Good morning, Mr. Parrott.

24 A. Good morning.

25 Q. My name is James Gillette with the United

1 States Coast Guard. I just want to go back to Exhibit
2 199 page 30, I believe on screen it's 30A. And that's
3 your Compass Rose pot loading table and on the bottom
4 you were talking about notes earlier. Can you read
5 note two? It talks about the pots were assigned to be
6 6 by 6 weighing 700 pounds each including lines and
7 buoys. Where did you get that number from?

8 A. That would have been a number we got from
9 the skipper, or the matter or the owner of the boats.
10 It was actually -- typically the pots at that time
11 were between 6 and 700 pounds, if I remember
12 correctly.

13 Q. Were those basically always based on an
14 average or did you ever have to physically weigh any
15 of the pots at that time being the Compass Rose?

16 A. No. We never really got around to weighing
17 each pot. It was usually manufacturer's weight and
18 then typically we would add about 50-pounds for the
19 lines and buoys on top of that.

20 Q. So you added the 50 pounds for the lines and
21 buoys or did the Master? So with that said --

22 A. We would have -- I think at that time we had
23 a standard 50 pound weight for the lines and buoys.

24 Q. So with that said, that would indicate that
25 the Master would then have said at that time, the pot

1 would have been 650 pounds?

2 A. That's correct.

3 MR. GILLETTE: Okay. Thank you.

4 Commander, I have no more questions.

5 CDR MULLER: Thank you, Mr. Gillette.

6 Mr. Karr, NTSB, do you have any questions?

7 MR. KARR: This is Michael Karr with the
8 NTSB. Just a couple of follow-up questions on the
9 original Compass Rose drawings.

10 DIRECT EXAMINATION

11 BY MR. KARR

12 Q. That chute you were describing, was it like
13 a duct?

14 A. Yeah. It would have been a duct. Bottom
15 would have been the main deck and then there would
16 have been a quarter inch plate sides and top.

17 Q. And did the original Compass Rose have a
18 wooden deck above that duct?

19 A. Yes. The boat would have had a wear deck on
20 top of that. I would assume that the planking would
21 have gone over the chute itself. So it was wood all
22 the way across. And then they would have had some
23 type of -- either that or the clean-out hatch would
24 have been flush to the wood deck or they would have
25 had a removal section of the gradings to access the

1 hatch.

2 Q. And how, on the original Compass Rose, how
3 was the discarded catch washed over the side?

4 A. I'm not sure how much discarded catch they
5 would have had.

6 Q. Back then?

7 A. Yeah.

8 Q. So back then maybe they kept everything they
9 caught, rather than --

10 A. Pretty much. But the scuppers or freeing
11 ports would have been large enough so that they would
12 have been above, the top of the openings would have
13 been above the wear deck, so they could have gotten
14 rid of anything they didn't want through those.

15 Q. So Mr. Parrott, a few minutes ago you talked
16 about the sample stability book saying it -- when
17 dealing with icing, it applies all of the time.

18 A. Uh-huh.

19 Q. All right. Well, in the regulations 28.550
20 Part 28, they specify a period of time for applying
21 the standard that was used in those -- in that
22 stability book, so can you just explain how you or
23 Jensen Marine applies this regulation?

24 A. That regulation states that there are
25 certain icing loads for various latitudes. There is

1 above a certain latitude, you have a certain amount of
2 icing, and then when you get to the Bering Sea or the
3 northern latitudes, you have more icing, that gets too
4 complicated. We felt that breaking it down into
5 separate icing loads for geographical locations is
6 just adding more complication to the stability booklet
7 that really isn't necessary. So we took the maximum
8 amount of icing loads and basically aware of the fact
9 that icing can occur at any time, that we gave them a
10 limit on -- so, we really don't give them a time limit
11 on icing conditions, and try to keep it up to the
12 Master to be aware of what the prevailing weather
13 conditions are.

14 Q. In conversation with fishing boat captains,
15 or have you had a conversation with anyone with regard
16 to when a vessel would be restricted in its pot
17 loading, specifically would someone say, I only need
18 to load this many pots between these dates specified
19 in the federal regulations?

20 A. No, I don't think I ever talked with anyone
21 about date limits.

22 Q. All right. Thanks. This might be a longer
23 question, or a longer answer. Can you describe the
24 services you provide the North Pacific Fishing Vessel
25 Owners' Association as a technical advisor?

1 A. Basically, I'm a nonvoting board member.
2 I'm there to kind of answer any questions they have on
3 technical aspects of fishing vessels' regulations,
4 just general information based on experience that I've
5 had with various types of boats. Sometimes I won't
6 say a thing in a meeting and sometimes they will ask
7 an opinion. So it's kind of just very general
8 assistance to the Board.

9 Q. Do you know of any Coast Guard guidance
10 regarding icing for vessel captains?

11 A. Not any specific other than the requirements
12 for the calculation for the weights. Calculation for
13 the amount of ice that goes on the boats.

14 Q. How about the North Pacific Fishing Vessel
15 Owners' Association, do they have any guidance?

16 A. Not that I'm aware of. They might -- I'm
17 not particularly intimately familiar with the training
18 they give the skippers. So they might mention that in
19 their training, but I'm not aware of anything
20 specific.

21 Q. Do you know of any processes that the Coast
22 Guard or the National Fishing Vessel Owners'
23 Association produced with regard to obtaining weather
24 forecasts and freezing spray forecasts?

25 A. No.

1 CDR MULLER: Excuse me. If you can just
2 speak a little closer to the mic, every mic's a little
3 bit different and that one I think you have to get a
4 little closer. Thank you and I apologize for
5 interrupting, Mr. Karr.

6 A. I am not aware of anything regarding
7 weather, how anyone develops the weather criteria or
8 weather predictions other than the weather service.
9 Most of the boats now have a tremendous amount of
10 electronics on it and weather faxes. Weather fax I
11 think is probably pretty old technology these days.

12 Q. How about are there any process for how to
13 process a freezing spray warning?

14 A. Not that I'm aware of.

15 Q. Can you tell me, you know, in your mind when
16 you have a heavy freezing spray warning and icing what
17 are the risks and hazards that the boat faces?

18 A. Well, ice can accumulate very quickly aboard
19 a boat especially depending on your direction of
20 heading and everything like that. I've seen some
21 pretty -- I've seen some pictures of some pretty
22 severe icing on some of these boats. It's very, in my
23 opinion, it's very unpredictable as to how the ice
24 will accumulate on a boat. And it's something the
25 skipper has got to be very much aware of.

1 I have no personal experience, since all of
2 my sea time is basically off of the east coast in
3 non-icing conditions.

4 Q. When you do the ice load calculation, you
5 know, vertical, horizontal, does that take into
6 account the stack of crab pots?

7 A. Yes. Typical our standard in the office is
8 to use the vessel profile as an ice load and then
9 calculate the ice load on the crab pots separately.
10 So we won't deduct -- typically what you have is ice
11 loads on the main deck and if we have a pot load on
12 top of that, then we will also include the horizontal
13 surface of the top tier of pots. And we always
14 calculate the ice loads for the maximum pot load. And
15 we don't reduce the pot icing load as we reduce the
16 pot loads?

17 So it stays the same weight and the same
18 center. So whether it's four tiers of pots or one
19 tier of pots it's the same ice load for the crab pots.

20 Q. And when you calculate the surface area, is
21 there any additional weight -- I mean, what if the
22 spray gets down into the lower tiers? How is that
23 accounted for?

24 A. We don't know -- the way we would account
25 for that is the fact that we still have icing on the

1 deck, on the boat, but as I said, the icing in crab
2 pots is very unpredictable. And you can get it all on
3 one side of the boat and not on the other. So it's
4 very difficult to calculate something like that.

5 MR. KARR: All right. Thank you,
6 Mr. Parrott.

7 CDR MULLER: Thank you, Mr. Karr.
8 Ms. Spivak, do you have any questions?

9 MS. SPIVAK: Just one question.

10 DIRECT EXAMINATION

11 BY MS. SPIVAK

12 Q. To clarify, as you sit here today you do not
13 know whether the fish holds on the Destination had
14 ventilation lines?

15 A. Could you repeat that?

16 Q. Yes. As you sit here today you do not know
17 whether the fish holds on the Destination had
18 ventilation lines?

19 A. No. We basically had no contact with the
20 boat after the original owner had the boat built. So
21 we have no knowledge of how she was setup after she
22 was sponsored.

23 MS. SPIVAK: All right. Thank you. That's
24 all I have.

25 CDR MULLER: Thank you.

1 THE COURT: So that concludes our questions,
2 Mr. Parrott. Before we conclude, are there any issues
3 that you feel the Board should consider that we did
4 not raise with these questions today?

5 THE WITNESS: No, I don't.

6 CDR MULLER: Okay. With that, again, thank
7 you for your time.

8 THE WITNESS: Thank you.

9 CDR MULLER: So, Mr. Parrott, you are now
10 released as a witness in this Marine Board of
11 Investigation. Thank you for your testimony and
12 cooperation. If I later determine that this Board
13 needs additional information from you, I will contact
14 you. If you have any questions about this
15 investigation, you may contact the Marine Board
16 Recorder, Lieutenant Commander Pedro Mendoza.

17 Thank you.

18 THE WITNESS: Thank you.

19 CDR MULLER: We will now take a 15-minute
20 recess and prepare for our next witness, telephonic
21 testimony from Mr. Tim Alls.

22 (Whereupon a brief recess was taken.)

23 CDR MULLER: Good morning, again. We will
24 now reconvene the hearing. Come to order.

25 We would like to call our next witness,

1 Mr. Tim Alls.

2 THE WITNESS: That is me. I'm available by
3 phone.

4 CDR MULLER: Thank you, Mr. Alls.

5 Lieutenant Commander Mendoza will now
6 administer your oath and ask you some preliminary
7 questions.

8 THE WITNESS: Okay.

9 LCDR MENDOZA: Sir, could you please stand
10 and raise your right hand.

11 THE WITNESS: Yes.

12 TIMOTHY ALLS,

13 A witness produced on call of the Coast
14 Guard, having first been duly sworn, was examined and
15 testified as follows:

16 LCDR MENDOZA: Please be seated.

17 Sir, could you please state your full name
18 and spell your last name for the record.

19 THE WITNESS: Timothy Craig Alls, A-L-L-S.

20 LCDR MENDOZA: Could you state your current
21 employment and position title.

22 THE WITNESS: I currently have a company
23 named Allseas Yachts, and I build expedition yachts
24 for a living.

25 LCDR MENDOZA: Do you hold any professional

1 licenses or certificates?

2 THE WITNESS: No, I hold no certificates.

3 LCDR MENDOZA: Thank you, sir.

4 CDR MULLER: Good morning, Mr. Alls. This
5 is Commander Scott Muller. I'm the Chair of the
6 Marine Board of Investigation.

7 So I will be leading off with some of
8 questions for you this morning.

9 THE WITNESS: Okay. I'm ready.

10 DIRECT EXAMINATION

11 BY CDR MULLER

12 Q. Okay. By way of background, Mr. Alls.
13 Again, welcome. Could you further describe the
14 present company you operate, the kind of projects it
15 conducts.

16 A. My specialty is steel construction in the
17 marine industry and so I currently build expedition
18 yachts that are steel up to the main deck level and
19 then aluminum super structure. And I've been doing
20 that for the last ten years.

21 Q. Can you describe the company you operated in
22 Seattle, Washington in the early 1980's including the
23 work and projects you performed with that company?

24 A. Back in the earlier days I operated as a
25 sole proprietor to a company that basically built

1 fishing boats from the ground up. My specialty was
2 metal work. I seldom got into any finished work. I
3 primarily just did metal work.

4 Q. Are you active in any professional
5 organizations? Have you worked with the Coast Guard
6 in the past, and if so, what capacity?

7 A. No. I have never worked with the Coast
8 Guard before or any other organization.

9 Q. Mr. Alls, as you're aware, we are here to
10 discuss the fishing vessel Destination. Can you tell
11 us when and how you first came to know the fishing
12 vessel Destination?

13 A. Honestly, I don't remember the timeframe on
14 it. I'm sure you guys do. It was a long time ago.
15 It was -- I had previously built a 58-foot for a
16 client and he came back with another project sometime
17 later, wanting to sponson the vessel Destination. So
18 we undertook the process of building a new stern and
19 then we were involved in cutting the boat in half,
20 putting the new stern on the back of the boat and
21 sponsoning the forward half.

22 Q. Mr. Alls, before we get into that in a
23 little bit more detail, I just wanted to setup a
24 little background. To date, the Board has not been
25 able to locate or obtain the drawings of the fishing

1 vessel Destination depicting the vessel's arrangement
2 post its 1993 modifications and sponsoning. Earlier
3 this morning some of my questions with the previous
4 witness focused on specific elements of the vessel's
5 drawings as originally constructed in 1981 as the
6 Compass Rose. As you were the ship builder during the
7 modifications in '93, my questions to you will be to
8 further explore and expand to better understand and
9 establish the scope, the extent of those modifications
10 and in particular any arrangements that the existing
11 fishing vessel Destination had.

12 A. Okay. What can I answer?

13 Q. Are you aware of any plans that were created
14 to support or reflect the work completed by your
15 company on the fishing vessel Destination?

16 A. I'm sure I had plans and drawing at the time
17 that I worked with, I just don't have them now. That
18 was too long ago and I didn't archive or save those
19 plans and drawings. The scope of my plans and
20 drawings were really about my work. It was about me
21 manufacturing a new stern, and how we were basically
22 going to bring the new stern in to fair with the
23 forward section of the boat.

24 So I didn't have anything to do with piping
25 arrangements or anything like that. Other contractors

1 did the piping. Other contractors did the shafting
2 and hydraulics. My scope of what I worked on and I
3 did have plans and drawings for it, was simply to
4 manufacture the shell for the boat.

5 Q. Okay. By way of reference, I would like to
6 show Exhibit 130, which is a copy of the fishing
7 vessel Destination's profile view post its 1993
8 modifications as found in the vessel's 1993 stability
9 information book.

10 Do you have that in front of you, sir?

11 A. Yes, I do. Go ahead.

12 Q. Do you recognize this drawing?

13 A. Looks familiar. It's not one of my
14 drawings. It looks like it was done by Rick Etsell.

15 Q. Did you assist in any way in developing or
16 drafting of these drawings?

17 A. I assisted in the construction of the shell
18 or the hull, but the final product, no. So partly,
19 yes. In other words, my scope, my end of this was to
20 manufacture a new stern that would fair into the
21 forward piece. But that's as far as I went with it.

22 Q. And by new stern, where did the new stern
23 begin, after which bulkhead?

24 A. Just after the aft engine room bulkhead.
25 The boat was sliced in half at that point in time, and

1 my new stern slid up to it, which basically gave them
2 new and bigger fish holds and lighter beams.

3 Q. Can you describe a little bit further the
4 type of drawings that you used in your manufacture of
5 that new stern section?

6 A. All I would have produced was lines
7 drawings. At that point in time, this is in the old
8 days. I didn't do C & C cut parts or anything like
9 that. We took the lines drawings, we generated a
10 table of offset and we built off of that.

11 Q. Can you describe table of offsets and the
12 lines drawings a little further. Let me ask you this
13 question --

14 A. When you talk about a lines drawing, it's
15 very basic. It's a top view that shows the chine
16 line, which is the lower break in the boat. The main
17 deck level, what is the width of the boat at the main
18 deck.

19 So you do that from the top view and then
20 you also do it from a side view, and we put the two
21 together and that generates three-dimensional points
22 that you work off of, that's called the table of
23 offsets.

24 Q. In terms of your developing that table, were
25 you provided -- well, first of all, who hired you for

1 this project?

2 A. Dave Wilson.

3 Q. So when you developed your lines of offsets
4 and your drawings, did Dave Wilson provide you with
5 any specific instructions or criteria, dimensions?

6 A. Well, of course he --

7 Q. What did he ask you to do?

8 A. -- the master contractor this particular
9 job, so he gave me the basic criteria of what he was
10 looking for. This is how wide I want the boat to be.
11 This is how long I want it to be. This is how much I
12 want my fish holds to hold. All of that information
13 came from Dave. I'm not a crabber, so I don't have
14 that kind of information.

15 Q. Did he provide you any specifications for
16 the arrangement on the main deck, in particular, the
17 tank overflow shoots?

18 A. No. Basically the portion that I was
19 working on was really from the main deck down. How
20 they did their piping arrangement, their overflows on
21 the main deck, their hatches, their winches, the
22 equipment that goes on the boat, that's all outside of
23 my expertise. I didn't have anything to do with that.

24 Q. So did your company install the hatches, for
25 example, or did Mr. Wilson get another company to

1 install them?

2 A. Well, I'm sure I manufactured the coamings.
3 I don't recall if I actually did the hatches or not.
4 The coamings would be referring to the portion that
5 sticks from the main deck up. I'm sure I built that.
6 That would have been fabricated into the hull. The
7 actual hatches, it was too long ago. I don't recall
8 if I did the hatches or if Doug Bower did the hatches.
9 He was assisting Dave with a lot of the finish work as
10 well.

11 Q. So the modifications, the drawings that he
12 developed, did you reference any existing vessel plans
13 and did the modifications that you drew, were they
14 consistent with those arrangements and existing plans?

15 A. I'm not sure if I completely understand your
16 question. But basically, we work off of either the
17 existing plans or I would have measured the boat
18 directly. And I'm not sure which way it was. It was
19 too long ago. In other words, this particular job you
20 take the existing lines and you stretch them out and
21 that is the way you develop the new hull structure
22 that you're installing.

23 It's like a continuation of the old lines.
24 In this case we were simply making the boat longer,
25 wider, but it was following the same lines as the

1 original design.

2 Does that answer your question?

3 Q. Yes, sir.

4 I would like to turn now to Exhibit 199,
5 page 31. It is a copy of the fishing vessel
6 Destination as originally constructed as the Compass
7 Rose.

8 A. 199 and what page?

9 Q. Thirty-one.

10 So again, I'm referencing the original line
11 drawings or schematic of the vessel as it was built in
12 '81 as the Compass Rose. So my intent here, I'm
13 trying to gather, because we still don't have actual
14 drawings of the fishing vessel Destination post its
15 modifications in '93, I'm trying to use the existing
16 plans, the original plans, as a reference point. And
17 trying to determine as accurately as possible what
18 changes may have been conducted to the vessel during
19 the '93 modifications.

20 A. Okay. So exactly what is your question.

21 Q. So looking at this profile view of the
22 Compass Rose, do you observe any freeing ports?

23 A. Yes. Are you talking about the scuppers on
24 the side of the boat?

25 Q. Okay. How many are there?

1 A. Hold on.

2 (pause)

3 A. Five freeing ports.

4 BY CDR MULLER

5 Q. Okay. Do you recall in your drawings and in
6 your modification work if you installed those freeing
7 ports to meet any aggregate clear air standards, and
8 if so, what was that standard and did you generate
9 calculations to demonstrate compliance?

10 A. Honestly I couldn't tell you without the
11 plans and drawings what we did for freeing ports. I
12 can't even tell you if the freeing port arrangement
13 came from me or if it came from Dave Wilson.

14 We tend to rely on the experience of the
15 operators of the boat to give us freeing port
16 information like that. We also rely on a surveyor to
17 come back and look at the boat and give us damage
18 stability or incline tests or other type of approvals
19 that are outside of my knowledge and my range. I'm
20 not a designer in the sense of a naval architect.

21 I am a structural steel builder. So I can
22 put lines and drawings on a piece of paper, but I rely
23 on other folks to do that kind of calculation and that
24 kind of work. That's not my expertise.

25 Q. Okay. I would like to now turn to Exhibit

1 199, page 32, which depicts the hold and hatch cover
2 arrangement. Again, this is from the Compass Rose.
3 Looking specifically at the hold and hatch cover
4 arrangement, do you recall if the tank overflows --
5 I'm sorry, excuse me. Do you recall if the hatches
6 installed at the time of the modifications were
7 arranged in a similar fashion?

8 A. I believe they were similar, yes.

9 Q. Were those access hatch covers, the loading
10 covers, manhole covers if you will, do you recall if
11 they were installed centerline?

12 A. If it was me doing it, I typically do them
13 on the centerline. It's been so long ago, I couldn't
14 tell you. Again, I always refer to the fishermen in
15 this particular situation as to how he wants the
16 arrangements done. I build to their specification as
17 to the final product.

18 So if Dave told me to put them on the side,
19 I would have put them on the side. If Dave told me to
20 put them on the centerline, I would have put them on
21 the centerline.

22 Q. Okay. Very well. Turning next now to
23 Exhibit 199, page 27, which depicts the tank overflow
24 arrangements.

25 I'm looking specifically at the bottom left.

1 A. Sorry. Which page number?

2 Q. Twenty-seven.

3 A. Twenty-seven. Okay. Go ahead.

4 Q. Okay. Looking at these drawings my
5 observation on the bottom left you see three hatches.
6 Those were are overflows and each hatch has its own
7 overflow chute. Would you agree?

8 A. That's the way it looks on the drawing, yes.

9 Q. Did you install any overflow shoots during
10 your modifications, and if so, would it have been
11 similar to that arrangement?

12 A. I did not install any overboard shoots.
13 The -- I think it was Doug Bower was there on the job,
14 was doing recirculation if I recall correctly. I
15 honestly, I don't remember all of the contractors, but
16 this would be typical for bend boards, final fishing
17 operations. That's not what I do. I don't think I
18 did this. And I don't remember them being installed
19 on the boat.

20 Q. Okay. Moving now on to page 35. Which
21 depicts the sea water hold piping system. I believe
22 you answered this one for us, but I want to double
23 check. Did your company install the sea water piping
24 system?

25 A. (Inaudible response.)

1 Q. Can you repeat that, sir?

2 A. I don't think we did the sea water
3 recirculation system. If I remember correctly we were
4 up against a very slim timeline and my company was
5 focused on the hull and the structural and trying to
6 get this boat put back together so they could go
7 fishing. So there were many other contractors down
8 there working on the boat so we could achieve that
9 goal.

10 Q. Did your company install the compulsion
11 shaft?

12 A. No, we did not.

13 CDR MULLER: Okay. This concludes my line
14 of questions for you, Mr. Alls.

15 Now I turn to the other Board members for
16 any further questions.

17 Mr. Gillette?

18 MR. GILLETTE: Thank you, Commander.

19 Good morning, Mr. Alls. My name is James
20 Gillette with the United States Coast Guard.

21 THE WITNESS: Good morning.

22 DIRECT EXAMINATION

23 BY MR. GILLETTE

24 Q. I just have one question and it refers to
25 time. How long did it take you to sponson the boat?

1 A. If I remember correctly, it was about a six
2 week job to do the final sponsoning on the boat. But
3 we took almost nine month previous to that to
4 manufacture the new stern. So he fished the boat. We
5 manufactured the stern.

6 When he was done with the season, he brought
7 it back in. They hauled it out of the water. We cut
8 it in half. And I think it was less than two months
9 turn-around time, and the boat was gone.

10 Q. You said that you didn't do any of the
11 arrangements. When you were sponsoning the boat did
12 you have to cut out any of the piping or anything
13 along the lines of that?

14 A. No. Basically, we cut the boat in half at
15 the engine room bulkhead. So there was nothing left
16 from the engine room bulkhead back. So from there
17 forward all of that piping was getting replaced after
18 the boat was sponsoned.

19 Q. Were the hold sizes, did they get increased?

20 A. I'm sorry. Can you state that question
21 again?

22 Q. Yes. Did the hold tanks, was the sizes of
23 those tanks, were they increased?

24 A. Yes, they were.

25 Q. Can you share with us how much they were

1 increased?

2 A. I have no idea. I'm sorry, that was too
3 long ago.

4 MR. GILLETTE: Okay. Thank you, Mr. Alls.
5 Commander, that's all of the questions I
6 have.

7 CDR MULLER: Thank you, Mr. Gillette.
8 NTSB, Mr. Karr?

9 MR. KARR: I have none.

10 CDR MULLER: Thank you.

11 Ms. Spivak?

12 MS. SPIVAK: None.

13 CDR MULLER: I have no further questions.

14 Mr. Alls, before we conclude, is there any
15 other elements that you feel the Board should
16 consider, perhaps anything that we might have missed
17 in this segment with you today?

18 THE WITNESS: No. I'm sure you guys are
19 considering every possible angle on this, you know. I
20 have never seen a steel boat come apart before. So to
21 me, this is a roll-over situation, but, you know,
22 that's just speculation.

23 If I can answer any more questions about the
24 sponsoning of the boat, give me a call. I will be
25 happy to tell you what I know.

1 CDR MULLER: Thank you, Mr. Alls.

2 THE WITNESS: You're welcome.

3 CDR MULLER: So you are now released as a
4 witness at this Marine Board of Investigation. Thank
5 you for your testimony and cooperation. If I later
6 determine that this Board needs additional information
7 from you, I will contact you. If you have any
8 questions about this investigation, you may contact
9 the Marine Board Recorder, Lieutenant Commander Pedro
10 Mendoza. Thank you, sir. Good day.

11 Okay. The Board would like to now call its
12 next witness, Mr. Etsell.

13 Lieutenant Commander Mendoza will administer
14 your oath and ask you some preliminary questions.

15 LCDR MENDOZA: Please raise your right hand.

16 RICHARD ETSSELL,

17 A witness produced on call of the Coast
18 Guard, having first been duly sworn, was examined and
19 testified as follows:

20 LCDR MENDOZA: Please be seated.

21 Sir, please state your full name and spell
22 your last name for the record.

23 THE WITNESS: My full name is Richard
24 Etsell. Last name is E-T-S-E-L-L.

25 LCDR MENDOZA: Please state your current

1 employment and position title, sir.

2 THE WITNESS: I am self-employed, naval
3 architect.

4 LCDR MENDOZA: Do you hold any professional
5 licenses or certificates?

6 THE WITNESS: I do. I'm a licensed
7 professional engineer state of Washington in naval
8 architecture and marine engineering. I also hold a
9 two hundred ton Coast Guard masters license.

10 LCDR MENDOZA: Thank you, sir.

11 CDR MULLER: Mr. Etsell, welcome. Good
12 morning.

13 THE WITNESS: Good morning.

14 DIRECT EXAMINATION

15 BY CDR MULLER

16 Q. Pleasure to meet you in person. I know we
17 chatted a few times. I'm glad to see you were able to
18 appear in person because just recently you were
19 underway chartering one of your yachts; correct?

20 A. That's right. It was not a charter, but...

21 Q. You were operating the boat; right?

22 A. Yeah, uh-huh. I'm glad to be here in
23 person.

24 Q. If you can further describe your present
25 company that you operate.

1 A. Well, I've been in private practice as a
2 naval architect since about 1988. And I have worked
3 over the years with a variety of craft and came to
4 specialize in small passenger vessel designs and then
5 classic and vintage historic vessel restorations. I'm
6 currently semi-retired from the practice and currently
7 doing primarily the yacht captaining.

8 Q. Do you have any -- are you active in any
9 professional organizations? Have you worked with the
10 Coast Guard in the past, and if so, in what capacity?

11 A. Society of Naval Architects and Marine
12 Engineers and that sort of thing and have not worked
13 directly with Coast Guard. I've submitted plans, plan
14 reviews for small passenger vessels, that sort of
15 thing.

16 Q. As you're aware, we are here to discuss the
17 fishing vessel Destination. Can you tell us when and
18 how you first came to know the fishing vessel
19 Destination?

20 A. Well, it was a long time ago. I don't
21 remember a lot of the details. I recall that the
22 vessel was already under construction. The new stern
23 section was already under construction. I believe
24 there was another naval architect that had done some
25 preliminary work on the project and I don't recall if

1 he had to stop work on it for some reason or another,
2 but I was called in to help out. And so the task was
3 going to be to do the trim stability following the
4 reconfiguration of the vessel, and also tonnage -
5 recalculate the tonnage for the new vessel?

6 And so I do recall going down to Mr. Alls'
7 business and measuring up the hull, and he had already
8 started construction on it. I spent quite a bit of
9 time just tape measuring and going through and laying
10 out notes and plans for developing my own drawings.

11 Q. Were you specifically approached by
12 Mr. Wilson? Hired?

13 A. You know, I don't remember exactly. I don't
14 remember if I met Mr. Wilson directly or not. I must
15 have. I think I talked to him on the phone and that
16 was how I got involved, originally. But I just don't
17 really remember the details.

18 Q. So when you accepted the project, was there
19 any specific tasking or instructions by Mr. Wilson or
20 any other individual specifically that directed you to
21 accomplish certain tasks?

22 A. Well, again, I don't remember, you know, a
23 lot of details of the conversation or whatnot. I just
24 know that what I ended up doing was to prepare a lines
25 plan for use in stability and do an inclining test and

1 stability report for the vessel. And also to do a
2 tonnage plan to submit for recalculating tonnage.

3 So I can only presume that we talked about
4 that on the phone and he told me what it was he was
5 doing.

6 Q. Okay. I would like to now turn to Exhibit
7 7, the Trim and Stability book for the fishing vessel
8 Destination dated October 1993.

9 (Witness complies.)

10 BY CDR MULLER

11 Q. So looking at Exhibit 7 -- it should also be
12 in the binder in front of you, sir. Page 1, cover
13 page, do you recognize this document?

14 Who generated this document?

15 A. Yes, I do.

16 Q. What is the purpose and intent of this
17 document?

18 A. It's to report on the trim and stability of
19 the fishing vessel Destination following the
20 modifications that were done in 1993.

21 Q. When generating this document, did you
22 create it to confirm to any particular standard or
23 available guidance? If so, please describe?

24 A. Well, I used a variety of guidance. The
25 C.F.R. Part 28 for uninspected fishing vessels was

1 certainly one of them. The format of the report is
2 really my own standard.

3 Q. Did you conduct any stability information
4 booklets for fishing vessels before you did the
5 fishing vessel Destination's? If so, can you give us
6 at least a ballpark figure of how many for how long?

7 A. Yeah, fishing vessels -- well, first of all
8 I graduated in 1980 and went to work for a small -- or
9 a medium sized shipyard, Tacoma Boat Building, had
10 Military and Navy contracts, and I was in charge of
11 weight control and stability for those projects.

12 And then around 1986 I went to work for an
13 independent naval architect named Ted Drake, who was
14 primarily concerned with fishing vessels. Most of his
15 work was fishing vessels. And at that time he had a
16 lot of fishing vessel stability jobs in the works.
17 And I worked exclusively on fishing vessel stability
18 for several years there. And I probably did 20 fish
19 boat stability projects there. And then went out on
20 my own in 1988 and did a number of fish boats. I
21 don't know how many, but maybe three or four on my
22 own.

23 Q. Okay. So let's turn now to Exhibit 7, page
24 2. This is the table of contents. Using this table
25 of contents, can you briefly describe the main

1 sections of the stability information book?

2 A. Well, it's divided into six sections. The
3 first part I labeled discussion, and that's where most
4 of the information that was -- that I considered
5 relevant to the Master of the vessel was contained.
6 And the second part was loading examples that showed
7 more of the specific loadings that were example
8 loadings of carrying crab pots and the different
9 configurations of consumables.

10 Part three was the more technical data, the
11 inclining test data, lightship calculations. Most of
12 these were kind of for the record. There's a record
13 there of the hull envelope, the points that were used
14 to determine the buoyant hull form. And then in part
15 4, supporting data, where I had more detail.
16 Particulars of loading also included tank capacities
17 and sounding tables, and hydrostatic properties.

18 These are all static tables and numbers.
19 Part 5 was an excerpt from stability of fishing
20 vessels from the North Pacific Fishing Vessel Owners'
21 Association's document. They had a book for guidance
22 for fishing vessel owners and I excerpted the entire
23 stability section of that book.

24 And part 6 is a stability letter that was
25 posted for posting onboard the boat as well.

1 Q. Now if we can turn now to exhibit page 4 and
2 5, introduction.

3 Can you briefly summarize what's provided in
4 the introduction section. What's the intent, and how
5 would you expect the Master to utilize that
6 information?

7 A. Well, the introduction is just stating that
8 the vessel was inclined on October 17, 1993, and that
9 the lightship particulars had been determined. And
10 that trim and stability characteristics had been
11 computed for the vessel.

12 It also had caution in there that if the
13 vessel's services changed or if the vessel is modified
14 that the report becomes invalid. And listed the
15 standard for uninspected commercial fishing industry
16 vessels of 46 C.F.R. Part 28. And that was used as a
17 basis for the standards in the report.

18 There was also a note there that the
19 regulations actually require owners to have stability
20 checked whenever substantial alterations are made.
21 And so I pointed out that I included a table there for
22 keeping track of such changes.

23 Q. If you would, it appears that the last
24 sentence in that paragraph is underlined. Presumably
25 you might have underlined it to add emphasis. Would

1 you agree with that statement?

2 A. Yes.

3 Q. Okay. Would you mind reading that last
4 sentence.

5 A. The owner is responsible for complying with
6 the stability regulations, and must keep track of
7 changes made to the vessel so that the applicable
8 calculations can be made if the, quote, "substantial
9 alteration," unquote, limits are exceeded.

10 Q. Okay. Now, looking at the next section on
11 this page that also continues onto page 5, under
12 instructions. Can you please explain the purpose and
13 use of a center of gravity mark, and how weights added
14 above or below this mark can affect stability.

15 A. Well, yeah, the center of gravity is a
16 culmination of all of the weights on the vessel and
17 can be represented by a single point on the vessel.
18 And so on the loading diagrams, I would typically put
19 a center of gravity mark. And it's important because
20 the stability is affected by any weight changes above
21 or below that mark.

22 And the point I made here was that
23 continuing onto the next page, if additional weight is
24 placed above the center of gravity mark, that's bad
25 for stability. That impacts stability. If it's

1 placed below stability [sic], it can generally improve
2 stability. And just for operators to be aware of that
3 fact.

4 Q. Okay. If we can turn now to Exhibit 7, page
5 7, which depicts the vessel's profile & arrangement.

6 So who created this drawing, what steps and
7 processes were taken to create it?

8 A. I created it and I used the Jensen drawings
9 as a basis for part of it from the measurements that I
10 took, Tim Alls' job, altered it and made it into the
11 as modified version.

12 Q. Other than this general profile drawing, did
13 you create other drawings such as hatch cover
14 arrangement plans, tank overflow drawings, et cetera?

15 A. No.

16 Q. We can turn now to Exhibit 7, page 8, the
17 crab pot and other deck loads table.

18 If you could, please describe how a vessel
19 Master would utilize and apply its criteria.

20 A. Well, it's a table showing the -- there's a
21 column called "Holds Tanked," and there's a list down
22 there that was the options that could exist. Either
23 one -- tank number one tanked; tank number two tanked;
24 tank number three tanked; or one and two; one and
25 three; two and three; or all three tanked.

1 And then there is a -- going across, it
2 gives a list of how many pots would be allowed under
3 that condition, and during summer and during winter.

4 So during winter being if icing conditions
5 are expected, there's fewer pots, if necessary, but in
6 summer, it would be without icing conditions. And it
7 shows how many pots and how many tiers could be loaded
8 during those conditions.

9 Q. How did you come about in creating this
10 table in this particular format? Was it influenced or
11 informed by the vessel owner or Master or other
12 guidance?

13 A. I don't think it was necessarily influenced
14 by the owner except that I was -- I do remember was
15 that their normal operation was with two holds tanked,
16 but generally just try and covering, covering the
17 extremes. Some of these conditions -- most of these
18 conditions are with 100 percent fuel and water. And
19 them some of them are also with 10 percent and those
20 conditions are to show differences in the loading of
21 the boat consumables-wise. But basically just trying
22 to bracket as much as possible the possible conditions
23 that might be seen.

24 Q. I know you already introduced the concept of
25 the two columns, the summer and winter. I just want

1 to readdress that a little bit. Can you describe
2 under what circumstances as author of the Stability
3 Table, you would expect the vessel Master or the
4 Captain when using this table would apply or follow
5 either column, specifically winter, the winter column.

6 A. Yeah, well, winter would be whenever icing
7 is expected and that north Pacific fisheries, they
8 generally know when they're going to be expecting
9 icing or not and can plan accordingly.

10 Q. So would you expect a vessel Captain to
11 apply the winter column criteria throughout the winter
12 months during all voyages? Or is it dependent on the
13 forecasted or prevailing icing conditions?

14 A. It would be his call. It would be a
15 judgment call based on the forecast. It might not
16 even be though winter months. It could be other times
17 as well. But no, not necessarily. They could use the
18 higher pot numbers if the conditions were such that
19 they didn't expect any icing.

20 Q. Does the table indicate the assumed size and
21 weight of the crab pots used to calculate the
22 permitted number of pots allowed per loaded condition?

23 A. No, this table does not.

24 Q. Is the assumed size and weight of the pots
25 otherwise indicated in the stability book?

1 A. I don't believe it is in this book. The
2 total weight is just given for total loads of pots.

3 Q. So how does one -- how did you calculate the
4 total weight? Were you aware of the weight of each
5 pot when you conducted these calculations?

6 A. Oh, yes. Yeah. I was told by the owner --
7 well, by the operator the weight of the pots. And
8 that's the weight that I used.

9 Q. I'm sorry did you say owner?

10 A. No. Operator.

11 Q. The operator, the vessel Master?

12 A. Right.

13 I don't remember who that was. But on the
14 vessel during the inclining test, we spoke about all
15 of the those sorts of things and I was told the size
16 and weight of the pots.

17 Q. Did you take any steps to calibrate, verify,
18 confirm the weight of the pot information he was
19 providing you?

20 A. No. No, I didn't.

21 Q. Okay. Let's turn now to exhibit page 9.
22 The second paragraph has text regarding summer and
23 winter conditions. Can you expand on the statement
24 whenever icing conditions may be anticipated and when
25 you would expect fishing vessels Masters to apply the

1 icing conditions?

2 A. Well, whenever icing conditions may be
3 anticipated. Kind of self-explanatory.

4 Q. So the term anticipated, what is your
5 expectation of a Master? What's the range of
6 anticipate? Is it in terms of timing, short-term,
7 long-term, matter of minutes, hours, days?

8 A. Well, it's before leaving port. It's when
9 leaving port with how many pots they have onboard.
10 They know the conditions and what time of year and
11 whether or not to expect icing. They needed to plan
12 on using the winter condition tables.

13 Q. Okay. Still on page 9, but also now
14 continuing onto page 10. The section entitled icing
15 conditions. In there it mentions ice buildup used on
16 this report is in accordance with U.S. Coast Guard
17 regulations for operation in the Bering Sea 1.3 inches
18 on all horizontal surfaces and 0.65 inches on all
19 vertical surfaces.

20 Do you concur with that statement there?

21 A. Yes, uh-huh.

22 Q. Okay. Can you explain why the 1.3 and the
23 0.65 inches was utilized in this report?

24 A. Well, as it says, it's in accordance with
25 the Coast Guard regulation for uninspected fishing

1 vessels. That was the standard that was to be
2 applied.

3 Q. For the record, if you would, can you read
4 the second sentence in that paragraph?

5 A. Yes. Larger accumulations can occur however
6 and all icing situations should be treated seriously.

7 Q. So in accordance with this paragraph, does
8 it provide measures or precautions or steps for the
9 Master regarding icing conditions?

10 A. Well, it goes on to say possible actions to
11 take to reduce ice buildup are a change in speed or
12 heading to reduce spray and physical removal of the
13 ice.

14 Q. I'd like to, for the record, specifically,
15 add the first paragraph on page 10. Would you mind
16 reading that for us?

17 A. Sure. "In the event of heavy icing, extreme
18 caution must be used when deciding whether to turn
19 away from the wind and run with the seas to avoid
20 further ice buildup. The already top-heavy vessel
21 will then be exposed to beam seas and heeling inertias
22 during the turn, and then following seas after the
23 turn. The following seas will not pass as quickly as
24 head seas, leaving the vessel perched on wave crests
25 at times, causing a potentially serious reduction in

1 stability. (See page 5-14 concerning the effects of
2 following seas.)"

3 Q. And again, section 5, according to the table
4 of contents was stability of fishing vessels?

5 A. Right.

6 Q. Information I believe you referred to the
7 North Pacific Fishing Vessel Owners' Association
8 Guidebook; is that right?

9 A. That's right.

10 Q. A little further down on page 10 is a
11 discussion on down-flooding.

12 A. Yes.

13 Q. There's a discussion that indicates flooding
14 angles of 80 to 90 of heel that the engine room vents
15 in the stack. Assuming all watertight doors and
16 hatches are secured. Does your stability book
17 indicate the down-flooding angles at the hatch covers
18 and hatch loading covers?

19 A. No. Because they were considered
20 watertight.

21 Q. Also on page ten under Water On Deck, please
22 describe the section regarding freeing port size and
23 number. How did you establish this determination and
24 do you have supporting calculations? Are those
25 calculations provided in the stability book.

1 A. The calculations were not included in the
2 stability book, I don't believe, but I did them
3 separately and then drew them on the plans accordingly
4 that they used for building the freeing ports.

5 But they came from 46 C.F.R. 28.555 and
6 there's an actual formula there for determining the
7 appropriate sizes.

8 Q. So when you drew the plans, the freeing
9 ports that you depicted on the profile view was an
10 accurate ratio to the plans?

11 A. Yes. It was scale.

12 Q. Also on page 10, under Beam Winds and
13 Rolling. Please describe the mentioned adverse
14 effects on the vessel, and how you would expect the
15 Master to compensate.

16 A. Well, beam winds can affect rolling if they
17 become synchronous, in other words, the frequency of
18 the waves gets close to the natural frequency roll of
19 the vessel then each subsequent roll can get greater
20 and greater and lead to extreme rolling, very large
21 angles. Masters, any vessel Master is certainly aware
22 of this effect. The correction is to, in those
23 situations is to change your course and either take
24 them on the stern quarter or into them more to change
25 the frequency that the waves are hitting and reduce

1 that rolling.

2 Q. If we can now turn to page 11 of the
3 exhibit. This includes a paragraph entitled,
4 Responsibility Of Master. For the record, could you
5 read that section, sir?

6 A. Yes. "These recommendations and
7 instructions should ensure adequate stability under
8 normal conditions. They are not, however, intended to
9 override the judgment of the Master who must use every
10 means at his disposal to ensure that the stability of
11 the vessel is adequate to meet the sea and weather
12 conditions encountered."

13 Q. Okay. Noting that in the first sentence the
14 word "normal conditions" is used.

15 A. Uh-huh.

16 Q. As the naval architect and author of the
17 stability book, can you describe situations in which
18 that would not be considered as normal conditions.

19 A. Well, there's -- lots of situations would
20 not be normal, such as damage to the vessel, equipment
21 failures, you know, any breaches in the hull or
22 flooding, collisions, groundings, you know, all sorts
23 of things.

24 Q. Okay. Now let's turn to Part 2, loading
25 examples. This is exhibit pages 13 and 14.

1 Do you recall why you chose to depict these
2 particular loading conditions and pot load sketches?

3 A. Well, it's 200 pots. I was told that's how
4 many pots that they carried. And that's what they
5 liked to carry and so I chose it for that reason.

6 Q. On this page, the sketch of the vessel's
7 loading conditions, specifically looking at the tiers,
8 how many tiers of crab pots were depicted on that
9 picture?

10 A. Four.

11 Q. Can we turn to the next page. Should be
12 page 14. This is a picture of condition number 3:
13 Full consumables, full pot load, two holds tanked.

14 Which holds are tanked in this depiction?

15 A. Number one and number two.

16 Q. And how many tiers are depicted on the
17 loading condition?

18 A. There are four.

19 Q. And according to the information on the
20 page, how many total pots in this condition?

21 A. Two hundred.

22 Q. I'd like to just point your attention down
23 to the bottom of the page comment section. It says
24 the maximum pot limits for this loading condition are
25 as follows: Holds one and two full.

1 Can you read the criteria, the pot limit for
2 summer and winter?

3 A. Yeah. For holds number one and two full,
4 249 pots and five tiers in summer. And 224 pots and
5 five tiers for winter.

6 Q. Okay. So under that condition, you have
7 over 200 pots at five tiers, summer and winter;
8 correct?

9 A. Yes.

10 Q. But the picture that's depicted on top shows
11 four tiers. Do you have a similar depiction in the
12 stability book that represents five tiers?

13 A. No.

14 Q. Okay. I'd like now to turn to Part 3,
15 Inclining Test Data and lightship Condition, exhibit,
16 page 24. Would you describe the intent and purpose of
17 this page, its discussion on tracking changes to the
18 lightship condition. That is, what are your
19 expectations for the vessel owner and/or Master in
20 applying and maintaining this table?

21 A. Well, this table was an attempt to make it
22 easier for the operator or the owner to keep track of
23 the small changes that are made to the vessel so that
24 they could tell when the accumulation of changes were
25 large enough to warrant requiring new stability

1 checks.

2 So typically, this would be for switching
3 out equipment, adding heavier engines or making
4 certain changes to the boat, putting on a heavier boom
5 or, you know, whatever kinds of changes they might
6 make that in and of themselves are not considered
7 substantial, but when they tally up and are all added
8 together they become significant.

9 Q. So the term lightship, what does that refer
10 to?

11 A. That's the vessel with no consumables, no
12 product, no crab pots, none of the removable items,
13 consumable liquids, provisions, but it does have spare
14 parts and oil in the engines and that sort of thing,
15 but otherwise it's the bare boat.

16 Q. So on this page in the stability book, would
17 you expect the vessel owner or Master to log and track
18 changes in pot, buoy, and line weight?

19 A. No, I don't think that's the intention of
20 this. That's another issue because those are not
21 concerned part of lightship.

22 Q. Would changes in pot weight, pot gear, would
23 that affect vertical center of gravity?

24 A. Certainly.

25 Q. So if you would, I'm referring to the

1 paragraph discussing vertical center of gravity, VCG.
2 Raised 2 inches or more. Could you read that
3 paragraph for us, please?

4 A. "Vertical center of gravity, VCG, raised 2
5 inches or more, for Destination the lightship VCG is
6 15.03 feet. An example of the amount of weight that
7 would raise the ship's VCG 2 inches would be the
8 removal of 10,000 pounds at the height of the engine
9 room grading."

10 Q. Can you describe in more detail the location
11 of the engine room grading? Is this essentially the
12 working deck of the engine room? What is the engine
13 room grading?

14 A. Yeah, that would be the working deck in the
15 engine room.

16 Q. So I notice you included an example there to
17 illustrate a change in VCG. And your example, it
18 would be a situation where it actually would decrease;
19 right? By removing 10,000 pounds?

20 A. No, that increases the VCG. That shows that
21 by removing 10,000 pounds at a low level in the
22 vessel, that increases the VCG.

23 Q. Okay. Conversely speaking, broadly
24 speaking, and obviously I'm not asking you to do the
25 specific math here, but broadly speaking, so that's

1 removing weight toward -- at the bottom of the vessel;
2 right?

3 Examine the converse situation where we add
4 a similar type of weight, but higher above the vessel,
5 call it at the main deck, call it above the main deck,
6 what effect on VCG would that kind of scenario
7 produce?

8 A. It would also raise the VCG?

9 You say adding weight, adding high up?

10 Q. Yes.

11 A. Yeah. Removing weight down low or adding
12 weight high up would have the same effect on VCG.

13 Q. Just to confirm, would adding weight to crab
14 pots increase the VCG?

15 A. Certainly. Yeah. They are definitely above
16 the center of gravity.

17 Q. Would you expect, without doing the math,
18 broadly speaking 10,000 pounds of added pot weight to
19 increase the VCG by 2 inches?

20 A. I can't say. I would have to do the math.

21 Q. That's fair. Understood. Okay.

22 A. But, again, just crab pots are not part of
23 the lightship weight. This was, the intent is to keep
24 track of the vessel itself. Any change in the pot
25 weight would be cause for redoing the stability. This

1 is all based on a certain pot weight. And that's what
2 I was told. This is the pot weight that they've
3 always used. This is the pot weight they have, and it
4 was 650 pounds, plus 50-pounds of weight and gear
5 inside and 700 pound pot weight.

6 I think the change in pots would constitute
7 a change in the vessel's service basically. A change
8 in the vessel's pot weight would be a change in the
9 vessel's service.

10 Q. Okay. Let's move now on to Part 5.
11 Stability of fishing vessels. Looking at page 51.
12 And we also have copies in that binder next to you.

13 If you could, please describe the intent of
14 this section. That is, why you included it in the
15 Stability Book, and the guidance you drew from when
16 crafting this part.

17 A. Well, I thought at the time, while I still
18 do, that the chapter on stability of fishing vessels
19 in and this manual the Fishing Vessel Owners'
20 Association put out is a very clear illustration of
21 stability and how various factors affect the stability
22 of the boat. And it's designed to be very readable
23 for vessel Masters. It's not for naval architects.
24 It's for people who are actually running the boat and
25 loading the boat.

1 And I thought it was a very clear
2 presentation. And so just in the interest of helping
3 to understand what all of this is about, I excerpted
4 the entire chapter into my reports.

5 Q. Turning to page 59, there is a paragraph
6 there on effect of icing. How would you expect the
7 vessel Master to implement the intent and advice
8 mentioned in this section?

9 A. Well, I guess I'm not really sure what
10 you're asking. How? I would just expect him to read
11 it and to understand the effect of icing, so that he's
12 aware of what happens when ice builds up on a vessel.

13 Q. And as I mention that question, I also
14 realize that we almost addressed that earlier as part
15 of your introduction section to the Stability Book; is
16 that --

17 A. Yes. Uh-huh.

18 Q. Nonetheless, I'm still trying to get for the
19 record that Part 5 has these sections in it. So let's
20 take a look at page 60. This has a paragraph on the
21 effects of down-flooding.

22 A. Yes.

23 Q. My question to you, I guess, if one were to
24 read this section, would you, could they draw the
25 conclusion that an open loading hatch for a hold or

1 access to the storage hold constituted nonconformance
2 to the intent and advice of this section?

3 A. Yes, I would say that.

4 Q. If we can turn now to page 63. Page 63 is
5 the Stability Letter issued to the fishing vessel
6 Destination on 27 October 1993. Of course, do you
7 recognize this document?

8 A. Yes.

9 Q. Can you describe its purpose and summarize
10 its key elements?

11 A. Well, its purpose is to make basically a
12 certificate that would state that the stability had
13 been checked, and I would always provide a laminated
14 copy as well to be posted onboard the vessel and
15 recommend that it be posted onboard the vessel. And
16 it points out that anyone who is operating a vessel
17 should have familiarity with the Stability Report
18 prior to operating. And then has some general
19 precautions as standards of keeping cross connections
20 closed and emptying holds, various things like that.
21 And pointing out that there is a maximum number of
22 crab pots that can be carried and that information is
23 in the stability report.

24 Q. Final question: How often do crabber
25 fishing vessels owners or operators interact with the

1 naval architect who produces the stability book. Is
2 it a regular basis? Maybe what I'm trying to ask is
3 at what point would you expect to hear a call back
4 from a previous customer from a fishing vessel
5 crabber, and I'm just wondering how much they engage
6 with the naval architects.

7 A. Yeah. You know it varies a lot. It depends
8 on the particular owner and their operation. I have
9 had some clients who are kind of regulars and they
10 contact me on a regular basis because they want to put
11 a new crane on or they want to do something different
12 and they want to know if that's okay and that kind of
13 thing. And so some of them I've been -- I've had
14 clients that I've had for years who have come back to
15 me on a regular basis. Others I never hear from them
16 again.

17 It's probably more common that you just
18 don't hear from them again until or unless they do
19 something serious to the boat, they're gonna -- like
20 they sponson it and something. They want to do
21 something major, but...

22 CDR MULLER: Thank you. That concludes my
23 additional round of questions. I'd like to now turn
24 to the Board members for their questions.

25 Mr. Gillette?

1 MR. GILLETTE: Thank you, Commander.

2 Good morning, Mr. Etsell. My name is James
3 Gillette with the United States Coast Guard.

4 THE WITNESS: Good morning.

5 DIRECT EXAMINATION

6 BY MR. GILLETTE:

7 Q. I would like to go to Exhibit 7, page 13.

8 This is kind of follow up to some of the
9 questions that the Commander was asking. First, I'd
10 like to ask, you said that an operator told you that
11 they carried 200 pots. Do you remember who that
12 operator might be?

13 A. The note on the drawing I had said Jarl,
14 J-A-R-L, I don't remember. I don't remember any
15 details from back then. But there was a name there.

16 Q. Okay. This has to do, you said that you --
17 you were asked a question about the picture of the
18 vessel and it shows how many crab pots are on that
19 picture and how many tiers there are. And there are
20 four in that picture. And you were asked something
21 along the lines, why wasn't there five in that
22 picture? Can you answer that again? What's the
23 answer to that?

24 A. Because 200 was the load that they specified
25 that that's what they like to carry and so I want to

1 more match their typical loading.

2 Q. So looking on the left-hand column under the
3 particulars of loading, it says first tier pots, I
4 believe that's 85. Do you see that?

5 A. Yes, uh-huh.

6 Q. And then it goes on to second tier pots,
7 third tier pots, and fourth tier pots. Is that how
8 you were expecting them to be loaded to get to that
9 200?

10 A. Yes. Yes. I believe I asked about it at
11 the time, and that's what they told me pots on edge,
12 they can get 85 and so on. That's how they loaded
13 them.

14 Q. Was the size of the crab pot itself, was
15 that considered at the time?

16 A. Yes, uh-huh.

17 Q. What was the size of a crab pot at the time
18 of this picture?

19 A. 7-foot by 7-foot by 34 inches.

20 Q. So on the bottom on the comments section,
21 the picture you show shows 200, on the very bottom it
22 was mentioned that holds one full, holds two full. If
23 tanks one and two were full or pressed, which one
24 would that be? Two hundred forty-nine pots and five
25 tier, summer/winter. Can you explain which one that

1 would be --

2 A. This is a page with just one hold tanked.

3 MR. GILLETTE: Excuse me. Go to the next
4 one. To condition three. Sorry about that.

5 BY MR. GILLETTE

6 Q. We're going to go to Exhibit page 14.

7 A. Okay.

8 Q. So to kind of get back to that same
9 question, on the first tier pots, it says 85. Do you
10 see that?

11 A. Yes.

12 Q. Okay. So the picture depicts the same, that
13 I asked before. But on the very bottom where it talks
14 about how many holds are full, can you tell me what it
15 says on holds one and two full?

16 A. For holds one and two full, 249 pots in five
17 tiers for summer. Two hundred twenty-four pots in
18 five tiers for winter.

19 Q. When you did your calculations and you saw
20 how high they go up, did you ever see them personally
21 to match the drawing?

22 A. Personally on the boat when they are fully
23 loaded with pots, you mean?

24 Q. Yes.

25 A. No, I never did.

1 CDR MULLER: Okay. We are going to take a
2 quick five-minute recess for a Board huddle. Thank
3 you.

4 (Whereupon, a five-minute recess was taken.)

5 CDR MULLER: Good afternoon. The hearing
6 will come to order. Thank you for your time with
7 allowing us to take a quick recess. Just absorbed a
8 lot of information and we wanted to make sure that we
9 were moving forward in the right direction
10 collectively.

11 So we will continue on with questions for
12 Mr. Etsell.

13 Mr. Etsell, I just want to remind you that
14 you are still under oath.

15 THE WITNESS: Yes, I understand.

16 CDR MULLER: So Mr. Jim Gillette.

17 BY MR. GILLETTE:

18 Q. I'm going to bring up Exhibit -- this is
19 Exhibit 127. This is the picture of the aft end of
20 the Destination on February 9th, 2017. By looking at
21 this photo or this exhibit, does it match your
22 condition three of tanks one and two pressed on the
23 depiction of your photo that's inside the Stability
24 Report?

25 A. Well, I see that there's five tiers on there

1 and so it doesn't match the drawings. Is that what
2 your question is?

3 Q. Yes.

4 A. I can't tell how many total pots there are,
5 though. It exceeds what's shown here for holds one
6 and two full.

7 Q. Yes, Mr. Etsell, with prior testimonies,
8 that's 200 pots at five tiers.

9 So with 200 pots, five tiers, does that
10 match the Stability Book that you provided?

11 A. No. No. Not exactly.

12 Q. Trying to kind of see if we -- if the view
13 of the book is to assist the Master to loading and
14 that's 200 pots at five tiers. We're just trying to
15 figure out how the Stability Book is helping him out,
16 I guess. If you can help us out with that.

17 A. Well, I mean, it's -- the Stability Book
18 allows 249 pots and five tiers with holds one and two
19 full. So this is within that.

20 Q. But seeing that picture there with 200 crab
21 pots. If we were to put -- if there was to be 249
22 pots on there, would they have to go up a tier? Can
23 they make the maximum, I guess --

24 A. I can't answer that. I'm taking their word
25 for it, that it's 200 pots there. But there is no

1 provision in my stability report for six tiers.

2 That's just not an option in any condition.

3 MR. GILLETTE: Okay. No further questions,
4 Commander.

5 CDR MULLER: Thank you, Mr. Gillette. NTSB,
6 Mr. Karr?

7 MR. KARR: This is Michael Karr.

8 DIRECT EXAMINATION

9 BY MR. KARR

10 Q. Mr. Etsell, when you calculated the ice
11 accumulation for this Stability Book, can you tell me
12 how you accounted for the vertical and horizontal area
13 of the crab pots?

14 A. Well, unfortunately I don't have that
15 calculation any more. Typically, I would take the
16 total profile area of the vessel and apply the profile
17 amount prescribed in the C.F.R. and the total
18 horizontal area, prescribe the horizontal area as
19 prescribed in the C.F.R.

20 Q. And I'd like for you to tell me or let me
21 ask you this: Have you seen photographs of pictures
22 of vessels in the Bering Sea with large amounts of ice
23 accumulation?

24 A. I can't say that I -- I have seen pictures
25 of vessels with large ice accumulation, and I don't

1 recall exactly when or where or if they were in the
2 Bering Sea or where, but yes, I've seen heavily iced
3 vessels.

4 Q. Well, I'm just interested in your thoughts
5 of the risks and hazards the captain would have to
6 address if he had more than 1.7 or 1.3 inches of ice
7 on his horizontal surfaces and more than .65 inches of
8 ice on his vertical surfaces.

9 A. Yeah, well, it's a difficult thing to
10 calculate and it's probably a difficult thing to come
11 up with a standard for, icing varies and depends on
12 the angle you are to the wind and just a lot of
13 factors. So by applying the total profile area,
14 certain thickness when, in fact, you're going to get a
15 heavier thickness up forward and a lessor thickness
16 back aft maybe, and that sort of thing. So yeah, I
17 don't really have any other comments about that.

18 It's written in the C.F.R. there that that's
19 what's expected to be applied and as I mentioned in
20 the report certainly you can exceed that. It can get
21 out of hand. I've seen -- I remember one picture in
22 particular of a vessel that was grounded somewhere and
23 left sitting for a bit and it was just totally encased
24 in ice. And it can get away from you fast. I know
25 that.

1 MR. KARR: Thank you, Mr. Etsell.

2 I have no more questions.

3 CDR MULLER: Thank you, Mr. Karr.

4 Ms. Spivak?

5 MS. SPIVAK: No questions.

6 CDR MULLER: I have one follow-up question.

7 Lieutenant Commander Mendoza, if you could
8 pull up Exhibit 127 again.

9 DIRECT EXAMINATION (continuing)

10 BY CDR MULLER

11 Q. Mr. Etsell, looking at this exhibit, which
12 is a picture of the fishing vessel Destination while
13 at port at Kloosterboer. Do you see that gear loaded
14 on top of the pots?

15 A. Yes.

16 Q. Does your stability book have any provisions
17 that took that kind of gear on top into account?

18 A. No.

19 Q. So would that gear loaded on top be
20 consistent or in compliance with your Stability Book?

21 A. No. No. Not per se.

22 Q. If you look at the stern here, there's a gap
23 or an opening, we have come to learn that gap being
24 referred to as a tunnel, which is essentially a row --
25 a space built underneath the stack of crab pots to

1 allow the crew to go from the forward section, the
2 bow/the house to the stern. Did you take into account
3 in your drawings and Stability Book a tunnel?

4 A. Well, there's no place to really take it
5 into account. It's just a matter of how many pots --
6 otherwise, I mean 85 on deck is what I was told that
7 they could get on deck standing on edge. And I
8 assumed that included the tunnel.

9 CDR MULLER: Okay. I have no further
10 questions.

11 Mr. Gillette, do you have any follow-up
12 questions?

13 MR. GILLETTE: No follow-up questions.

14 CDR MULLER: Thank you.

15 NTSB?

16 MR. KARR: None.

17 CDR MULLER: Ms. Spivak?

18 MS. SPIVAK: No.

19 CDR MULLER: Okay. That concludes our
20 questions. Mr. Etsell, thank you for your
21 participation and information you provided today.

22 Before I close, is there any information
23 that you think the Board should consider that may not
24 have been mentioned at this time.

25 THE WITNESS: No. I think you're doing a

1 pretty thorough job of covering all of the bases.

2 CDR MULLER: With that, Mr. Etsell, you are
3 now released as a witness at this Marine Board of
4 Investigation. Thank you for your testimony and
5 cooperation. If I later determine that this Board
6 needs additional information from you, I will contact
7 you.

8 If you have any questions about this
9 investigation, you may contact the Marine Board
10 Recorder, Lieutenant Commander, Pedro Mendoza. Thank
11 you.

12 THE WITNESS: Thank you.

13 CDR MULLER: The time is 12:30. We're going
14 to recess for one hour and reconvene at 1:30. Thank
15 you.

16 (Whereupon, a luncheon recess was taken.)

17 CDR MULLER: Good afternoon. The hearing
18 will come to order. We would like to call our next
19 witness, Mr. Olafasson.

20 LCDR MENDOZA: Please raise your right hand.

21 GISLI OLAFSSON,

22 A witness produced on call of the Coast
23 Guard, having first been duly sworn, was examined and
24 testified as follows:

25 LCDR MENDOZA: Please be seated.

1 Please state your full name and spell your
2 last name for the record.

3 THE WITNESS: Name is Gisli Olafsson and
4 last name is spelled O-L-A-F-S-S-O-N.

5 LCDR MENDOZA: Please state your current
6 employment and position title.

7 THE WITNESS: Naval architect. Company is
8 KraftMar Design Services. They're naval architects.

9 LCDR MENDOZA: Do you hold any professional
10 licenses or certificates?

11 THE WITNESS: PE with the State of
12 Washington.

13 LCDR MENDOZA: Thank you, sir.

14 DIRECT EXAMINATION

15 BY CDR MULLER

16 Q. Good afternoon, Mr. Olafsson and welcome.
17 By way of introduction, could you further describe
18 your occupation at KraftMar Design Services and
19 specifically the type of work and projects you have
20 performed.

21 A. We do a lot of work for the fish boat guys
22 and the tugboat guys.

23 THE WITNESS: Is this too loud?

24 THE COURT REPORTER: It's not that, I just
25 don't understand what you are saying.

1 THE WITNESS: Okay. I'll speak slowly to
2 begin with and then just let me know.

3 THE COURT REPORTER: Thank you so much.

4 THE WITNESS: No problem.

5 A. Yeah, so we're naval architects and marine
6 engineers and we do most of our work in the marine
7 industry. We mostly work for boat owners, but we
8 provide drawings for shipyard projects most of the
9 time.

10 It's a lot of structural work and some
11 stability work, and some normal marine/mechanical
12 work.

13 BY CDR MULLER

14 Q. Approximately, over the years, how long have
15 you been doing or conducting stability assessments on
16 fishing vessels and can you give me at least a
17 ballpark figure of how many assessments you have done
18 over the years?

19 A. Okay. I have been a naval architect in the
20 northwest since 1989, I think, and never done anything
21 else except being a naval architect. And in my early
22 years I worked for others, obviously, and there we did
23 stability work not continuously, but it was part of
24 the normal work. And in our current work we handle
25 stability maybe once a year, maybe every other year so

1 we're not doing like a full incline every year.
2 Average maybe every other year, sometimes but that can
3 change. Sometimes it's twice in one year.

4 Q. So in regards to stability, under, broadly
5 speaking, under what circumstances are fishing vessels
6 required to reassess their stability information
7 books?

8 A. When they do changes that can be assumed to
9 have effect on stability. It's not overly well
10 defined, but there are guidelines and we look at
11 those, and that's what's done. Does that answer the
12 question?

13 Q. Yeah, that's fine.

14 So as you're aware, we're discussing the
15 fishing vessel Destination, so if you would, can you
16 tell us when and how you first came to know the
17 fishing vessel Destination?

18 A. I think I got a phone call from the shipyard
19 and Dave was one of their customers and he was
20 thinking about putting a bulbous bulb, and shipyard
21 called me and invited me to a meeting with him. And I
22 got to know Dave. And he explained to us what he
23 wanted to do and the goal for us was to design the
24 bulb, the shape of it and then provide structural
25 drawing so that the shipyard could build it and then

1 we would visit with the shipyard during construction,
2 partnering.

3 Q. Was it at that time that the topic of the
4 new stability assessment was brought up and who
5 brought it up?

6 A. No. It was not at that time at all
7 actually. It wasn't until at the end of the project
8 and it was via email from the shipyard and we then
9 worked on it for David.

10 Q. Okay. So I would like to talk about the
11 bulbous bow installation. So if we could take a look
12 at Exhibit 153, page 28. This is a design drawing for
13 the bulbous bow.

14 A. Yes. Correct.

15 Q. So looking at this drawing, do you recognize
16 this?

17 A. Absolutely.

18 Q. Do you recognize this drawing as a KraftMar
19 product?

20 A. Yes, absolutely. Yeah, it's one of our
21 drawings.

22 Q. Was it you that you developed this drawing?

23 A. Yes. We do these projects as a team in the
24 office. Yes, I was the lead on this one.

25 Q. And when was this drawing produced?

1 A. Did you say when?

2 Q. When? What month and year?

3 A. It was 2012 in October or November.

4 Q. Looking at the notes on the top left, it
5 says general notes.

6 A. Yes.

7 Q. Can you read note number two and explain
8 plumbed for fresh water.

9 A. It means that you could run fresh water into
10 the bow if you wanted the bow to be heavier, you could
11 fill it with fresh water in an easy way, you know,
12 through a piping system.

13 Q. So can it be filled and emptied?

14 A. Yes. Sort of like a bulbous tank would be
15 piped.

16 Q. Right. Do you recall -- do these drawings
17 depict how that filling or emptying of that bulbous
18 bow occurs? Are there piping diagrams associated with
19 this?

20 A. No, there is not.

21 Q. So where would the piping arrangement, to
22 ballast that bulbous bow, be located on the vessel.

23 A. Okay. There's a water tank inside the
24 engine room, water tank just aft of the bulbous bow.
25 And that tank has piping, obviously, and most likely

1 scenario is that they use that piping, tied into that
2 piping because there would have been a pump associated
3 with that.

4 Q. So if we could turn now to Exhibit 151, page
5 23, which is a picture of the newly constructed
6 bulbous bow.

7 A. That's correct, yeah.

8 Q. Would you recognize this bulbous bow as the
9 completed project, the installation of the bulbous
10 bow?

11 A. Yes. As shown in this photograph. It says
12 fully completed there. The (inaudible) on the top has
13 been added, and the V section on the bottom has been
14 added. The bulb has been painted, the bottom paint,
15 and it looks like looking pretty close to launching
16 the boat, looks like.

17 Q. In your capacity as a naval architect for
18 this project, did you ever visit the vessel.

19 A. Yes. Absolutely. We never do a project
20 where we don't attend the construction. It's very
21 rare at least. It's a huge part of what we do, is we
22 make ourselves available to the owners and the
23 shipyards. We show up, and we answer whatever
24 questions they may have about details. For example,
25 on this drawing there may be something that they feel

1 might not be shown, so they can ask us directly if
2 we're there. So we provide that face-to-face
3 communication.

4 Q. And this project took place where?

5 A. Pacific shipyard in town.

6 Q. In Washington, right?

7 A. Yes.

8 Q. State of Washington.

9 A. Often called Catfish.

10 Q. Okay. Was the vessel outfitted with any
11 crab pots at the time?

12 A. No. No. It was just in shipyard. No pots
13 at all, and just the basic ship there.

14 Q. So if we can turn now to Exhibit 7, page 68
15 and 69. This is a Stability Letter dated 28
16 October 2013 by KraftMar.

17 A. Yes.

18 Q. So do you recognize this document as your
19 document?

20 A. Yes, it is created by me.

21 Q. What is the intent and purpose of this
22 letter?

23 A. It's to document what has taken place. So
24 there is somewhat of a written record of what they
25 just did in that yard although that part is brief, it

1 also summarizes the study that we did for the owners.
2 We were asked to look at the effect of the condition
3 of the boat to the stability of the vessel.

4 Q. Looking at the letter, specifically
5 paragraph two, you talk about GM.

6 A. Yes.

7 Q. And then the next sentence you talk about a
8 reduction of only about 2 inches; is that correct?

9 A. Yes.

10 Q. So does that paragraph summarize the results
11 of the installation of the bulbous bow?

12 A. Yes, it's a statement to express to the
13 owner that the changes are very minor in a sense. GM
14 is one indicator for stability. There are numerous
15 others. So GM does not just work by itself, but it's
16 a good indicator of what is going on. This vessel is
17 rather -- has high, what we call high GM values, way
18 above 2 foot. When you have a boat with GM of 2 foot,
19 have you to be -- 2 feet or lower even -- you have to
20 be extra careful with any weight changes on a ship
21 like this. They are not -- I think I can fairly say
22 not nearly as crucial.

23 Q. Okay. Looking at paragraph four, last
24 sentence. Looks like the letter, it indicates that
25 you advised the vessel operator about icing

1 conditions. Can you explain that letter, about that
2 part of the letter, your intent there?

3 A. Yes. We know that icing is something that
4 happens to them out there from time to time. So it's
5 a very crucial, important part of the stability
6 assessment. So it's really a standard for us and
7 probably most other naval architects to always mention
8 it whenever we can. To try to remind them and
9 emphasize that they have to be careful, and they have
10 to be alert and be ready to deal with the situation
11 when it arises.

12 Q. And at the end of that sentence you include
13 a short discussion about, or reminder about taking
14 good care of the door leading out to the main deck; is
15 that correct?

16 A. Yeah. So that's the door on the forecastle
17 bulkhead, leading from the main deck into the quarters
18 where the galley and the staterooms would be. So this
19 is a very important door. It's usually midships and
20 it's there for a reason, so that will allow the ship
21 to heel quite a bit before water would get to it.

22 It's always considered weather-tight when
23 it's closed, so water cannot flood through the door
24 when it's closed. And when we say what we are saying
25 there to take good care of it, it obviously is

1 supposed to be closed when they are out to sea except
2 just when it's being traversed through. But it needs
3 to be attended to also.

4 It needs to be in good shape, and gaskets
5 need to be maintained, and they have to work properly.
6 That's what we are reminding him; although we don't
7 spell it all out, but that's the gist of it.

8 Q. So is the intent there by reminding them to
9 take care of that door, and as well by extension as
10 you mentioned keeping that door closed while underway,
11 is that to prevent potential down-flooding?

12 A. Oh, absolutely. Yes. Yes. The forecastle
13 is part of the bow envelope. So when we do the
14 stability calculations, the hull and the forecastle
15 work together, and if water can flood into the
16 forecastle, then it really isn't watertight anymore.

17 Q. Okay. I would like to take a look at
18 essentially the last paragraph there.

19 Maybe I'll just read it, and then we can
20 discuss it.

21 A. Yes.

22 Q. It says, "Please report to me any planned
23 future significant weight changes, such as changes of
24 crane or any major relocations of existing weights so
25 that we can record and track the changes properly

1 until the next inclining test is performed.

2 It is our understanding that you plan to
3 perform a new inclining test sometime during the
4 latter part of this year.

5 Did I read that correctly?

6 A. Yes. That's what that says.

7 Q. So what would include, in the section there
8 where you recommend to record and track the changes,
9 and any major relocations of existing weights, can you
10 give me some examples of what you would have in mind
11 that would fit that scenario?

12 A. Yeah. This is really meant for sort of
13 major equipment, such as the pot launcher, the crane,
14 a generator down in the engine room. Let's say there
15 was a need to build a little deck locker up on deck
16 for storing tools or such. It will be for such a
17 scenario. Let's say somebody decided to raise the
18 height of the bulwarks, maybe add a foot to the
19 bulwarks, that would definitely be a steel addition,
20 want to record and keep track of, because that
21 directly affects the lightship value of the ship.
22 This is used in the stability calculations.

23 Q. Okay. And at the end there, you mention
24 that you understand that there might be a new
25 inclining test. How did you come to that

1 understanding?

2 A. We don't shy away from sort of encouraging
3 the owners to think about inclinings. It creates work
4 for us. There is quite a bit involved in doing one.
5 So it keeps us busy and it's a nice way to update the
6 technical and safety information for a ship. So we
7 don't hesitate to sort of suggest that we hope that
8 they will come to us for their inclining work, but we
9 never know what is going to happen exactly.

10 Q. With that in mind, to be clear, were you
11 approached by Mr. Wilson to potentially do an
12 inclining experiment or test at a later date?

13 A. No. No, we were not.

14 Q. Okay. I would like to turn now to Exhibit
15 7, page 64 through 67. These are weight calculations.

16 A. Yes, that's correct.

17 Q. So do you recognize this as part of the
18 process you used to generate the stability letter?

19 A. Yes.

20 Q. So these calculations here, maybe using
21 these calculations as a guide, but in general I'm
22 looking for the process in which you performed your
23 stability calculations you used to draw your
24 conclusions regarding your Stability Letter and the
25 change to GM.

1 A. Okay. So since this was meant to show the
2 effect of the bulb addition, we took a condition out
3 of the existing booklet, the one created by Etsell,
4 and we calculated the weight to see the weight of the
5 bulb, and we (inaudible) some other smaller steel
6 modifications taking place on the ship, so we
7 estimated the weight of those, and we added them in to
8 show the change in this case actually the total weight
9 of that condition.

10 We have since, actually, taken this sheet
11 and update it, made it more probably easier to
12 understand and so we could at some point share with
13 you, if you care for that.

14 Q. Okay.

15 A. But this is basically a combination of prior
16 known numbers, and new numbers for the modifications
17 in 2012.

18 Q. And those modifications were essentially
19 steel work?

20 A. Yes. Yeah, mostly steel work. Yes.

21 Q. So did any of these calculations include
22 assessment of any changes in the weight of the pots?

23 A. No. This is -- no, that's not included
24 there. No.

25 Q. If we can turn to page 67. This is a plan

1 view of the vessel.

2 A. That's correct.

3 Q. Did you refer to this drawing while
4 conducting your stability assessment? Page
5 sixty-seven. I call that a plan view. If you want to
6 call it something else.

7 A. Yeah, it's called either a plan view or
8 often it's a tank plan (sounds like), kind of standard
9 document for boats. We created this ourselves, based
10 on some information that was available, but this is
11 also a document that we have since improved on, we can
12 share that with you too. To help with people that are
13 maybe looking at the technical end of these things.

14 That shows the holds and fuel tanks,
15 basically general arrangements of the tanks and holds.
16 It's one that we, if one doesn't exist for a ship,
17 then we always try to create this very early on
18 because it's a good kind of roadmap, or -- well, maybe
19 not a roadmap, but a map of what is inside the ship.

20 Q. So at any time, did Mr. Wilson or the
21 shipyard provide you with a listing of any changes of
22 the weights onboard the vessel?

23 A. You mean weights that happened in 2012 or
24 prior or --

25 Q. So to do your assessment, did you ask for

1 any information from the shipyard or Mr. Wilson?

2 A. Yes, we did.

3 Q. And what information would that include?

4 A. Yes, we did. We did ask for information.

5 We asked -- we knew the shipyard was doing steel
6 replacements; although, we were not involved in those
7 replacements, but we saw them going on. So when David
8 asked us to look at this, the effect of the bow, we
9 needed to know about this steel replacement.

10 So we talked to the shipyard, and we also
11 kind of in our travels in the yard we knew things were
12 going on, it was quite obvious if a section was carved
13 out, some anchors were being replaced. It was obvious
14 to us something was being done there.

15 And the bow, there was some ice
16 strengthening going on, basically anchors were being
17 replaced with stronger angles in the framing, and then
18 in the stern there was some damage. I think general
19 hull damage that was being replaced with new steel.
20 So, yes, we did get information from them about those
21 things.

22 Q. Okay. So it generated your stability
23 assessment letter.

24 When conducting your stability assessment,
25 did you conduct assessments to determine any changes

1 in the Vertical Center of Gravity (VCG) lightship
2 displacement, and/or longitudinal center of gravity or
3 was your assessment basically limited to just GM?

4 A. No and yes. We looked at the Vertical
5 Center of Gravity, basically the spreadsheet, that's
6 what comes out of the spreadsheet. And at the same
7 time we tried to calculate the longitudinal center
8 also, based on the information that we have. And in
9 the end, we came out with a new lightship. We can
10 compare it to the old lightship. And those centers
11 also, the Vertical Center of Gravity and the
12 longitudinal center of gravity.

13 Transverse is the side to side center and
14 that one almost never changes, but these things tend
15 to be kept symmetrical on the ship, especially steel
16 work, equipment changes can change the transverse, but
17 the steel tends not to.

18 So yeah, in our assessment of the GM we had
19 to do the -- calculate the Vertical Center of Gravity.
20 And that actually -- the vertical center is growing,
21 it's going up and that's usually a negative thing. So
22 in this case the Vertical Center of Gravity actually
23 came down, not by much, just a fraction, but it
24 calculated to come down. And now, of course, it's a
25 positive thing for the outcome of the project.

1 We also, we also look when we are looking at
2 the effect of the bulb, we created a hull model, when
3 we say a hull model, it's just a series of points that
4 describe the hull shape along the deck ends and the
5 chine and the key, then we import these into our
6 stability program, that's used to calculate the
7 stability.

8 And so we did that and we run cases where we
9 can see the effect of the bulb. Often worry is that
10 something up in the bow in a forepeak area can have a
11 negative effect because there is a typical forepeak
12 ballast tank is not such a great ballast tank. It's
13 there, yeah, to help with the trim of the ship, but
14 it's so high in the bow, it doesn't really help the
15 transverse stability necessarily.

16 So we look carefully at that, and in this
17 case the bulb is almost neutral in a sense. If it has
18 some negative effect because of its shape, it
19 counteracts that with its weight, and the weight of
20 the fluid that is put inside it. So she's pretty
21 much, yeah, almost neutral. Doesn't really change the
22 stability at all. And we can show this in more detail
23 at some other time, you know, with engineers. We can
24 show those calculations and demonstrate that if
25 needed, obviously.

1 CDR MULLER: Okay. Thank you. That
2 concludes my line of questions. I'd like to hand it
3 to the Board members.

4 Mr. Jim Gillette?

5 MR. GILLETTE: Commander, I have no
6 follow-up questions.

7 CDR MULLER: NTSB, Mr. Karr?

8 MR. KARR: Michael Karr.

9 DIRECT EXAMINATION

10 BY MR. KARR

11 Q. Can you tell me if you know of any Coast
12 Guard stability policy or guides for the industry?

13 A. Yes. It's in the C.F.R. Part 28. It's the
14 standard for fishing boats, basically. It describes
15 what we have to calculate the stability to. So it
16 says in there what the GM needs to be, what the range
17 of stability is in degrees, so that's the standard
18 that we use.

19 Q. Do you know of anything other than what's in
20 the regulations that the Coast Guard or the industry
21 may publish to help the mariners apply the stability
22 rules?

23 A. I don't think there is that much of that out
24 there. This is really kind of the guideline, and the
25 rulebook. It's the law, it's basically the law, the

1 C.F.R.

2 MR. KARR: All right. Thank you.

3 CDR MULLER: Okay. Thank you, Mr. Karr.

4 Ms. Spivak.

5 DIRECT EXAMINATION

6 BY MS. SPIVAK

7 Q. Good afternoon. Just to qualify one point
8 about your Stability Letter of January 28, 2013. When
9 you were discussing the incline test, was that a test
10 that was required the Destination have performed?

11 A. No, not specifically required.

12 Q. Okay. Was it necessary the Destination
13 should have performed that test before she could
14 operate with the addition of the bow?

15 A. No.

16 MS. SPIVAK: Okay. Thank you. That's all
17 of the questions I have.

18 CDR MULLER: Thank you, Ms. Spivak.

19 Just one more round turn on questions.

20 Mr. Gillette?

21 MR. GILLETTE: No more follow ups.

22 CDR MULLER: Mr. Karr?

23 MR. KARR: None.

24 CDR MULLER: Okay. I have nothing further
25 myself.

1 Sir, that completes our questions for you
2 this afternoon. Is there any other input or
3 information that you believe the Board should consider
4 that may not have been discussed this afternoon.

5 THE WITNESS: Yes. We have quite of bit of
6 experience dealing with ships and so we kind of have a
7 good understanding of tank plans and how bows are
8 usually constructed and built, and basically what's
9 inside the shell of a ship. So we can maybe be in
10 assistance in developing some of the drawings that
11 seem to be, sort of, needed in this process to
12 thoroughly looking at this. And we have kind of
13 started doing some of that in the office.

14 So we are perfectly willing to share some of
15 that with you guys. Whenever that may be needed. And
16 I'm talking about sort of a cross-section through the
17 midship area and another one back aft that would show
18 there's a double burn fuel tank (sounds like) that is
19 shown on our tank plan, but we don't have any
20 documents that really fully describe it in detail
21 except what we are sort of creating. So we're kind of
22 doing a little bit of reverse engineering which we are
23 used to doing.

24 So basically I'm offering that to you guys.

25 CDR MULLER: Well, thank you for that. And

1 for awareness, at least, the Board has already started
2 working with our Coast Guard Marine Safety Center with
3 its team of naval architects. And we already started
4 passing along some of the information we've gathered
5 so far regarding the vessel stability and, of course,
6 they use the techniques and the methodologies and the
7 computer software that's available to them. But
8 certainly, if they would feel it beneficial to reach
9 out to you, I can mention that to them, as they move
10 forward with their assessment.

11 Our commitment here at this hearing, of
12 course, is to collect the broad scope and as
13 accurately as possible all available facts, and, of
14 course, with those facts and more accurate facts that
15 we give to our Marine Safety Center and naval
16 architects that will better enable them to produce
17 their product. So that's our goal moving forward
18 after the hearing.

19 THE WITNESS: Yeah, and if I may add, we're
20 sincerely hoping within this process, we definitely
21 want to be involved in it as much as we can so we're
22 totally available to answer questions any time we can
23 come to meetings on short notice and it's also my hope
24 that out of this will come some sort of a strengthened
25 relationship between the skippers and the naval

1 architects and the owners and the engineers. We work
2 with, some of these people very closely, all year
3 round, but others we see more seldom, sometimes they
4 live far away and they don't come into town that
5 often. But people are only a phonecall away.

6 And we would like to see a much closer
7 working relationship overall especially on these
8 safety issues, you know. Things like icing. It's --
9 the amounts are described in the C.F.R. that he was
10 asking about. It says how much we're supposed to use
11 in the vertical and the horizontal surfaces, but of
12 course, we have seen photographs from past years where
13 the ships can collect a lot of ice. And we would like
14 to hear from the skippers, maybe have kind of an
15 informal meeting once a year, where naval architects
16 are invited from us and from the competition and
17 different skipper, guys that have been out in Alaska
18 for many years, we'd like to hear from them, you know,
19 have them talk to us face to face and describe these
20 situations so we can really learn as much as we
21 possibly can about these things.

22 And now there isn't any system for something
23 like this. And I think it really can come from
24 ourselves, some of us naval architects we can step up
25 to the plate and kind of drive, maybe, some of this

1 through and yeah, we don't like to hang out with the
2 competition, but I think on things like this, it's
3 where we have to come together to sort of be
4 proactive. Actually, that's my hope is what's going
5 to come out of this. And one suggestion that I would
6 like to make is in the process we can take older naval
7 architect, the guy that's trying to retire or
8 semi-retire and is not well known inside our little
9 group to each other, so older guy like that could take
10 a lead role, you know, he could be made sort of ice
11 master, okay, and he takes that as his baby and maybe
12 over two or three years he makes sure that we come to
13 these meetings. He calls us up and gets us together
14 and lectures a little bit and makes sure that the
15 skippers come and talk to us. Because I think the
16 more we know about this thing, and the more we know
17 how quickly the ice can accumulate and how to deal
18 with it aboard the ship, the more we know the safer we
19 can be, there is no question in my mind. But that's
20 my vision. And I think about it every day. So I just
21 wanted to share that with you.

22 CDR MULLER: I appreciate that. Thank you.

23 THE WITNESS: I also would like to say one
24 more thing. That my company, there hasn't been a day
25 gone by since this accident that we haven't thought

1 about the crew and their families.

2 CDR MULLER: Thank you, Mr. Olafsson.

3 With that, you are now released as a witness
4 to this Marine Board of Investigation. Thank you for
5 your testimony and your cooperation. If I later
6 determine that this Board needs additional information
7 from you, we will contact you. If you have any
8 questions about this investigation, you may contact
9 the Marine Board Recorder, Lieutenant Commander Pedro
10 Mendoza.

11 Thank you.

12 THE WITNESS: Thank you for inviting us.

13 CDR MULLER: Okay. We are going to take a
14 15-minute recess. Thank you.

15 (Whereupon, a brief recess was taken.)

16 CDR MULLER: Good afternoon. The hearing
17 will come to order. We would like to call our next
18 witness, Mr. Nylander.

19 LCDR MENDOZA: Sir, please stand and raise
20 your right hand.

21 LANCE ARTHUR NYLANDER,

22 A witness produced on call of the Coast
23 Guard, having first been duly sworn, was examined and
24 testified as follows:

25 LCDR MENDOZA: Please be seated.

1 Sir, please state your full name and spell
2 your last name for the record.

3 THE WITNESS: It's Lance Arthur Nylander,
4 and Nylander is N-Y-L-A-N-D-E-R.

5 LCDR MENDOZA: State your current employment
6 and position title, sir.

7 THE WITNESS: My employment is Dungeness
8 Gear Works, Incorporated and I'm president of the
9 company.

10 LCDR MENDOZA: Do you hold any professional
11 licenses or certificates?

12 THE WITNESS: Nope. Just hands-on
13 experience. I started building king crab pots for the
14 Bering Sea on January 2nd, 1976, and have been doing
15 it my entire adult life. I formed the company,
16 Dungeness Gear Works 30 years ago. We're celebrating
17 our 30th year.

18 LCDR MENDOZA: Thank you, sir.

19 CDR MULLER: Okay. Mr. Nylander, welcome.

20 DIRECT EXAMINATION

21 BY CDR MULLER

22 Q. By way of introduction, could you further
23 describe your business at Dungeness Gear Works and
24 what role you play. And also, we're also looking for
25 the amount of business, how many vessels you deal

1 with, how many crab pots you deal with on an annual
2 basis. Trying to get an idea of the breadth and scope
3 of your business.

4 A. Well, the good old days, I think my record
5 banner year was about 14,000 king crab pots back in
6 1991. It kind of varies, goes up and down for five,
7 six years when rationalization took place. I haven't
8 built a new king crab pot for the Bering Sea for
9 almost six year. We build all different types of
10 pots, black cod pots, shrimp pots, dungeness pots, you
11 know, various types of aquatic pots.

12 I have done some work for NOAA, federal
13 government there for studying species of -- the
14 Steller's endangered species, Steller sea lion, I
15 helped them design pots to use to study what was going
16 wrong with the population. Did that for almost seven
17 years.

18 Q. So broadly speaking, I guess your
19 observations have been part involved with the industry
20 and the crab pot business. Can you explain if and how
21 crab pots typically used by Bering Sea crabbers have
22 changed over the years? That is, have you seen a
23 trend whereby crabbers have been using larger and
24 heavier pots?

25 A. I would say typically when they started out,

1 you know, a lot of these guys were existing when I
2 started my company. I just worked for my competitors
3 at the time prior to that. But, you know, in some
4 cases they go a little heavier. I know that when you
5 contacted me about this, you know, I've never built a
6 pot for the Destination. They were originally a
7 Dorian Metal Fabrication customer. I always did PR to
8 try to get guys to come my way, you know, but they
9 were staunch with their builder that they've used for
10 many years.

11 And when I was contacted about this, I
12 actually acquired the records from Eclipse Supply, he
13 had purchased the records from Dorian. And when I
14 purchased the records and miscellaneous equipment from
15 Eclipse, when they were shutting down the business due
16 to rationalization. There wasn't going to be room for
17 everybody to survive. Like I said, I didn't build a
18 pot for five, almost six years for the Bering Sea. It
19 was either fish pots or something else. Kind of hung
20 on, of course, I did a lot of work for Russians for
21 the Bering Sea and during those quiet years.

22 So I had sent you a cut sheet and of course
23 that cut sheet is coded. Dorian always liked to code
24 things, put boat tag names on the pots. I use the
25 full boat name on the vessel. We tag every unit that

1 we manufacture. And it has a, the code is DO6. And
2 it was in the file, Eclipse's file under the
3 Destination. So I would say it's a pretty good chance
4 that it probably was the Destination cut sheet.

5 And then when you had contacted me about
6 this, I just had it sent to you. I didn't bother to
7 crutch the numbers that were actually on this
8 spreadsheet. And after analyzing it and looking at
9 it. You know, somethings have changed to the pot
10 design since then. One thing is here there's about 15
11 pounds of weight, which is a Tanner Hood (phonetic).
12 Early on, when they would fish, instead of king crab,
13 they'd fish for other species, the bairdi and the
14 opilio crab.

15 The fishermen would put a wooden board
16 across the top of the tunnel, so the king crab
17 couldn't get in. Because if you got too many king
18 crab in there, the bairdi wouldn't go in the pot. So
19 then the State of Alaska decided to make it a
20 regulation required that they put a Tanner Hood in
21 there to restrict the opening so king crab can't get
22 in. Because it's all about reducing handling
23 mortality issues.

24 So there was a guy that invented a plastic
25 hood that goes on there. Those were the most widely

1 used. And then the State decided that that was too
2 flimsy and required that it couldn't flex over 3
3 inches under 20lbs of pressure. And so that's when
4 the competitors started making steel hoods, knowing
5 that they wouldn't flex. There was a plastic one by
6 Norsol (phonetic) which was then turned to Eclipse
7 Gear and Supply.

8 And he just put a plastic stiffener on there
9 so it would not flex under 20lbs of pressure. I
10 designed a new plastic hood that would meet the
11 regulation, and, you know, I'd go out to sea and do
12 research, different types of things, you know, to
13 experiment and test and try to always make a better
14 mousetrap. That's why I'm still here today, I guess,
15 because I keep trying to reinvent the wheel.

16 That hood actually increased the catch of
17 opilio crab by about 20 percent in eight hours or less
18 and all of the pots that are used today have my
19 synthetic hood on there. And they only weight about
20 8lbs. These steel hoods used to weight about 14. So
21 you can take, you know, take almost 15 pounds off and
22 then add 8lbs to get a more accurate weight on them.

23 Another item to address --

24 Q. Just one moment. So it sounds like you want
25 to talk about pot weight.

1 A. Yeah.

2 Q. Okay. We'll stick with that topic, but
3 let's at least for display purposes pull up the
4 appropriate exhibit, which I believe you're referring
5 to is 164.

6 A. Yep. There's my beautiful fax machine with
7 all of the lines through it. Sorry.

8 Q. So this is what you've provided us
9 previously.

10 A. You can see down at the -- where it says,
11 total steel weight, right above that, tunnel board
12 bars, tunnel board angles, tunnel board bottom, tunnel
13 board top. If you add all of those together, that's
14 four, nine, almost 15lbs. Those were removed from his
15 pots probably starting back in 2002. They don't last
16 very long. They're thinner metal. The material used
17 to coat them to get them to last longer from rusting
18 up was -- it's a vinyl that was porous and conductive,
19 so the salt water would get right underneath, you push
20 it off, and the next thing you know they were falling
21 apart.

22 So I invented this other hood and they are
23 still very popular today. So just to get your weight
24 correct there.

25 And there was another item that I wanted to

1 discuss regarding this, is the -- they call them -- my
2 company calls them combo tunnels. Back in the late
3 '80s I was asked by a customer if I could come up with
4 something that would easily convert the king crab pot
5 to a fish pot so they could catch some hanging bait on
6 the grounds. Because they could legally, you know,
7 catch -- use up to 20, during those, you know,
8 fisheries, this is when it was open access back then.
9 They caught their own hanging bait for the pot.

10 So I came up with this combo tunnel. And I
11 was actually -- had plans to actually patent the
12 design, I was so excited about it. And before I know
13 it, Dorian Metal Fab had copied it off the dock. And
14 it adds about 15 more pounds to the pot. So
15 originally his cut sheet was probably real close to
16 being accurate of, you know, around 700lbs, but you
17 add another 15lbs and when I, you know, customers
18 asked for it, you know, and some of the vessels have
19 all combo tunnels on their pots because they fish for
20 cod --

21 Anyways, so a lot of the boats, you know,
22 use that on all their gear. And they go and they do
23 cod season first. They take the hood out, put
24 triggers in, flip the panel down and set vertical, and
25 they put the flex fingers in, retain fish.

1 Q. Okay.

2 A. Then they reverse the process when they go
3 crabbing.

4 Q. Okay. Let's get back to -- let's establish
5 some of the basic foundation. I heard a lot of
6 information there about changes to the pots, very much
7 what we're interested in and my original question is:
8 How have the pots changed? What I'm really curious
9 about is size and weight.

10 A. You know, it kind of goes -- I would say
11 initially, some of the smaller boats had lighter pots
12 and based on how they handled them on deck, and how
13 the motor handles them off shore, they'll get bent up,
14 you know, or the crane will pick it up and pulls it
15 too tight and so it will bend the top cross on the
16 pot.

17 So, you know, you beef it up in some of the
18 weaker areas, it ends up making it a heavier pot. And
19 when they talk about changes, you know, like the combo
20 tunnels it adds 15lbs to the pot. You want me to
21 modify the pot to keep it at your original weight or,
22 you know, and take three quarter web liners off the
23 top of the pot, put 5/8th in and get it real close to
24 your original weight. And typically the answer is
25 always no, the extra 15lbs in there is fine. I want

1 to be able to catch some hanging bait.

2 Q. Okay. More broadly speaking, industry wide,
3 over the decades, what was your typical pot size and
4 weight in the '80s?

5 A. Probably 650, 700 pounds. They're pretty
6 much right the same in there.

7 Q. And are they six and a half by six and a
8 half?

9 A. Well, six and a half, I mean, even six by
10 sixes, not very many. Some of the other fisheries,
11 Kodiak Fishery is a much smaller boat. They use a
12 picking style pot. I mean, those are maybe 350, six
13 by six, top loader, end dump.

14 Q. What about the '90s, what's your typical
15 length and weight of a pot in the '90s?

16 A. Probably 650, 700 pounds, 750. Probably 650
17 to 750.

18 Q. Okay. How about in the 2000s?

19 A. Probably about the same, you know. I
20 recently had a customer --

21 Q. Is that with -- I'm talking just the pot
22 now.

23 A. Yeah.

24 Q. Not the lines and -- or are you including
25 the lines and the buoy as well?

1 A. No. I'm talking about the pot weight.

2 Q. Steel?

3 A. The customer orders, they tell me how heavy
4 they want the pot. How heavy do you want the pot, and
5 they tell me. And we can form it in with what their
6 requests are.

7 Q. Okay. So, now that we're --

8 A. And I scratched my head on this when I
9 reviewed, when I reviewed Dorian's old cut sheet. You
10 know, like, okay, well how did this change. Well, he
11 decided, you know, the Destination asked for combo
12 tunnels, like Dungeness Gear Works makes and so he
13 added it in there. I mean, you can run these numbers
14 several different ways, but, you know, the error
15 somehow -- you know, he has it listed in there, but
16 once you add it up, you know, I gave it to my guy, we
17 came up with a total finish weight of the 721.58, but
18 then you gotta take about 15lbs off of there because
19 the steel tanner hood came out and you're going to add
20 about 8lbs in for the plastic tanner hood, because
21 it's much lighter to be accurate for today's weight
22 approximately what you have.

23 And he was probably originally around 700lb
24 pot and it was a choice, you know, if they want all
25 combo tunnels in there -- and I also -- there was

1 another cut sheet in his file from Eclipse Gear and
2 Supply, it was actually some -- it's listed as a --
3 you didn't get a copy of this -- it's listed as a 700
4 pounder. His cut sheet is really scribbly, kind of
5 old school, I had my guy go through it and look at
6 what the weight was, and we came up with a total
7 finish weight of 715 pounds point 87.

8 Q. For the pot itself, no gear?

9 A. Yeah, that was the Eclipse Gear and Supply
10 manufactured some gear for the Destination in 2002.
11 So they're both, you know, approximately right in
12 there.

13 Q. Okay.

14 A. And while we're at it, there's one more item
15 here that came to my attention, and Buddy Bernstein
16 and Dave Wilson purchased some gear from another
17 customer of mine that was in my yard, Mystery Bay, and
18 it sat there for -- the owner Tim Kennedy, you know,
19 brought them in, said, this is what I want,
20 recondition them, and they sat there probably for a
21 couple of years. And then all a sudden, he was like,
22 well, hey you got those pots, you know? I said, oh,
23 yeah, they're still sitting there. I understand
24 they're for sale. About how much do they weigh? I
25 said, I think they're around 700-pounds.

1 So in 2014 we analyzed them and we came up
2 with a total weight of 719-pounds. And he didn't have
3 the combo tunnels in there, but it was a little bit
4 beefier pot than the Destination's. And I don't know
5 how many of those were allocated to the Destination
6 because at the time they had, you know, more than one
7 vessel. And I don't know if they allocated those --
8 it was 101 pots. I don't know if they allocated those
9 to or not. I wanted to bring that up because it was
10 an oversight on my part because I recall, and I didn't
11 even handle the transaction, it was a purchase and
12 sale agreement between two boat owners. And I didn't
13 manufacture those pots either?

14 I did see that Eclipse Gear and Supply
15 manufactured some in '99. They have two sales orders
16 here, one was labeled 725 pounder. And another one in
17 '98 for 700lbs and maybe they made the adjustment to
18 the top of their paperwork in '99 to a 725 pounder.
19 Typically, they kind of use round numbers. Not an
20 exact number.

21 I'm recently manufacturing a bunch of black
22 cod pots for the new fishery in the gulf of Alaska,
23 and the guys are being real specific about what they
24 want because it's a lot of small boats. And so I was
25 like, well, how heavy do you want the pot? Okay.

1 Well, you know, he says, well, I can't go over sixty
2 pounds. I said, I will get it as close as I can.

3 So I modified the design so that the
4 weight -- and the closest I could get was 62-pounds.
5 And he's like I'm okay with the 62lbs because they can
6 only put so many pots on. I mean, as manufacturers
7 we're not responsible for how many pots they stick on
8 the boat. I have no idea what their stability reports
9 are or anything like that. I don't make any of those
10 decisions. I just manufacturer the pots for the
11 customers. And pretty much everything is pretty much
12 custom built. You know, I have been asked a few
13 times -- my production manager is like, let's just
14 make everything all the same. It would be easier.
15 And I said, well, if we do that then, you know,
16 anybody can make them. I said here comes China, you
17 know, if they're exactly the same.

18 All these fishermen like their own little
19 bells and whistles. They want this a little beefier,
20 that little thing. I mean, the king pots in the
21 Bering Sea that I manufacture probably range from, you
22 know, just typically it's a bigger boat and little bit
23 bigger pot, but probably 600 pounds to almost a
24 thousand pounds. I have 8 by 8 that I make for the
25 Arctic Sea that are around 950lbs. They are big beefy

1 pots and, of course, that boat is huge. When he went
2 to that design he sponsoned, had the boat sponsoned to
3 handle the weight of those.

4 And part of the change was due to the, you
5 know, the pot limits back in the early '90s and some
6 of the companies immediately stepped up from a six and
7 a half by to an eight by eight because they can only
8 carry so many pots and or, you know, there was a pot
9 limit. They couldn't fish 500 pots like they used to
10 in good old days, you know, so...

11 Q. Okay. All right. Let me just catch up on
12 our display here.

13 A. Yep. Yep.

14 Q. That exhibit in front of you, the first
15 page.

16 A. Uh-huh.

17 Q. And you have a pointer there in front of you
18 if you want to point.

19 A. Oh boy.

20 Q. That job number is on the top left, correct?

21 No. Not that exhibit there, Exhibit 164,
22 it's in your binder.

23 A. Yeah. I have it. Let me find it.

24 Q. So are you saying this is not your cut
25 sheet? This was from a predecessor that happened to

1 be in your file?

2 A. Yeah. A competitor.

3 Q. Okay. So the job numbers's at the top left;
4 correct?

5 A. D06, yeah.

6 Q. And that's associated with the Destination
7 and specifically the Destination?

8 A. I would assume so, yes.

9 Q. Well, how did you get to that assumption?

10 A. Because he always used to code his jobs, on
11 the tags of the pots so nobody could figure out what
12 boat it was going to. That was his own personal code
13 as a manufacturer. He figured it was nobody's
14 business, thinking that if I saw it, I could copy it
15 and then contact the Destination, hey, I can build
16 your pot for this much.

17 So this cut sheet was in the Eclipse file
18 under the Destination. So I'm assuming that it's for
19 the Destination.

20 Q. Okay. And then the next information to the
21 right is size; right? Can you read that for us? What
22 is that?

23 A. Where am I looking here?

24 Q. To the right of the job number, D06.

25 A. Seven by seven by thirty-four, yes.

1 Q. And the date all the way to the right?

2 A. 3/15/2000.

3 Q. What is the next row?

4 A. Twenty-five.

5 Q. And the weight all the way to the right,
6 what is that?

7 A. Six hundred ninety-eight.

8 Q. Have you been able to verify the
9 calculations on this cut sheet?

10 A. Yes. After I sent it to you I didn't bother
11 to add it up or anything this is what I have, and I
12 had my guy go through it and he came up with a total
13 weight of 721.58.

14 Q. That's about 22lbs more than what's listed
15 here?

16 A. Yep. And I'm assuming how that happened was
17 the combo tunnel was like an add on, okay, and it
18 never got adjusted in the weight on this. This is not
19 Dorian's sales order. In all of his records there was
20 no sales orders provided when he sold the records to
21 the Eclipse --

22 Q. Do you keep sales orders?

23 A. Yes.

24 Q. Did you interact or sell, or refurbish, have
25 any business transactions with Mr. Wilson?

1 A. Yes, I have.

2 Q. Do you have sales orders?

3 A. Yes, I do.

4 Q. Did you bring any of those with you today?

5 A. No. I thumbed through them and I did 50
6 refurbished, probably four or five years ago. I did
7 two batches. One was, it was supposed to be 55 and 56
8 came in and then another batch of 50 came in. And I'd
9 have to look up the dates on those. And I
10 refurbished, you know, ever since -- a little bit
11 before rationalization but in when rationalization
12 started there was 50,000 pots sitting on the beach.
13 It went from 250 vessels, down to around 60 to 80 that
14 currently fish.

15 And kind of that number averages a little
16 bit every year because they're allowed to co-op. All
17 of the other boats got tied up and the owners lease
18 out their quotas to a handful of boats and there's
19 tons and tons of pots on the beach. Over the last 12
20 years, roughly, I have done thousands of them. And I
21 don't analyze them for the weight. I can probably
22 look at one that had never been refurbished and tell
23 you where it came from.

24 Q. Do you provide that information to your
25 customers?

1 A. The weight of a refurbished pot?

2 Q. After you refurbish it, do you give them any
3 kind of written documentation --

4 A. Of the weight? No.

5 Q. -- of the weight?

6 A. No, we don't analyze the weight. We chop
7 out broken steel, bent steel, weld in the same size
8 that was in there, and then we web it to their
9 specifications. And there's -- I've done lots and
10 lots of them. They're a can of worms. I'm currently
11 doing a job for a customer of about 44 pots and there
12 is probably seven different sizes. It's a mixed bag.
13 I don't even know how they can stack it like that.

14 Q. Let me give you the scenario. If I'm a
15 fishing vessel owner and I bring 50 pots to you to
16 refurbish and all of them weigh 700-pounds.

17 A. Yep.

18 Q. Without gear, just webbing and steel.

19 A. Right.

20 Q. It's conceivable that the pots you refurbish
21 may be heavier and even some might be lower; is that
22 right?

23 A. Well, you know, it depends on how long they
24 set at the bottom of the ocean, they rust away. Out
25 of this guy's pile I just did, there was probably two

1 that was kicked to the curb because there was hardly
2 any metal left and I said it's not worth it. We may
3 as well just make you a new pot. And so we chopped
4 them up.

5 Q. So as an order that I just gave you a number
6 of pots to refurbish, you don't give me any paperwork
7 to show how much they finally weigh?

8 A. No. Not on a refurbished pot. No. It
9 would be a lot of work just sitting there and
10 analyzing every pot.

11 Q. Would it be a lot of work for a fishing
12 vessel owner to re-weigh the pot?

13 A. In my understanding, a lot of them weigh
14 their pots, their finished pots with their lines and
15 buoys. So they've got a good idea how many pots to
16 stick onboard based on their, you know, what it says
17 they are allowed to carry, you know. And I've heard
18 at one point in time, this goes back many years, that
19 the Coast Guard was actually boarding the vessels when
20 they had their pre-inspection, that they were
21 physically weighing a pot and looking at what their --
22 what their engineered for what they -- what the
23 vessels are allowed to hold.

24 I thought the Coast Guard was doing that.
25 And I heard that that was, you know, part of their

1 program now. Of course, now it's a can of worms with
2 all of these refurbished pots. I mean, different
3 sizes, shapes, and weights, and I know that pots came
4 from other vessels where I can kind of recognize them,
5 you know. But, you know, it's still cheaper to
6 refurbish a pot than it is to get a new one.

7 Q. Okay. We're absorbing a lot of information
8 here. So I'm --

9 A. I've been doing it for 41 years, so I've got
10 a lot of information. You're asking me some questions
11 that I don't really analyze on a daily basis. You
12 know, I think you -- first question was how many pots
13 have I made? Well, I can tell you that I probably
14 production-wise --

15 Q. I'm most interested in the Destination, of
16 course.

17 A. Yeah, I know. I know. I've probably
18 done --

19 Q. So I heard 2014, '99, '98 and I heard pot
20 weights of 719, 720, 700, 725.

21 A. Yeah. Yeah. Yeah.

22 Q. Okay.

23 A. You know, this year I'm probably at around
24 6,000 units, but that is a lot of black cod pots. I
25 couldn't tell you how many -- I probably made I think

1 only twenty new king pots this year. It's a combo
2 style pot so that they can, you know, we do some pots
3 that are five species pots, so they can use it for,
4 you know, four different species of crab and also fish
5 for fish with them. It saves them money to have a
6 multi-species pot, they don't have to have, you know,
7 twice the amount of gear.

8 Q. Right.

9 A. And that's gotten quite popular over the
10 years. A lot of pots since the, you know, I invented
11 the combo tunnel back in the late '80s, early '90s.
12 Then the cod pot fishery took off and so the guys that
13 did both fisheries would have those combo tunnels.

14 Q. Let's shift over from pots now to what I
15 call the gear.

16 A. Okay.

17 Q. But that's the shots, the buoys?

18 A. Yep.

19 Q. So, if we can turn to Exhibit 164, page
20 three.

21 A. Yep.

22 Q. This was in that file. And have you had a
23 chance to validate this information?

24 A. Yep, uh-huh. I drafted this for you. With
25 all the little bells and whistles on there.

1 Q. So many buoys is in this package here in
2 this sheet?

3 A. Should be two.

4 Q. Can you point to the sheet where that's
5 listed? Is it the LD2?

6 A. LD2 and LD3.

7 Q. And how much does an LD2 buoy weigh?

8 A. It weighs, this information is from the
9 manufacturer LD2 is 508.

10 Q. And LD3?

11 A. Is 808. Those are usually pretty close.
12 They, you know, when they were made they pour a
13 certain amount of the liquid into the mold and then
14 they spin and rotate and it's baked on the inside of
15 the shell, and so that weight should be fairly
16 accurate.

17 Q. So that's the difference between an LD2 and
18 an LD3?

19 A. Is the weight.

20 Q. Is the weight of the plastic or the amount
21 of plastic?

22 A. The buoyancy, the size, the diver buoy is
23 the larger one, that's the one that gets to the main
24 line and then the trailer buoy is the only two that's
25 based, spec'ed out to their specifications some of

1 them want ten fathoms, some of them want seven
2 fathoms. Some of the guys even use a little cork, a
3 little trailer cork buoy like a sponge buoy or a light
4 actual buoy. It just depends on their setup and
5 length of the vessel. That's how they retrieve the
6 gear from the ocean. They throw a hook out between
7 the two buoys and bring it in.

8 Q. Okay. So how many, in this sheet here, how
9 many lines are there or shots?

10 A. There is three. It pretty much -- it's
11 pretty rare that you will see vessel fishing for a
12 opilio crab with anything less than three, maybe two
13 and a half. But as far as I know, you know, we
14 provided the line for -- he started buying my brand of
15 line poly steel which is manufactured in Canada
16 probably in 2002, I think. He's been using that poly
17 and we use the formula for the poly steel. I'm sorry,
18 the hydro-pro sinking line at 31.67.

19 When I thumbed through the records of the
20 Destination, the Eclipse Gear and Supply sold them
21 SSR100. The weight is still 31 pounds and some
22 change, so that 31.67. So real close.

23 Q. Okay.

24 A. Different line manufacturer.

25 Q. For the record just document on this sheet.

1 The two shots -- well, three shots, but...

2 A. Yeah.

3 Q. So if we look at the first item.

4 A. Yep. The floating line. Two 33 fathom
5 shots, 29.17 each, a total of 58.34 combined.

6 Q. Okay. So there's two lines of that type?

7 A. Yeah.

8 Q. And the next one down is?

9 A. The hydro-pro sinking line which is actually
10 SSR100 on his pots. Some of the skippers like their
11 own brands of line or what have you, and I verified
12 the weight of the SSR100, which is a Samson product,
13 Canadian product and it was 31 and maybe a little
14 less, yeah, they're both 31 pounds and some change.

15 Q. Okay. So the total weight of the gear on
16 this sheet is a total on the bottom right?

17 A. Yeah, the miscellaneous and all of the
18 rigging specifications, everything that goes on the --
19 for the rigging -- although, I see my office manager
20 listed the weld on anodes on there at 7.2lbs, and
21 actually my total of, when I totaled this out, my
22 product manager also included the anodes. So you need
23 to take 7 pounds off of that document of the 721. I
24 actually want to furnish you with this, this is my
25 version of this cut sheet. But I see it's doubled

1 here. I got the weld on anodes here and I got the
2 weld on anodes there. So one of those needs to be
3 taken off for your total weight.

4 Q. So subtract 7 pounds from the total weight.

5 A. Yep.

6 Q. And the total weight listed is, for the
7 record?

8 A. Well, there's one that includes the anodes
9 for the pot would be 721.58 okay. And then you're
10 going to take 7.2 pounds off the rigging weight from
11 149.28. So you got to reduce that by 7.2 pounds and
12 that should be your official weight. I was under the
13 understanding you guys managed to retrieve a pot from
14 the wreckage.

15 Q. That's for later on testimony.

16 A. Okay. Okay. So you might be able to just
17 -- well, obviously you can officially weigh one, and
18 actually have a physical weight off of, you know,
19 so...

20 Q. Potentially.

21 A. Yes. Yes.

22 Q. Okay. So let me just ask this: The process
23 for most of your customers and particularly let's just
24 stick with Mr. Wilson. Did he ever approach you and
25 say I need X, Y, Z pot of this dimension and of this

1 weight?

2 A. No, I have never, he never asked me to quote
3 him a price on a pot ever. He was -- they were --

4 Q. So did you -- Mr. Kennedy's pots that you
5 refurbished --

6 A. Oh, yes. I did not build those either.

7 Q. But you refurbished them?

8 A. Yes, I did. And I was asked by David Wilson
9 how much they weighed, and so I analyzed them. I also
10 provided that --

11 Q. So he asked you how much they weighed before
12 he purchased them from you?

13 A. He said, you have any idea how much they
14 weigh and I said, oh, around 700 pounds, okay. So...

15 Q. Did Mr. Wilson pay you for those pots?

16 A. No, he did not. He paid Tim Kennedy
17 directly that transaction. I had nothing to do with
18 that financial transaction.

19 Q. And then Mr. Kennedy paid you for the labor?

20 A. Tim Kennedy, brought the pots in, and asked
21 to refurbish them, how do you want them refurbished
22 to? And actually the frames were in excellent shape.
23 There was no steel work to do on them whatsoever.

24 Q. Did you get any money for the work?

25 A. Yes. Tim Kennedy paid me the fee for

1 re-webbing them, yeah. I actually felt that the pots
2 could have been fished another four or five years
3 before they needed to be refurbished because even the
4 body web was in great shape.

5 Q. Okay. How long does a typical pot last for
6 before it needs --

7 A. Well, typically the first thing typically
8 goes out is the tunnel web around the tunnel areas,
9 they start to wear, to pop holes and they can kind of
10 patch it or so on. And actually you will see that in
11 about seven years. I've probably done refurbished
12 pots that are at least twenty years old, probably more
13 than that.

14 I mean, back when I started, you know, back
15 at White Metal Fab in 1976 and he was using rebar and
16 all sorts of stuff. They were real rustic back then.
17 And I couldn't tell you how much those weighed because
18 that wasn't my specialty at the time. I just put the
19 web on. That was my job that I was hired to do, so...

20 CDR MULLER: Thank you. I have no further
21 questions. I would like to get a copy of what you
22 brought today.

23 THE WITNESS: Yeah.

24 MR. KARR: Can I ask the Recorder to collect
25 that now.

1 THE WITNESS: Yeah, I actually put these
2 together. And if there's any further questions or
3 whatever, I'll be happy to come back. I only ask that
4 I don't come back tomorrow. I'm participating in a
5 fund raiser for the fishermen's memorial for a vessel
6 that went down in the '90s. And I'm taking some
7 clients and I sponsor a few holes. You know, the
8 fishing community is pretty tight.

9 CDR MULLER: Okay.

10 THE WITNESS: Here is, this is my revised
11 version. As long as you note those corrections that I
12 just spotted here going through there. This one you
13 can have it's Destination, it's the Eclipse sale to
14 the Destination it's labeled a 700 pound pot
15 manufactured in 2002, fifteen units. I did the best
16 with this chicken scratch cut sheet, so you can have
17 that one.

18 CDR MULLER: Thank you.

19 THE WITNESS: And then here is my version of
20 what I faxed you. So you have the Mystery Bay, the
21 Eclipse and Dorian. And my version is the fancier
22 version on the front of those.

23 CDR MULLER: Okay.

24 THE WITNESS: And the trend, I mean, I've
25 been doing this a long time, so it's hard to pinpoint,

1 you know, I've seen guys go from six and a half by to
2 seven by, and actually recently this year first time
3 ever for a customer he's going from six and a half
4 by's to seven by's. We're building 30 units. Ten of
5 them for bait and -- exclusively for bait, not with
6 the combo tunnels and then so he's, you know, bigger
7 and heavier.

8 It happens on occasion, you know. And it's
9 up to them how many pots they carry, you know. And
10 you know, everything is all fine. It's a beautiful
11 ride and everything is all good to go until you get
12 into heavy icing conditions and that's when you're
13 asking for trouble. I've done a few trips in the
14 Bering Sea over the years, mainly in the late '90s,
15 early 2000's to do research on different types of
16 gadgetry and try to make a better fishing mousetrap.

17 I kinda got a bad taste in my mouth when
18 they rationalized the fishery. Go from Olympics-style
19 fishery to quotas to catch and so there was no race
20 for fish anymore, to get the fastest fishing pots. So
21 I kinda lost my taste for it a little bit.

22 But I've been up, you know, in icing
23 conditions. I went out and I used ice hammers on the
24 bow of the boat in bad conditions to help out, you
25 know, and helping the guys out. It helped me out to

1 do my little research on the mousetrap to try to make
2 it better or what have you.

3 One season we went all the way up north to
4 get some gear up there and to see how it was doing and
5 we managed to get it and then turned around. We got
6 the gear onboard and then the ice and the wind was on
7 the stern. And we got all the way back down, you
8 know, to where we were going to set them and as we
9 were taking them off the stern, the ones on the very
10 back, stacked a couple stacks on the back, they
11 weren't stacked very high because it was only 40
12 units. Boat could easily carry 250, I think that's
13 what the vessel carries now.

14 The big hundred and eighty foot mud boat
15 roughly, but those pots on the stern, you know, with
16 that ice hitting them, you know, they were literally
17 frozen to the deck and a couple of them they couldn't
18 even set because they were almost blocks of ice. They
19 were so full of ice, they couldn't even get the doors
20 open or the lines and buoys out. And some of them
21 they set, and they almost wanted to float because they
22 set them, you know, to get them off the deck. So, you
23 know, icing conditions is a very awful thing. You
24 know, so...

25 CDR MULLER: Okay. Thank you.

1 THE WITNESS: All right. Thank you.

2 CDR MULLER: Let me now ask if the board
3 members have any questions for you.

4 Mr. Gillette?

5 MR. GILLETTE: Thank you, Commander.

6 DIRECT EXAMINATION

7 BY MR. GILLETTE

8 Q. Good afternoon, Mr. Nylander. My name is
9 James Gillette with the United States Coast Guard.

10 A. Uh-huh.

11 Q. If a crab fisherman comes in and asks to buy
12 a pot from you at 700lbs, do you weigh that pot when
13 you're done making the pot?

14 A. We, you know, it's pretty accurate. We used
15 to a lot, you know, just to see. It was mainly just
16 to see how much weld we were putting into it because,
17 you know, we don't hook something up to analyze how
18 much weld we're putting into it, but I want to know
19 how much weld is going into it because, you know, the
20 weld wire is expensive. You know, I'm actually doing
21 an order right now and it's for cod. Basically the
22 same type of frame, king crab's, you know, frame and
23 they were fishing 600lb box and they decided that that
24 pot wasn't heavy enough for them because it was
25 skipping in the past with the drag of the line on the

1 buoys and skipping and bouncing on the bottom, and
2 moving on them.

3 So they asked to up the weight to 700lbs,
4 from 600 to 700lbs. And then they made a couple of
5 changes. I invented something, which eliminates the
6 heavy door to open and close and it's a purse dump.
7 There's no steel. We sew it right to the frame. So
8 you take that door off, you're actually removing
9 50lbs. And so my production manager asked, well,
10 should I incorporate that weight from the door back
11 into the pot? I said absolutely. He's asking for a
12 700-pound pot?

13 And we crunched the number on it and it's,
14 with the netting and stuff, it's right in there. It's
15 probably maybe 695lbs. And that's probably as close
16 as I can get it. I'd rather do it a little bit under
17 than over.

18 Q. Okay. But do you have any scales?

19 A. Yeah. I got hanging scale and I have a
20 floor scale, but you can't quite get a pot on a
21 hanging scale. I've got it there. I haven't used it
22 in quite sometime. We calculated everything out based
23 on the cut length of the steel. It's a pretty
24 accurate formula. And, you know, it comes right in
25 with what they're asking for.

1 Just like if they want the combo tunnels,
2 it's like okay, you know, it's going to add 15lbs to
3 the weight of your pot. Do you want me to modify the
4 pot to make it, you know, the weight that you had or
5 do you care if it weighs 15lbs heavier. No, I don't
6 care. Just twenty of them for bait.

7 Q. Has anybody called you back and said, hey, I
8 asked for 700, but it was too heavy?

9 A. No.

10 Q. Or too light.

11 A. No. I had a, recently had a comment from
12 one of my customers. I actually, a couple, two years,
13 or no, it was last year, there was a new fishing
14 supply company that came into Seattle here called
15 North American Fishery Supply, and their parent
16 company is Mørenot, the Norwegian based company. They
17 have a huge factory in China. And it was like ten or
18 eleven vessels, 750 units landed in Dutch Harbor
19 directly from China.

20 And, you know, I'm in the know. I know
21 what's going on. It's my industry. And I got the
22 vessel name and so on, so I started calling the
23 customer, it's like hey, what are you doing? You call
24 and get a quote from me. It's like, well, wait a
25 minute, there's a hundred pots there with my boat name

1 on it. I didn't buy a hundred pots from him. There's
2 over half of them there that aren't even sold, the
3 netting and everything was all messed up.

4 And one of the comments from one of the guys
5 that fished 12 -- that got 12 of the pots to try, he
6 said he didn't like them. They seemed really heavy.
7 I personally looked at them on the spit up in Dutch
8 Harbor and they looked heavy to me. I didn't analyze
9 them. But, you know, I think their version is to make
10 the thing beefier so it looks better than mine and
11 heavier. And the pricing was -- it was an inside job,
12 get my pricing and then quote the ship from, straight
13 from China --

14 CDR MULLER: Sir, we're just trying to work
15 on process, not chitchat across Dutch Harbor, pots,
16 you know, we're trying to stay focused on the
17 Destination.

18 THE WITNESS: I understand. Okay.

19 MR. GILLETTE: All right. Thank you,
20 Mr. Nylander.

21 THE WITNESS: Thank you.

22 MR. GILLETTE: No more further questions.

23 CDR MULLER: Thank you.

24 Mr. Karr, NTSB?

25 MR. KARR: Michael Karr.

1 DIRECT EXAMINATION

2 BY MR. KARR

3 Q. How many facilities do you have where you
4 actually do welding and repairs of the crab pots?

5 A. Just one.

6 Q. Just one. And how many employees actually
7 do the repair on the crab pots?

8 A. My whole crew is about 20 now.

9 Q. Okay. Thanks.

10 A. Back in the early '90s it was a hundred, had
11 two shifts going. But the whole industry is charged
12 now, so...

13 CDR MULLER: Nothing further?

14 Okay. Ms. Spivak?

15 MS. SPIVAK: No questions.

16 CDR MULLER: Okay. Well, I think that does
17 it for our questions with you today. Thank you for
18 the additional information that you provided. The
19 Board will take the next few days to take a look at
20 that information, and as such we may have to recall
21 you.

22 THE WITNESS: Yeah, that's perfectly fine.

23 CDR MULLER: Certainly not tomorrow. I'm
24 glad to hear you're doing a fund raiser for a good
25 cause. We will be more in contact with you next week.

1 THE WITNESS: Okay.

2 CDR MULLER: About filling a time slot.

3 THE WITNESS: Okay.

4 CDR MULLER: For future --

5 THE WITNESS: If you have further questions,
6 sure.

7 CDR MULLER: If needed.

8 So I'm going to thank you for your
9 testimony. We are now complete with your testimony
10 for today; however, I anticipate that you may be
11 recalled to provide additional testimony at a later
12 date. Therefore, I'm not releasing you from your
13 testimony at this time, and you remain under oath.
14 Please do not discuss your testimony or this case with
15 anyone other than your counsel, the National
16 Transportation Safety Board or members of this Coast
17 Guard Marine Board of Investigation.

18 If you have any questions about this, you
19 may contact my legal advisor, Commander Tamara Wallen.

20 CDR MULLER: Thank you. Okay. That ends
21 the testimony for today. We will recess and reconvene
22 tomorrow at 9:00. Thank you.

23 (Whereupon, the hearing adjourned for the
24 evening.)

25

1 REPORTER'S CERTIFICATE

2 I, Jeannie A. Milio, Registered Professional
3 Reporter, an Official Court Reporter for the United
4 States Coast Guard, do hereby certify that I
5 stenographically recorded the proceedings in United
6 States Coast Guard's Marine Board of Investigation
7 Formal Hearing RE: Fishing Vessel Destination, held on
8 August 9, 2017, at 9:00 a.m. (PT) at Henry M. Jackson
9 Federal Building, U.S. Coast Guard Thirteenth
10 District, 915 Second Avenue, Seattle, Washington
11 before the U.S.C.G. Marine Board of Investigation.

12 I further certify that the page numbers III-1
13 through III-163 constitute an official transcript of
14 the proceedings as transcribed by me from my
15 stenographic notes to the within typewritten matter in
16 a complete and accurate manner.

17 In witness whereof, I have affixed my signature
18 this 5th day of October, 2017.

19
20
21
22 

23 Jeannie A. Milio, RPR

24 Official Court Reporter

25