

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

* * * * *

Investigation of: *

*

UNION PACIFIC RAILROAD REMOTE *

CONTROL OPERATION YARD DERAILMENT * Accident No.: DCA17FR013

WITH EMPLOYEE FATALITY IN ARLINGTON, *

TEXAS, SEPTEMBER 22, 2017 *

*

* * * * *

Interview of: MARVIN J. ALBERT, II

Hilton Hotel
Arlington, Texas

Monday,
September 25, 2017

APPEARANCES:

GEORGETTA GREGORY, Operations Group Chair
National Transportation Safety Board

STEPHEN JENNER, Ph.D., Human Performance Investigator
National Transportation Safety Board

KELLY M. SEACHORD, Director of Regional Operations
Union Pacific Railroad

KAMRON SAUNDERS, State Legislative Director - Texas
International Association of Sheet Metal, Air, Rail
& Transportation Workers (SMART)

ZACHARY ALLEN, Operations Inspector
Federal Railroad Administration (FRA)

DORIS BEUTEL-GUTHRIE, Senior General Attorney
Union Pacific Railroad
(On behalf of Mr. Albert)

| <u>ITEM</u> | <u>I N D E X</u> | <u>PAGE</u> |
|--------------------------------|------------------|-------------|
| Interview of Marvin J. Albert: | | |
| By Ms. Gregory | | 6 |
| By Mr. Jenner | | 16 |
| By Mr. Seachord | | 21 |
| By Mr. Saunders | | 22 |
| By Mr. Allen | | 25 |
| By Ms. Gregory | | 28 |
| By Mr. Seachord | | 36 |
| By Mr. Saunders | | 37 |
| By Mr. Allen | | 38 |
| By Ms. Gregory | | 39 |
| By Mr. Allen | | 42 |

I N T E R V I E W

1
2 MS. GREGORY: Hi. My name is Georgetta Gregory, G-r-e-g-o-r-
3 y, and I'm the NTSB group chairman for the Operations Group for
4 this accident.

5 We're here today on September the 25th, 2017, at the Hilton
6 Hotel in Arlington, Texas, to conduct an interview with Marvin
7 James Albert, who works for the Union Pacific Railroad. This
8 interview is in conjunction with NTSB's investigation, where there
9 was a remote control yard job of switching cars in the Great
10 Western Union Pacific Yard --

11 UNIDENTIFIED SPEAKER: Great Southwestern.

12 MS. GREGORY: Excuse me. Great Southwestern Yard on the
13 Union Pacific railroad. They were shoving cars into track number
14 1. There was a derailment and an employee fatality.

15 The NTSB accident reference number is DCA17FR013. The
16 purpose of the investigation is to increase safety, not to assign
17 fault, blame, or liability.

18 So before we begin our questions, let's go around the table
19 and introduce ourselves. Please spell your last name, who you
20 represent, and your title. I would like to remind everybody to
21 speak clearly so we can get an accurate recording. I'll start off
22 and then pass off to my right.

23 Again, my name is Georgetta Gregory, and it is
24 G-e-o-r-g-e-t-t-a, Gregory, G-r-e-g-o-r-y. I'm the investigator
25 and I'm serving as the group chairman for the Operations Group for

1 this accident.

2 And I have your permission to record this interview,
3 Mr. Albert?

4 MR. ALBERT: Yes, ma'am.

5 MS. GREGORY: And do you mind if I call you Marvin or Marv?

6 MR. ALBERT: No, ma'am.

7 MS. GREGORY: Which do you prefer?

8 MR. ALBERT: Marv is fine.

9 MS. GREGORY: Marv is fine. Okay. Thank you.

10 And you understand that this transcript would be part of the
11 public docket?

12 MR. ALBERT: Yes, ma'am.

13 MS. GREGORY: And as such, we cannot guarantee any
14 confidentiality.

15 Do you wish to have a representative for this interview?

16 MR. ALBERT: Yes, ma'am.

17 MS. GREGORY: And that representative is?

18 MR. ALBERT: Doris.

19 MS. GREGORY: Doris Beutel, B-e-u-t-e-l, hyphen, Guthrie,
20 G-u-t-h-r-i-e. I'm senior general attorney for Union Pacific.

21 MS. GREGORY: Thank you.

22 And so we'll start to my right here with Mr. Jenner.

23 DR. JENNER: Stephen Jenner, S-t-e-p-h-e-n, J-e-n-n-e-r. I'm
24 a Human Performance Investigator with the NTSB.

25 MR. SEACHORD: Kelly Seachord, S-e-a-c-h-o-r-d, general

1 director of regional ops for the Union Pacific.

2 MR. SAUNDERS: Kamron Saunders, K-a-m-r-o-n, S-a-u-n-d-e-r-s,
3 investigator, SMART TD.

4 MR. ALLEN: Zach Allen, FRA, Z-a-c-h, A-l-l-e-n.

5 MS. GREGORY: And you want to -- Marv, would you --

6 MR. ALBERT: Marvin James Albert, II; A-l-b-e-r-t. I'm
7 senior supervisor of remote control operations for Union Pacific,
8 Fort Worth Service Unit.

9 INTERVIEW OF MARVIN J. ALBERT, III

10 BY MS. GREGORY:

11 Q. Okay. So let's get started now. Marv, could you just give
12 us a good synopsis of your work experience and take us up to you
13 present job, how long you've been in that position?

14 A. I hired out in La Grande, Oregon as a brakeman in 2004,
15 January of 2004. In October of 2005, I applied for and got the
16 Manager of Operating Practices II position in Cheyenne Wyoming. I
17 was promoted to MOP, manager operating practices in Cheyenne a
18 year after that. And then 2 years later, in 2013, I applied for
19 and got the senior manager remote control for Fort Worth Service
20 Unit. That was in -- yeah, in 2013. And then I've been in that
21 position till now.

22 Q. Could you tell us what your job entails, what you do on a
23 daily basis?

24 A. The senior manager of remote control operations kind of
25 oversees the whole remote control program for the service unit,

1 inventorying the RCTs, sending them in when they need fixed,
2 ensuring employees are tested to the federal requirements in
3 CFR 240, 242, and then proficiency testing. I also teach rules
4 classes, hold hearings for discipline. I've been charged with a
5 new hire process from when an employee is put into class, making
6 sure they have their equipment and stuff like that.

7 Q. I'm curious about your training program for remote control
8 operators. So if you could --

9 A. Yes, ma'am.

10 Q. -- describe the training that these -- new hires as well as
11 current employees?

12 A. So when a new hire goes through his conductor phase of that
13 portion, like I said, I just order their equipment, and then I'm
14 not sure exactly what the conductor phase is. I believe it's 9
15 weeks, and then there is some on-the-job training, stuff like
16 that.

17 When they graduate from the conductor certification class,
18 the Fort Worth Service Unit puts them into RCO training to get
19 everybody certified. That includes a 2-week classroom portion
20 followed by a 3-week on-the-job training, and at the end of that 3
21 weeks, that's when they get their certification ride.

22 In the meantime, during that 3 weeks, employees are given a
23 1-hour performance ride to kind of let them know where they stand
24 and what to expect for the certification ride.

25 During that 2-week classroom portion -- and I'm not -- I

1 don't teach that; I'm not qualified to teach that -- there are
2 some tests that I know because we have had washouts due to
3 testing, and I'll just get a notification, hey, this employee
4 didn't pass the mechanical portion of the test, or whatever.

5 Q. So are you familiar with the exact curriculum on what they
6 learn in that 3-week period?

7 A. No, ma'am.

8 Q. So you don't have an overview? Okay. Well, then, can you
9 walk us through the actual RCO operation, you know, starting with
10 when they go on duty, and describe the testing -- the vigilance
11 testing and the whole process that they go through?

12 A. Oh, oh, oh, oh, you mean the -- okay. So when an employee
13 gets called for duty, most of our remote control jobs are -- they
14 know they're a remote control job. So the Union Pacific has a
15 card, and I believe I showed you that --

16 Q. Um-hum. You did. Thank you.

17 A. -- with all the steps that go through. So an employee would
18 take his box from a locked -- we keep them locked in a cabinet
19 with the batteries, and the batteries are designated by day -- or
20 not day, but shift, due to how they charge. So our chargers will
21 drain the batteries and then bring them back up to preserve the
22 life, make them last longer. And that's more of a, you know, a
23 battery conservation type of thing.

24 When they get to the unit, they'll either start the unit
25 because they'll be shut down or sometimes they'll just hand off.

1 Once they get everything set up per that process and now the box
2 is in control of -- is that where'd you like me to go from?

3 Q. Um-hum. Yes.

4 A. So now I got all the air brakes set up so that the box is in
5 control. The first thing they'll do is a -- it's a tilt test.
6 That's part of the link-up process. They won't let you go any
7 further until that test is -- and basically what that does is test
8 the mercury switch inside. And they make you -- it's attached to
9 your vest. You'll bend over 45 degrees, and it'll time out. It
10 takes 5 seconds to time out. Most guys, it'll tilt out a little
11 longer to make sure it catches it. And this is all before the box
12 will do anything.

13 Once that's done, you'll have to recover, set all your
14 settings, basically, to a default position, speed selector and
15 stop, independent brake and release, even though the computer has
16 a full set on it, and then your automatic brakes and release.

17 After that, the employee -- there's a two-step process to
18 continue, and we leave it -- you can do one or the other first.
19 There is no sequence to it. It's either a man down broadcast
20 message where we have a designated channel the employee will go
21 to, and they'll tilt the box out, and at this time it will
22 actually go into emergency. And when it goes into emergency, the
23 radio will broadcast "Operator A is down" or "Operator B is down"
24 depending. For that first test, you have to hear both if there
25 are two boxes linked up.

1 After that, then they'll get on the ground. They'll recover
2 everything, get on the ground, and do a vigilance test. That's
3 where we're testing the vigilance toggles, making sure the box
4 times out in 50 seconds. It starts beeping for 10 seconds. At 60
5 seconds, it'll put a full service -- well, not a full service, but
6 a full set on the box, which is a 20-pound brake pipe reduction.

7 After that, they'll recover all of that, and then they'll
8 do -- conduct a running air brake test. A running air brake test
9 consists of getting the locomotive going. So while they were
10 linking up, they knew all the air brake had enough air to conduct
11 this test. The vigilance test confirmed that the brake shoe is
12 applied.

13 And then they'll get the locomotive moving and go to coast,
14 where it's just kind of free-wheeling. And they'll set a low on
15 the independent and then release it, make sure it sets up, and
16 then they'll feel it grab or see a reduction in speed and then
17 release it to make sure they release.

18 After that, they'll get it up to a higher speed, set a
19 minimum, make sure that the brakes do not set, because it's set up
20 to bail off the locomotive brakes in minimum and light. Go to
21 light, which is a 10-pound set. At that point, they'll go to
22 medium, make sure they see a speed reduction, and then release,
23 make sure they see the -- that it rolls free again. And then
24 that's a complete remote control running air brake test.

25 Q. And so then they're ready to start their day?

1 A. At that time it's ready to start whatever their job is.

2 Q. Thank you. You said you do the performance testing. I think
3 that's the word. Is that the same thing as the field testing
4 exercises?

5 A. Yes, ma'am.

6 Q. Do you recall the last time you observed the crew on this
7 accident train?

8 A. It happened to be -- I want to say September 7th I tested
9 this crew with Mr. Torres, Shipley, and Hodo. And it was actually
10 a new process we have. One of the duties I have is I'm a drone
11 pilot for the company, and we have drones that we can test with.

12 Q. Could you tell us a little more about that and the particular
13 test that you did on this crew?

14 A. So this test on the 7th was done at -- I could bring it up,
15 but we did -- we launched the drone from down at the -- it would
16 be the west end kind of where the incident was. They were working
17 at the east end. I put the drone up. We flew down along the
18 track that he was working. I believe the first employee we saw
19 was Mr. Cero. And I turned that SD card over to Mr. Riddick.

20 Q. I believe I have that now.

21 A. Okay. And I think it was George that we saw first. Well, I
22 think I snapped a few pictures of where we -- I'm trying to
23 remember. It's on the SD card, and it's time-stamped.

24 But anyway, we -- I observed Mr. Cero throw a switch and line
25 some stuff back. The units were moving back and forth. We had

1 the radios listening, red zone, stuff like that, and I believe we
2 found Mr. Beckman down in the track. He was -- I believe he was
3 releasing brakes to take cars out to industry.

4 And I believe on that test, the only thing that we saw for
5 correction was Mr. Cero threw a switch, went to check the points,
6 and when he walked away from the switch, he kind of walked along
7 the tie butts in the foul of the track for a short, very short
8 distance. But we did see that as a training opportunity.

9 Q. And so that activity was the only thing you took exception to
10 during that testing?

11 A. Yes, ma'am.

12 Q. And was that during daylight hours?

13 A. Yes, ma'am.

14 Q. Okay.

15 A. I was trying to remember the right -- I want to say
16 afternoon, because I believe after we debriefed them, they went
17 and got some lunch.

18 Q. Okay. Thank you for that.

19 Let's talk about the Union Pacific rules for a minute. What
20 is an employee required to do to ride on a car? Can you tell us
21 about any restrictions or any requirements on how they're supposed
22 to ride on cars and any kind of training they get for that
23 activity?

24 A. Our GCOR Rule 81.7, and then there are some subcategories of
25 that, an employee would approach the car, inspect where they're

1 going to climb on, climb off, make sure there's no loose hand-
2 holds, and things, and then get a firm grip before they bring it
3 up.

4 The Union Pacific kind of teaches to always have some sort of
5 three-point contact while getting on and off. Holding all four
6 when getting off is a huge -- that is a opportunity we use to
7 coach an employee if they kind of get off and swing off or
8 don't -- we want them to have good solid holds before releasing
9 the car so that they know they're not going to slide down the
10 ballast or lose their footing.

11 Q. So when they're riding on the car, what kind of ergonomics do
12 they -- how do they hold on?

13 A. Okay. So when -- then once they're mounted on the car, we
14 want them to face the direction of movement that they're going.
15 And obviously, if you have an RCO box, you know, you try to hold
16 on and you have to have one hand free to operate the speed
17 selector. So I would expect to see two feet and one hand on the
18 car.

19 Q. So you would expect them to hold the ladder with the hand, or
20 is it more common to hook the arm through?

21 A. A lot of times you'll see a hooked arm. I mean, when I have
22 to operate and ride, that's -- I try to do that also. And it's
23 more comfortable. I'll just -- it's more comfortable that way.

24 Q. Do you have any issue, Marv, with the clearance between the
25 ladder and the side of the car on certain cars to -- are you

1 restricted to get your arm in there at any time?

2 A. There are some cars that, like, I can't get my arm through,
3 and sometimes I get my wrist up and over or -- but there are cars
4 that have shallow -- I guess a shallow depth would be the way to
5 say that.

6 Q. The car in this accident that Mr. Beckman may have been
7 riding on, would that ladder have provided him to hook his arm in
8 there or would he be required to hold on with his hand?

9 A. I didn't see enough room to hook an arm in. I didn't try to
10 stand up there. I didn't want to put dust and stuff on the
11 stirrup. I don't think he would have been able to get his arm
12 through that.

13 Q. And of course we don't know at this point in the
14 investigation where he actually was. Had he been walking to
15 protect the shove and this movement, what had been required under
16 those circumstances?

17 A. If he was walking, the Union Pacific requires that we have
18 a -- we call it a triangle of vision. So from the leading edge of
19 the car that is shoving, he needs to see that and the track that
20 he's going to shove into. If he's going to walk with it, he is
21 not allowed to walk, according to our rules, in front of the
22 shove. So we would expect him -- I would have expected Mr. -- if
23 he was walking, to kind of walk with the knuckle as it's
24 traversing the track.

25 Q. And are there any restrictions on when there are cars on

1 adjacent tracks as far as walking or riding? How do you expect to
2 see them protect the shove under those circumstances?

3 A. If they're riding, we would expect them to use their judgment
4 for clearances. And I do know we have some restrictions in
5 Davidson Yard about what tracks you can ride, what tracks you
6 can't, if there's equipment on an adjacent track. I'm not sure
7 what is in the Great Southwest. But yeah, I would expect an
8 employee to -- and that's another reason we face the direction of
9 the shove, so they can see obstacles coming.

10 Q. And do you do check rides with the RCO operators?

11 A. Yes, ma'am.

12 Q. Do you know the last time you did a check ride with Mr. Cero
13 or Mr. Beckman?

14 A. I want to say I did Mr. Beckman's certification ride, and I
15 do not know when that was.

16 Q. And so you didn't take any exceptions during his
17 certification ride?

18 A. Just because I know my numbers, if it was a certification
19 ride, I probably saw some. I'd have to look it up, ma'am.

20 Q. Okay. Appreciate that. Just --

21 A. You need me to look it up?

22 Q. No, we can get that later.

23 A. Okay.

24 MS. GREGORY: That's all I have. I'm going to hand it off to
25 Steve for a minute and let him ask some of his questions.

1 DR. JENNER: Great.

2 BY DR. JENNER:

3 Q. Steve, Stephen Jenner, NTSB. Thank you for your details so
4 far.

5 We interviewed Mr. Cero yesterday, and he was referring to
6 the remote control box as the green box?

7 A. The green box, yes, sir.

8 Q. Yeah. And he said previous to that, he operated a yellow
9 box. And can you talk about when there was a transition from, you
10 know, from yellow to green?

11 A. Okay. When I showed up on Fort Worth, they had already had
12 the green box. The green box is a Cattron Company box. The
13 yellow box Mr. Cero was referring to was a Canac box, and that was
14 what I was trained on Cheyenne. What I understood was Cattron
15 bought Canac, just wanted one box between the two companies, so
16 they merged and came up with this green box.

17 Q. When did that change occur, that transition occur?

18 A. In Cheyenne, Wyoming, it was in 2007/2008 area, I want to
19 say. And I believe Fort Worth was after that. But again, that's
20 -- I'm guessing 10 years ago, because I think they went by size of
21 service unit, was what I remember the RCO guys that were training
22 us on the green box.

23 Q. So the ones that were used in this yard, you think it was
24 about 10 years for the green box?

25 A. Yes, sir. But a guess --

1 Q. Sure, sure.

2 A. I wasn't here when they transitioned.

3 Q. Have you operated both?

4 A. Yes, sir.

5 Q. I'd appreciate your opinion on differences and plusses and
6 minuses of one versus the other.

7 A. The yellow box was less forgiving as far -- I mean, the green
8 box is easier to figure out problems because it gives you a
9 readout. The yellow box would transmit it over the radio, and if
10 you didn't catch that transmission, you didn't know what was going
11 on with it. So it was difficult to ascertain as far as what
12 faults or glitches there were with the system.

13 As far as the operations go, the buttons are different, but
14 they're all in the same place as the yellow box. A little bit --
15 the yellow box was smaller and -- but as far as the buttons,
16 they're all in the same place. It was an easy transition from the
17 yellow box to the green box as far as ergonomics and muscle
18 memory.

19 Q. Okay. So at least for the last few years, green box has been
20 exclusively used in this year?

21 A. Four years, at least 4 years.

22 Q. At least 4 years, okay.

23 A. Yes, sir. That's when I came, 4 years ago.

24 Q. Again, questions about the use of the box. Do you receive
25 feedback from the people who use them, and if you can walk us

1 through how you get feedback and what you do with that
2 information?

3 A. Most of the feedback that I get is through bad order boxes.
4 Our process here is if a guy has a box -- and let's say he's using
5 the vigilance toggle, and this one -- the right one doesn't work,
6 but the left one does. I have a tag. They'll put the tag on it,
7 put it on the top shelf of the lockers. I try to make a weekly
8 inventory, and that'll be how I fix any problems.

9 As far as the ergonomic stuff, I do hear guys, you know, I
10 wish the toggles were different shapes like the yellow box, I wish
11 it was smaller like the yellow box, I wish it didn't weigh as
12 much. You know, I mean, I didn't design the box so -- I will give
13 feedback to the RCO group if it's a legitimate concern.

14 Like, one of the complaints I got when I first got here was
15 the batteries would fall out. And I sent a bunch back in to get
16 the new plates put on the bottom. They were just worn, because
17 the inventory wasn't done as regularly as I do it now.

18 And I didn't like -- they sent me some rubber tabs to help
19 hold, and I didn't like how those -- because then you had to get
20 something to pry the battery out, which damaged more batteries,
21 and you know, it just wasn't -- that wasn't an acceptable fix to
22 me. So --

23 Q. Okay. Do you have any input in terms of guidance for when
24 employees -- when the RCO operators should be walking when the
25 train is moving versus riding?

1 A. I always tell the -- and -- whatever you're comfortable with,
2 I'm fine with. When I'm doing a ride, they'll ask me where do you
3 want to ride at. And I -- my standard answer is I'm here to
4 observe you. Do whatever you would do if I'm not here, and I'll
5 find a safe place to ride if you're going to ride. I just may
6 need some extra time, you know? So I tell the employee whatever
7 makes you comfortable.

8 Q. What I'm hearing from you, and yesterday, as well, is that,
9 as discussed sometimes, the depth of the ladder from the side of
10 the car varies. And I heard you say that this ladder, that on
11 this car was on the shallow side?

12 A. Yes, sir.

13 Q. Now, we heard that some people like to hook their arms
14 around. That's how they're comfortable. But the option is to
15 secure one hand on the ladder if they can't get their arm around?

16 A. Yes, sir.

17 Q. Do you think that's -- that method of securing the hand is
18 adequate when the train is moving?

19 A. Just one hand?

20 Q. Well, one hand is secure, so you have three points, and one
21 hand free to manipulate the controls.

22 A. I believe it's, I believe it's adequate.

23 Q. Okay. If you -- without naming names or anything, what are
24 some of the more common violations that you'll observe for RCO
25 operations?

1 A. Most of my coaching on rides is -- and I mean, most of my
2 rides are on new-hire employees and managers who don't conduct
3 rides very often or operate the equipment very often. So most of
4 my coaching is during the link-up process, just unfamiliar with
5 the process of linking up, maybe not knowing what the settings on
6 the box are. That's another high coaching.

7 And after that, it gets -- probably gets into safety. On and
8 off equipment is a big one; walking on or near tracks. A lot of
9 times, I'll -- because, I mean, we're multitaskers. I'll find an
10 employee walking and looking at a switch list versus the walking
11 path, and then I'll take that opportunity to correct.

12 Q. As you know, we're just very early on in the investigation of
13 this accident so we don't have any conclusions about what
14 happened, so I'm not asking you for that. But are there any areas
15 that you would be interested in making changes or improvements to
16 either in light of this situation or up and to this situation?

17 A. I can tell you, as far as my program in Fort Worth, I wish my
18 managers would treat RCO operators as they treat engineers, and I
19 just don't get that feeling on that side. And after that, I would
20 probably say the reason is because they're not as familiar with
21 their operations. I would like to see my managers more familiar
22 with the operations of the system, the box. I would like to see
23 managers use it more often. I'll just say it like that.

24 Q. How does that translate to performance or efficiency or
25 safety?

1 A. As far as the managers' understanding?

2 Q. Yes.

3 A. I think if a manager understood, there would be less push for
4 production. They would understand this process takes this amount
5 of time, and then they would know is this employee -- does this
6 employee need help or is this employee, you know -- it just
7 escaped me -- maybe stalling for overtime or something like that.
8 Does that make sense? I had a word in my head and I totally lost
9 it.

10 I mean, we are a production company. We do -- and some of
11 the -- because I'll get phone calls about this process is taking
12 this long, okay, that process should take long. So it -- that's
13 how I feel the managers could --

14 Q. Okay. Just to become more familiar with your overall
15 operations --

16 A. Yes.

17 Q. -- so they can appreciate the time and work that's involved?

18 A. Yes, sir.

19 Q. Okay. Thank you. I appreciate your input there. That's the
20 questions I have for right now.

21 A. Okay.

22 BY MR. SEACHORD:

23 Q. Kelly Seachord, Union Pacific Railroad. So, Marv, on the
24 previous test that you referred to earlier with the drone, were
25 you able to observe either employee ride the equipment?

1 A. No.

2 Q. Okay. Do you -- have you ever heard or do you know of
3 anything in your own personal knowledge, where JP had any medical
4 condition or physical condition that might limit his ability to
5 perform his duties, like ride or anything like that?

6 A. No. JP was a bigger guy, but every time I ever did see him
7 ride, I don't recall ever taking exception.

8 Q. Okay. And so to follow-up a little bit on what you were
9 saying on what you wanted to see the other managers do, so that
10 would just be more in the relationship of -- would it be -- is the
11 reason why you'd like that is so that they could understand how
12 much time it takes for the employee to use RCL and then would have
13 more eyes looking at that to make sure that the employees are all
14 doing it correctly?

15 A. Yes, sir, and then an understanding of the processes. I
16 guess it -- that might not make sense. The step-by-step
17 sequential --

18 Q. It does to me.

19 A. Okay.

20 Q. I understand what you're saying.

21 MR. SEACHORD: Okay. I think that's all the questions I
22 have.

23 BY MR. SAUNDERS:

24 Q. Kamron Saunders with SMART TD. I have a couple questions
25 just for -- because I know absolutely nothing about RCL. You gave

1 me the *Reader's Digest* version out in the field the other day, and
2 I appreciate that.

3 A. Yes, sir.

4 Q. So on a check ride -- and I'm an engineer, and I know how
5 that check ride works. So on a -- and I guess that's what you
6 call it, a check ride?

7 A. A performance evaluation.

8 Q. Okay. So, you know, there is I think a 4-hour or 50-mile
9 minimum on an engineer's check ride. How does that work on the
10 RCL?

11 A. I'm sorry. I should explain. When Georgetta asked me about
12 the certification, a certification ride at the end of a
13 student's -- for his initial certification is a 4-hour ride.
14 Basically with him for half a shift, and then there are criteria
15 on the checklist that you have to see so sometimes it takes
16 longer.

17 After that, you -- that's a certification ride. After that,
18 you have performance rides. Performance rides are 1-hour. The
19 criteria are a lot -- they're -- you don't have to see everything
20 that's on a checklist that's -- on the checklist it's asterisks,
21 you know, the big -- safety, protecting shoves, making sure they
22 have their license, that type of stuff that falls under the
23 federal stuff is what I noticed. And then once every 3 years for
24 a recertification ride, an operator would receive a 2-hour
25 certification ride.

1 Q. Okay. So on a job like Mr. Beckman and Mr. Cero were on, I
2 think they do -- they more or less go to industry?

3 A. Yes, sir.

4 Q. Their cars, they come and go, somebody brings to Great
5 Southwestern Yard. So there's a lot of -- so they -- they'll get
6 their cars together to go to -- I think International Paper was
7 one of them that I heard. And then they get -- they actually ride
8 the engine out to International Paper, but they're still working
9 the box?

10 A. Yes, sir.

11 Q. They don't cut that off and then run the engine?

12 A. No, sir.

13 Q. Okay. So in a thing like that, if you were out doing your
14 ride, there would probably be observation, watching them do that,
15 and then maybe sometime riding on the engine, I'm assuming, or
16 whatever they were doing at that time?

17 A. I could picture that, yes, sir.

18 Q. And then, so you're more or less -- you're over -- you -- I'm
19 assuming you do some check rides, but then you're over a group of
20 managers --

21 A. Yes, sir.

22 Q. -- that do more of the testing and what --

23 A. Yes, sir.

24 Q. What are their titles? Are they MOPs or are they just RCL
25 guys?

1 A. The title -- let me -- the designation is a designated
2 supervisor remote control operator. And their titles can range
3 anywhere from MYO, MTO, MOP, senior MTO, senior MOP, all the
4 way -- I mean, I know I've given directors rides.

5 Q. So it's just -- whether it be an MYO or whatever that's gone
6 and gotten certified so that they can do that?

7 A. So they'll get certified through the Union Pacific's DSRCO
8 requirements, and that's the RCO group out of operating practices.
9 And then once they get done with their classes, I'll watch them do
10 a ride, make sure they're up to the standards of the service unit
11 before I'll have the DRO turn on their designation.

12 MR. SAUNDERS: Okay. All right. I think that's all I have
13 for now.

14 BY MR. ALLEN:

15 Q. Zach Allen with the FRA. Marv, if you recall, since you were
16 out at the scene of the incident, do you remember how many of the
17 locomotives in the consist were RCL-qualified?

18 A. Just one.

19 Q. Now, is the --

20 A. Oh, I'm sorry. I thought you meant the -- how many
21 locomotive in the consist were RCO-capable?

22 Q. Yes.

23 A. One. There were three locomotives. The UP-840 could be
24 linked up with remote control, and I believe both Gensets were
25 conventional.

1 Q. Getting back to the boxes, is there assigned boxes to certain
2 jobs or do they just pick one off the shelf?

3 A. They just pick one off the shelf.

4 Q. And they work for any unit?

5 A. Yes.

6 Q. Any locomotive --

7 A. Any RCL locomotive, yes, sir --

8 Q. Talking about standing on the car -- when we were talking to
9 Mr. Cero, he said it's comfortable for him to climb -- instead
10 of -- he climbs up above the stirrup when he can and puts his feet
11 up on the first ladder rung or hand-hold, whatever you want to
12 call it. Is that kind of a standard practice that you know of or
13 is it just up to the employee?

14 A. That's kind of the comfort of the employee and the
15 characteristics of the car. We do have some rules that would
16 require an employee to get up. Like if they're traversing a road
17 crossing, a grade, they would be required to be above the stirrup.
18 That's just to make sure if somebody runs the gates, it doesn't
19 hit the employee below, you know, with the vehicle.

20 Q. Okay. Is there any rule that says that -- say if they get on
21 the end of the stirrups first and start the move, can they keep
22 climbing up while they're moving?

23 A. If --

24 Q. If they decide it's not comfortable for them to be in the
25 stirrup and want to get back up on that rung, if they're rolling,

1 can they climb up and get into a more comfortable position or do
2 they have to stop?

3 A. If that three-point contact can be maintained, I would say
4 they could climb up.

5 Q. Okay. On the boxes in the day of the incident, do those type
6 of boxes show what the speed is or just the throttle position?

7 A. They can show the speed. There is a toggle sequence you have
8 to go through to get the speed to come out on the little L -- I
9 think it's a LED screen or LCD screen.

10 Q. Okay. And how often, or are they, the RCL boxes, tested and
11 recertified that they're working correctly? Or is there any type
12 of certification process for those?

13 A. I've never heard of any sort of recertification. The boxes
14 are -- every time a shift comes on duty, we go through that
15 process that I walked through earlier. The tilt test,
16 vigilance -- or the man-down test, the vigilance, and a running
17 air brake test every shift.

18 Q. All right. Because it's not like an ETD that has to be
19 recertified every year?

20 A. I don't know what a ETD is.

21 Q. End-of-train device.

22 A. Oh, an EOT? Okay.

23 Q. Everybody's lingo is different. Yeah.

24 A. Okay. No, I do have -- my program, I send them in as -- the
25 program is set up to send them in at least once a year. That's

1 the contract we have with Cattron. And that's just kind of a
2 recalibration. They'll replace worn switches, and things like
3 that. With the inventory that I have and the amount of use that
4 these boxes get, I very seldom have one go overdue. It's -- they
5 usually have a toggle or something go out or a piece will get
6 broke off that I have to send in, and then they'll -- they do
7 their thing. And I believe I turned those maintenance records
8 over for Mr. Beckman's box. I believe you guys have them.

9 Q. Okay. And how about the locomotives? Do they have to be --
10 as far as the remote control equipment itself, does it have to be
11 retested besides each morning or each shift, or is that mechanical
12 and you don't take care of that side of it?

13 A. Our remote control operators can do a locomotive daily
14 inspection. Is that --

15 Q. Well, I didn't know if the RCL equipment itself to verify
16 that it's recertified, like, using the box (indiscernible) the
17 equipment inside the locomotive.

18 A. Other than what they do at the beginning of the shift, we
19 don't test anything else. We have electricians and things that
20 handle that --

21 Q. Right, mechanical guys do it?

22 A. Yeah. He's out of mechanical department, drives that truck.

23 MR. ALLEN: Okay. That's all my questions so far.

24 MS. GREGORY: Okay. Thank you, Mr. Allen.

25 BY MS. GREGORY:

1 Q. This is Georgetta Gregory again. I have a couple of follow-
2 up questions for you, Marv. On Zach's question about the
3 maintenance on the boxes, so if I understand your answer
4 correctly, there's not a scheduled maintenance program; you just
5 send them into the manufacturer if there's a defect?

6 A. I'll get -- like, for instance, like, Big Spring Yard is way
7 out towards Odessa. And they don't operate -- I think they have
8 one job. It doesn't operate very long. I'll get a e-mail from
9 the RCO group. I'm trying to think of her name, but she'll send
10 me an e-mail, hey, this box hasn't been seen by Cattron in however
11 many months, can you swap it out and send it in.

12 Q. Okay. And then, Mr. Jenner asked you about the yellow box
13 and the green box. And another green box was already in use when
14 you came to Fort Worth, but perhaps in other locations that you
15 worked, was there any training or guidance offered to the
16 operators when they got the new box?

17 A. When they got the new box, they brought in a -- I'm speaking
18 about Cheyenne.

19 Q. Um-hum.

20 A. I wasn't in Fort Worth when they transitioned. They brought
21 in a team, and it was every shift we just -- they basically went
22 over what the differences were, what to expect, how the link-up
23 process works, because this -- it -- if I can remember properly,
24 and it's been 10 years since I ran a yellow -- let me see -- 2007,
25 yeah, about 10 years since I ran a Cattron -- a Canac box, the

1 yellow box. I believe there were some -- there's more
2 redundancies built into this green box. You can't -- if this step
3 isn't done, you can't move on to the next step with the green box.

4 Q. So --

5 A. So we had to make sure that they knew the process.

6 Q. So would you characterize the green box as being a safety
7 improvement over the yellow box?

8 A. Definitely.

9 Q. Okay. Good. As far as their personal protective equipment,
10 are they -- are gloves considered part of that personal protective
11 equipment?

12 A. Yes, ma'am.

13 Q. And is there any requirement for them to wear gloves when
14 they're riding on cars?

15 A. Here, lately, one of the bigger coaches that I've been taking
16 about gloves has been while pulling the knife switch. We recently
17 put a rule in that said an employee has to wear glove when pulling
18 knife switches. Riding cars, I would kind of leave that up to the
19 employee if --

20 Q. Okay. And just for the record, could you explain what a
21 knife switch is?

22 A. It's like a big breaker that cuts the battery off from the
23 rest -- it would be like disconnecting your car battery. That
24 way --

25 Q. And that would be in the locomotive?

1 A. Yes, ma'am. That way, you wouldn't drain the battery while
2 the unit is sitting there.

3 Q. Thank you. And you spoke a little bit about the managers and
4 you'd like to see them understand the operation and the process of
5 using the remote control boxes. So I'm curious as to what kind of
6 training do the managers go through?

7 A. After they become a Class 6 operator or an RCO operator,
8 they'll go to a designated supervisor, remote control operations
9 class and -- through the RCO group, the operating practices group.
10 They have their curriculum that they go through.

11 I was a previous -- previously, I was an MOP, so I kind of
12 had -- because they'll review event recorders. They'll review the
13 different tools we have to use the equipment as far as catch on
14 connect and RCL main term for GE yards, GE railyard. And that
15 would allow us to, hey, I'm getting this kind of fault, this is
16 when I got it. You can -- there's ways to search that, and then
17 they have a spreadsheet that says if this fault happens, kind of a
18 flowchart, do this; if it doesn't fix it, do this, you know, to
19 know what to expect.

20 And then, at that time they usually -- at least I did as an
21 MOP -- they took us out to the field. We moved equipment around,
22 practiced precision spotting, things like that, proper ways to
23 protect.

24 Q. And let's see. You made reference to a certification
25 checklist --

1 A. Yes, ma'am.

2 Q. -- when you're doing a certification ride. What kind of
3 things are on that checklist? And would you perhaps provide us
4 with a copy of that checklist?

5 MR. ALBERT: Could we take a break? I need to go to the
6 restroom anyway.

7 MS. GREGORY: Absolutely.

8 MR. ALBERT: And then I can grab one.

9 MS. GREGORY: So we'll let the record show that it is 11:05
10 a.m. Central Daylight Time, and we're going to take a 5-minute
11 break.

12 (Off the record.)

13 (On the record.)

14 MS. GREGORY: Okay. We're going to go back on the record.
15 Let the record show that it is 11:28 a.m. Central Daylight Time.

16 BY MS. GREGORY:

17 Q. And Marv, we were talking about the certification checklist,
18 and you were going to give me some highlights of what was on that
19 list.

20 A. So we have a tablet that has the skill evaluation forms on
21 them. And in the inside cover, it has the criteria and then how
22 many point values we as a company assign to them to decide if it's
23 a passing ride or a not-passing ride.

24 If you get below an 80 percent, it would be a failed skill
25 evaluation, and then we would go into the remedial training and

1 that process. And then each one is carbon copied, and we give a
2 copy to the crewmember if they want to sign it.

3 Q. And you do that once every 3 years?

4 A. No, ma'am. The skill evaluation is once every 180 days at
5 least. So if I do a ride -- like, if I were to do a ride, that
6 employee's days get reset to zero. Then they have 180 days to do
7 another skill evaluation, what we call a performance ride, a 1-
8 hour ride.

9 The certification ride is the same form, but as you see,
10 there's, like, asterisks on some of the criteria. So in order to
11 do a performance ride or a 1-hour ride, this is one of those 180-
12 day checks. And that's part of the C.F.R. 240 I believe it falls
13 under.

14 So I have to see how an employee controls slack. I have to
15 see them make a coupling. I have to see them leave equipment in
16 the clear, use of their independent brakes or not using it when
17 required, other items listed in Chapter 35, which is our remote
18 control rule chapter. I have to see them protect a shove. I have
19 to observe safety rules, watch them operate the speed selector and
20 throw a switch, basically.

21 Q. So, Marv, do you feel that this checklist is comprehensive
22 enough to make sure that they're safe RCOs?

23 A. Oh, yes, ma'am.

24 Q. Thank you. And what is the difference in the checklist for
25 that and the certification ride? I wasn't real clear on that.

1 You just had --

2 A. It's the same.

3 Q. -- additional elements?

4 A. So, then, all the other elements that aren't asterisks would
5 be on the cert ride.

6 Q. Okay.

7 A. And just because it's a 1-hour ride, if I see an employee use
8 automatic brakes or I ask them about their automatic brakes,
9 what's your -- what's the full setting on an automatic brake, if
10 they don't know how many pounds of air that sets, I would take a
11 training opportunity there. If they give me a good job briefing,
12 if they secure cars, I'll put it down even though it's not a
13 required criteria; it's extra. So I give them credit for
14 everything that they do.

15 MS. GREGORY: Could I get you to make sure that Mr. Bittner
16 gets one of those? Or I can take one, whatever is best.

17 MR. SEACHORD: I've already got it noted.

18 MS. GREGORY: Do you have it noted, Kelly?

19 BY MS. GREGORY:

20 Q. Okay. So we'll have that to go along with our record --

21 A. Another thing you were asking me was the -- that test, I did
22 have my copy, or I should say, the original from the 7th.

23 Q. Oh, the one, the FTX (ph) on September the 7th on the --

24 A. Yes, ma'am.

25 Q. And was this the same crew? Was this George Cero and JP

1 Beckman?

2 A. Yes, ma'am. And that is entered in our EQMS system.

3 Q. Okay. Did you take any exceptions on that exercise?

4 A. It says, "When walking away from switch, do not walk foul of
5 track." And that was Mr. Cero.

6 Q. Okay. So there were no exceptions to Mr. Beckman's
7 performance on September the 7th?

8 A. No, ma'am.

9 Q. Great, great.

10 When they're picking cars up out of the industry -- because
11 when we talked to Mr. Cero yesterday, they had gone up to an
12 industry and picked up some cars. What kind of inspection did
13 they do on the cars before they pull them out of the industry?

14 A. One thing they have to do is they -- a safety inspection,
15 walk around the cars, make sure there's nothing dragging, not
16 still hooked up to the facility, whatever it -- I know one of the
17 places is Biagi, which is a beer warehouse. They have to make
18 sure the ramps are up and the doors are closed, things like that.

19 This crew I saw switch with air. I don't know if they
20 conducted an air test, because I don't know exactly what time they
21 picked up those cars.

22 Q. Okay. So they would be required to do an air test, though,
23 just to -- would that just be a set and release when they pull
24 them out of the industry?

25 A. It would be a transfer train air test --

1 Q. Transfer air test? Okay. And then one more question for me.
2 Track 101 in this yard where the derailment happened, is that the
3 track that they build the outbound train in to take the empties or
4 the loads back to one of the classification yards?

5 A. I'm not sure what the T-plan is for that. That would be the
6 transportation side --

7 Q. Okay. I appreciate that.

8 MS. GREGORY: Okay. I'm going to pass it on around the table
9 here.

10 Mr. Jenner?

11 DR. JENNER: I do not have any other questions. Thank you.

12 BY MR. SEACHORD:

13 Q. I have a little bit of follow-up from Kamron's questions
14 about who can evaluate RCL operators. So there's different class
15 -- classes of performance or licensing, is that right?

16 A. Yes, sir.

17 Q. And so for a locomotive engineer, what class is he?

18 A. The locomotive engineer is a Class 1.

19 Q. Okay. If you remember -- and then for an RCL operator, what
20 class is he?

21 A. Six.

22 Q. And so for a supervisor for either one of those two classes,
23 is there a separate qualification for a supervisor for each one of
24 those two classes?

25 A. To get the initial class or to give the class? Maybe I'm

1 misunderstanding --

2 Q. Well, to be a DSRCO or a DSLE. What's the difference between
3 a DSRCO and a DSLE?

4 A. A DSLE is a designated supervisor locomotive engineer. DSRCO
5 is designated supervisor remote control operator.

6 Q. And can you be both?

7 A. Yes, sir. I am both.

8 Q. Is everybody both?

9 A. No, sir.

10 Q. So what is the difference?

11 A. If you only hold a Class 6, which is an RCO license, you can
12 only be a DSRCO. If you have a Class 1 and a Class 6, you could
13 be both. You have to have that license prior to being a
14 designated supervisor, if that was the question.

15 Q. I think that helps me anyhow, so thank you.

16 A. Okay.

17 MR. SEACHORD: That's all the questions I have.

18 BY MR. SAUNDERS:

19 Q. Kamron Saunders, SMART TD.

20 I had a question, and it was brought up earlier, about speed.
21 So I'm assuming that if I was running a box, I wouldn't look down
22 to see my speed? Most of that's done because they do it and
23 they -- you know, to keep under the speed limit, whatever it may
24 be, 10 miles an hour, whatever --

25 A. So remote control operators are really good a feeling those

1 notches. And this is a misconception among a lot of people. The
2 notches on the RCT, or the green box, it's not a throttle. It's a
3 speed request. So if I want to go to -- if I want to start my
4 movement, I would hit my vigilance button, go to "couple," and the
5 Union Pacific sets their couple at 1.8 percent, or 1.8 miles per
6 hour.

7 The unit will start loading it -- the computer will start
8 loading the unit until -- and then when it gets to 1.8 miles per
9 hour, it will start controlling it with throttle modulation and
10 brakes. So, then, if I go to 4, the same process. It would go to
11 4 miles per hour and maintain 4.

12 So a RCO operator, if he knows what speed he's in, he will
13 know what his maximum speed will be.

14 Q. Okay. So it is kind of like -- it's a fail-safe. If I was
15 in 4, there's no way I could get over 10 miles an hour, correct,
16 or it shouldn't --

17 A. If you stay in 4, yes, sir.

18 Q. Yeah. Okay. All right. Thank you.

19 BY MR. ALLEN:

20 Q. Zach Allen.

21 Talking about the speed there, when we were talking to Mr.
22 Cero, this was an unusual situation because normally you only use
23 two locomotives, not three. Would -- with -- how would I say it?
24 Is it governed that it doesn't matter how many locomotives they
25 would have or could they have built up -- can you build up more

1 speed or are they governed or run at a certain speed with all
2 three units whether it's two unit or one unit?

3 A. No, it doesn't matter how many units you have. It would be 4
4 miles an hour if 4 is requested. It's MU'ed (ph) through the
5 computer --

6 Q. So there's no increase of HPT, horsepower?

7 A. Yeah.

8 Q. Okay. I think that was -- that's my only question.

9 A. Okay.

10 Q. Thank you.

11 BY MS. GREGORY:

12 Q. This is Georgetta Gregory again. I just have a couple quick
13 follow-up questions.

14 On the box, the green box -- we'll use Mr. Cero's -- I like
15 that, green box -- the speed control, how many notches are on
16 there? I know you have idle and coast, and you've mentioned 4?

17 A. Okay. I don't have one with me. I'll have to write it down,
18 so seven selectors. And they range -- well, I guess technically
19 eight because there is a stop also.

20 So stop is stop, full independent.

21 Coast B is if the locomotive is already in movement, you can
22 go to coast B. And what that does is put the engine in, like, a
23 free-wheel with a low independent brake setting, and that's just
24 kind of used to control slack.

25 And then coast is just free, all the brakes are released.

1 Now, depending how you go to coast, I understand that -- like, if
2 I'm in speed select 7 and go to coast within a certain amount of
3 time, it'll only let me coast to mile-per-hour 7 is what I
4 understood. I've never tested that. But if I were stopped and
5 went to coast, it'll just release the brakes. And we use that as
6 a securement check. We have to be able to release the independent
7 brakes to make sure the cars are going to hold.

8 Couple, as I said, is 1.8 miles an hour. And then the
9 increments go 4, 7, 10 and 15.

10 Now, there are two different modes on the RCR, so if you're
11 in hump mode, then you have a hump 1 and a hump 2 selector. And
12 those would be coast B and coast, because with humping operations,
13 we don't -- we need to go slower than 1.8 miles an hour, so
14 they'll set those at whatever location. I think we're set at .8
15 and 1.2 for hump 2 for Davidson Yard.

16 Q. So on this box, then, you said it has 10 and 15 are the
17 higher ranges, so does that mean 10 miles per hour and 15 miles
18 per hour?

19 A. Yes, ma'am.

20 Q. And will the box limit the speed to no greater than 15 miles
21 an hour?

22 A. Yes, ma'am.

23 Q. And accordingly, the coast position, it would never exceed
24 either the last speed-control position you were in, and at no time
25 would it ever allow the train to get up over 15 miles an hour?

1 A. Like I said, I never tested that. That's just kind of what I
2 heard --

3 Q. Okay. Okay. Appreciate that.

4 A. -- through the industry at our conferences and things.

5 Q. And you did mention that you would prefer to see the managers
6 supervise the RCO operators and treat them more as if they were
7 engineers, which they do have a Class 6 engineers license. Could
8 you expand on that just a little bit?

9 A. There are sometimes when I feel, and it could be just all the
10 background, that the RCO operations are limiting as compared to if
11 an engineer was running the job. And that could be some of the
12 older mentality of the production side of things.

13 And also I want them to have a better knowledge because,
14 honestly, man, it's just -- it's selfish. It's a better quality-
15 of-life for me. I don't get calls in the middle of the night,
16 hey, this is happening, and we don't know what's going on. And
17 it's -- that's RCT 101. If you would listen to your crew, they're
18 telling you what's happening, you know? And it is -- I just -- as
19 far as the knowledge of the equipment and things like that.

20 As far as the process, they understand the rides, and stuff
21 like that. I don't have any problem with that side of things.
22 It's those, you know, the production questions. If I'm doing a
23 certification ride, I always get the comment that productions
24 suffer that day, you know? And it's -- if I'm doing the ride, I'm
25 doing the ride. It is what it is.

1 Q. Well, thank you for that. And I appreciate your efforts on
2 that.

3 And I have no further questions, Marv. We do want to watch
4 the event recorder, but we can do that after the conclusion.

5 A. Yes, ma'am.

6 MS. GREGORY: Steve, do you have any more questions?

7 DR. JENNER: I do not have other questions.

8 MS. GREGORY: Kelly?

9 MR. SEACHORD: Kelly Seachord, no questions.

10 MR. SAUNDERS: Kamron Saunders, no questions.

11 BY MR. ALLEN:

12 Q. Zach Allen. Just one more question because you got into the
13 speed on your thing. I don't know if you're familiar with the
14 yard, Marv, but do you know what the speed of the yard tracks are
15 in that area, what's required?

16 A. Any time we're -- other than the main track, I know our max
17 is 10.

18 Q. Ten? Okay.

19 A. As far as specifics, that one -- because I haven't done a
20 ride at Great Southwest in a while. I would revisit that if I had
21 to go over there.

22 MS. GREGORY: Okay.

23 MR. ALLEN: I think that's it.

24 MS. GREGORY: Any other questions?

25 (No response)

1 BY MS. GREGORY:

2 Q. Okay. Marv, is there anything you'd like to add, anything
3 that you think we didn't ask you that we should have asked you, or
4 anything you'd just like on the record that could help?

5 A. No. I don't think so. This is a whole new process for me,
6 and I'm good.

7 Q. You're good?

8 MS. GREGORY: Okay. Let the record show that it is 11:45
9 a.m. Central Daylight Time, and this concludes the interview with
10 Marvin James Albert.

11 (Whereupon, the interview was concluded at 11:45 a.m.)

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF: UNION PACIFIC RAILROAD REMOTE
CONTROL OPERATION YARD DERAILMENT
WITH EMPLOYEE FATALITY IN ARLINGTON,
TEXAS, SEPTEMBER 22, 2017
Interview of Marvin J. Albert, II

ACCIDENT NUMBER: DCA17FR013

PLACE: Arlington, Texas

DATE: September 25, 2017

was held according to the record, and that this is the original,
complete, true and accurate transcript which has been transcribed
to the best of my skill and ability.

PII

Danielle VanRiper
Transcriber