

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

* * * * *

Investigation of:

*

*

HOUSE EXPLOSION IN FIRESTONE,
COLORADO, APRIL 17, 2017

*

* Accident No.: DCA17FP005

*

* * * * *

Interview of: DOUGLAS PRUNK

Frederick-Firestone Fire Protection
District Business & Education
Center
Longmont, Colorado

Thursday,
May 11, 2017

APPEARANCES:

RAVI CHHATRE, Investigator in Charge
National Transportation Safety Board

JOSEPH GRATCOFSKY, Engineer
U.S. Department of Transportation
Pipeline and Hazardous Material Safety Administration
(PHMSA)

GBENGA AJIBOYE, General Engineer
Office of Pipeline Safety
Pipeline and Hazardous Materials Safety Administration
(PHMSA)

MICHAEL LEONARD, Quality Assurance Professional
Colorado Oil & Gas Conservation Commission

DAVID PUC CETTI, Fire Investigator
Frederick-Firestone Fire Protection District

KELLY DUKE, General Counsel
Frederick-Firestone Fire Protection District

DAVID McBRIDE, Vice President of Health, Safety &
Environment
Anadarko Petroleum Corporation

<u>ITEM</u>	<u>I N D E X</u>	<u>PAGE</u>
Interview of Douglas Prunk:		
By Mr. Chhatre		6
By Mr. Gratcofsky		72
By Mr. Puccetti		72
By Mr. Gratcofsky		77
By Mr. McBride		78
By Mr. Chhatre		80

I N T E R V I E W

1
2 MR. CHHATRE: Good morning. On the record.

3 Today is Thursday, May 11, 2017. We are currently at the
4 Frederick-Firestone Fire Protection District Business & Education
5 Center located at 8426 Kosmerl Place, Longmont, Colorado. We are
6 meeting regarding the investigation of explosion of a house
7 located at 6312 Twilight Avenue, Firestone, Colorado that occurred
8 on April 17, 2017.

9 My name is Ravi Chhatre. I am with the National
10 Transportation Safety Board located in Washington, D.C. and I am
11 Investigator in Charge of this accident. The NTSB investigation
12 number for this accident is DCA17FP005.

13 I would like to inform, I would like to, I would like to
14 inform everyone present in this room that we are recording this
15 interview and we may transcribe it at a later date. Transcripts
16 will be provided directly to the interviewee for review and
17 identifying any typographical errors. The transcripts, the
18 transcripts may be posted in NTSB's public docket.

19 Also, I would like to inform Fire Marshall Douglas Prunk that
20 you are permitted to have one other person present with you during
21 the interview. This is the person of your choice -- your
22 supervisor, friend, family member or, if you choose, no one at
23 all. Please state for the record your full name, spelling of your
24 name, organization you work for and your title, business contact
25 information such as mailing address, email address, phone, and

1 whom you have chosen to be present with you during your interview.

2 MR. PRUNK: Okay. Douglas J. Prunk. D-O-G-L-A-S [sic], J,
3 Prunk, P-R-U-N-K, [REDACTED].

4 [REDACTED]. My title is Division Chief of Life Safety for the
5 Frederick-Firestone Fire Protection District and my chosen person
6 is Kelly Duke, General Counsel for the district.

7 MR. CHHATRE: Thank you for that. Now I would like to go
8 around and have each person introduce themselves. Please state
9 your name, spelling of your name, your title, and organization
10 that you represent, and your business contact information,
11 starting from my left.

12 MR. GRATCOFSKY: My name is Joseph Gratcofsky, J-O-S-E-P-H,
13 G-R-A-T-C-O-F-S-K-Y. I am an engineer with the U.S. Department of
14 Transportation Pipeline and Hazardous Material Safety
15 Administration in the Western Region. We're out of Lakewood,
16 Colorado. My email address is [REDACTED].
17 Telephone number [REDACTED].

18 MR. AJIBOYE: My name is Gbenga Ajiboye. G-B-E-N-G-A,
19 A-J-I-B-O-Y-E. I'm with PHMSA. I'm also an engineer and I'm
20 training (ph) with Joseph. My contact number is [REDACTED]. My
21 email address is [REDACTED].

22 MR. LEONARD: Mike Leonard, Colorado Oil and Gas Conservation
23 Commission. I'm the Quality Assurance Professional. My name's
24 spelled M-I-K-E, L-E-O-N-A-R-D. My email address is
25 [REDACTED]. Phone number is [REDACTED].

1

[REDACTED].

2

MR. PUCETTI: Dave Pucetti, Division Chief Fire Marshall
Frederick-Firestone Fire Protection District. D-A-V-E,

3

4

P-U-C-C-E-T-T-I. Contact number is [REDACTED]. Email is

5

[REDACTED].

6

MS. DUKE: Kelly Duke, K-E-L-L-E-Y, D-U-K-E, General Counsel
for the Fire Protection District. My address is, or my law firm

7

8

is [REDACTED], that's at [REDACTED],

9

[REDACTED].

10

MR. McBRIDE: David McBride. It's D-A-V-I-D, McBride,

11

M-C-B-R-I-D-E. I'm Vice President, Health Safety and Environment

12

for Anadarko Petroleum Corporation. My email address is

13

[REDACTED]. My phone number is [REDACTED].

14

Office number is [REDACTED].

15

MR. CHHATRE: Thank you.

16

INTERVIEW OF DOUGLAS PRUNK

17

BY MR. CHHATRE:

18

Q. Mr. Prunk, for the record, give us some background, your
formal/informal education, how long you have been in the fire
department, past employment.

19

20

21

A. Okay. Overall I've been in the fire service since 1994.

22

I've been with Frederick-Firestone for 10 years in the capacity

23

all the way from firefighter up through now, Division Chief of

24

Life Safety. My daily activities are the oversight of all the

25

training activities and all the emergency medical activities of

1 the district and I've been in that current position for 6 years.
2 Education through a bachelor's degree in Fire Administration.

3 Q. Thank you. And what are your normal working hours?

4 A. On paper or what I do? Yeah, Tuesday through Friday --

5 Q. Okay.

6 A. -- 7 a.m. to 5 p.m. are my normal business hours.

7 Q. Seven to five?

8 A. Yes.

9 Q. So walk me through how, what involvement was on the accident
10 that occurred on April 17?

11 A. Okay. So that was a Monday which is my normal day off. I
12 live in the fire district and actually I live probably less than
13 half a mile away, three-quarters of a mile away from the actual
14 location.

15 That afternoon I was out in the front yard and I actually
16 heard and felt the explosion. Wasn't sure exactly what it was at
17 the beginning, thought maybe it was a sonic boom or something, so
18 didn't really -- and I didn't have my work phone on me, so I
19 didn't get any immediate alert of the way I normally would because
20 we'd been mowing the lawn and stuff. So, kind of waited.

21 There's a fire station that's actually just a couple hundred
22 yards behind the house and I can't see it but I can hear it, and I
23 could hear the sirens. They started rolling on a call. So I knew
24 something was going on, so I want to go get my phone. By then I
25 had already seen -- I could see the smoke header coming from that

1 location so I just went ahead and -- I had to change clothes real
2 quick or change into something to be able to respond in, and then
3 got in my -- I have a take home work vehicle and I was able to
4 respond straight from the house.

5 Q. Do you recall what time was that?

6 A. That 4 --

7 Q. If you don't, you don't.

8 A. -- 4, yeah. Whatever the, it was within 5 minutes of the
9 actual event.

10 Q. Okay.

11 A. You know, it was 4 or 5 minutes after, because I wasn't an
12 immediate response so it would have been, I don't know what that
13 is, by 5:00 I was --

14 Q. Okay.

15 A. -- on the road for sure.

16 Q. Okay. That's fine. So just walk me through once you get to
17 the car and reach the accident scene. Just tell me what you --

18 A. Yeah, so --

19 Q. -- saw, what you heard.

20 A. -- driving there you could definitely see the header without
21 a doubt. I initially thought that we had an accident at that
22 construction site to the south, the apartment complex. Seemed
23 like more of the actual location of what was going on. And,
24 because my truck had been sitting, my MBT, my mobile data
25 computer, goes to sleep over the weekend so, and it takes it a few

1 minutes. I was actually on-scene before it would get loaded up to
2 give me any information. Lots of fire radio traffic with the
3 crews, obviously, so I didn't even code-up to say that I was
4 enroute or I was on-scene for, I don't know, even know for how
5 long. But for a little while just because the traffic wasn't
6 there and I'm not really a, I'm not a first part of the response
7 package so I don't have to necessarily code-in as, you know,
8 they're not expecting me to get on the radio. So if I get on the
9 radio, I don't know if they think it's a bonus or not, but it's a
10 bonus. I'm extra help.

11 So because I was kind of a little bit behind a few minutes
12 but by the time I got changed and got on the road instead of
13 normally, you know, a lot of time fire department you'll go
14 straight to the first, front side of the house, or we call it the
15 Alpha side which is street side. This was already going slow
16 enough and the traffic was all backed up on Firestone Boulevard so
17 even managing, because I, everybody pulled over to the side of the
18 roads to watch it because you could just see the house easily from
19 a long ways.

20 By then I could tell that it was actually the house explosion
21 and not the apartments. So I chose to go in through the apartment
22 complex construction site to the Charlie side or the C side, the
23 opposite of the street side for Twilight. And it was more of a
24 strategy move to be able to help on the back side.

25 When I came around the corner to where I was going to park, I

1 saw a civilian female that was kind of leaning over the top of
2 somebody laying there. Anyway, met up with her. I parked.
3 Another Mountain View at that time had already, was right -- it
4 just pulled in ahead of me but they went a different direction for
5 a tactical reason. But I saw her there, I saw the civilian and it
6 was Ms. Martinez.

7 So, the civilian -- I could tell she had medical background.
8 She gave me medical size-up like I'd be getting a handoff from a,
9 another paramedic or something like that. Didn't ask what she
10 was, didn't, I knew she was something, right? She was giving me,
11 you know, she's got third degree burns over the whole front of her
12 body. They just got her out from underneath there. Her clothes
13 were melted, you know, whatever type of, the fabric was a
14 polyester type, so it had started to shrink and melt up. Like,
15 she was wearing shorts and like, almost like a, like a sports tank
16 top. It was a nice day, you know, so one of those type, like an
17 athletic type top and that was all, had, a lot of the spots had
18 already, you could tell they were, they were melted and stuff.

19 So dealing with that, I could hear one of the other, the
20 community resource officer, I don't think that's that exact title,
21 community resource officer, her name is Michelle (ph) from the PD
22 and she was kind of coming around the back side and she'd been
23 there. And I'd heard some conversation from somebody to either
24 maybe the other fire engine or officer that was on-scene, I mean
25 they knew who I was because I was in my vehicle and I had already

1 got bunker pants on, so they knew that I was part of it and not
2 just a civilian, but, that we had, a helicopter was going to be
3 ordered. I made sure, and I think I got on the radio. I don't
4 totally remember. But I remember some kind of conversation that I
5 needed an ambulance to the back side, that's where our patient
6 was, one of the patients.

7 Ms. Martinez was concussive, she was repetitive questions of
8 herself, you know, what's going on, where's my kids, where's my
9 husband, what's happening, and then she would start over. And it,
10 and that's very classic of someone that's got a good concussion.
11 She did have, already had skin sloughing and some of that had
12 already taken place which, it was, it looked like she had a bad
13 sunburn before and it was already starting to blister and peel
14 off, so, and this is within three or four minutes or probably five
15 minutes by the time everybody on-scene, five, six minutes.

16 When they were going to fly, they were working on, there's
17 PD, different PD there, police department officers just trying to
18 set up a landing zone for the helicopter. Our first attempt was
19 to still to try to land it on that construction site. There's a
20 decent open pad to the, to the east. But, anyway they, I sent
21 them just to go ahead and set up an LZ, we'll start working on
22 this.

23 The ambulance crew had showed up on-scene which was the
24 second ambulance, I believe, not sure, the real, the heavy smoke,
25 so I couldn't see anything north of the house and it was actually

1 kind of banking down every direction. That night, that day we had
2 a real, a lot of swirling wind. It was not a normal up and
3 intuitive direction. It was, sometimes you'd be in the smoke and
4 then the next time it's going opposite and it was good visibility.
5 But I couldn't really see much more of the house. It was
6 definitely involved. The crews were doing defensive tactics which
7 would be, you know, large hose lines and not making any type of
8 entry into the building anymore. It was already being consumed.

9 So, ambulance shows up on scene, my medic comes up to talk to
10 me and I just said, give me your trauma sheers and go ahead and go
11 get your stuff, you know, go get your beds, your, and blankets and
12 ready to go. So I did the, kept, you know, the bad part about
13 when they're concussive like that is you keep wanting to talk to
14 them because they want answers but the light's on but nobody's
15 home, right? She's not understanding what I'm telling her, other
16 than I -- I'm trying to ask her -- she's asking about a husband,
17 you know, is there anybody else in the house. She's asking about
18 where her kids are and all that stuff. So, we kind of, you don't
19 know when they're going to finally, like, their bell quits being
20 rung, right? So you continue to keep asking in case all of a
21 sudden she does start answering a little bit different than the
22 last time then you know she's coming around. She never really
23 did. She stayed repetitive questioning the whole time, but saying
24 that there was, we knew, you know, she's using kids as in plural,
25 her husband, which led me to think that he's still at least around

1 as opposed to, you know, nobody's home but herself. So relayed
2 that information. Trying to find out where the son is. Somebody
3 had told me that the son was being contained by a family member or
4 something, a neighbor that was also a cousin, that type of stuff.

5 So cut her clothes off, trade her off over to the ambulance
6 crew. They tried to land the helicopter. Because of the smoke
7 and the construction debris they got down to where they were just
8 feet off the ground and they flared because there was stuff coming
9 up and they had to move the landing zone. So I, I'd heard that
10 part going on as well. They moved the landing zone over to the
11 Station 3 property which is, whatever, a half mile from the
12 location and the ambulance was going to go and rendezvous.

13 My next steps were to find the son. They kind of kept
14 saying, you know, he's okay, he's okay, but he's with, he's just
15 very upset. Some, somebody had mentioned that he had almost like
16 a type of anxiety disorder or, in my head I'm thinking he's
17 autistic or something along that lines of that he wasn't, it was
18 more than just, he's upset, like he doesn't handle this situation.
19 He was supposed to be held in the construction site of the place
20 and a different family member, you know, as we've discussed, this
21 family's very large, so there was lots of cousins that you kind of
22 kept getting the, oh, they're with this cousin or they're with
23 this so-and-so. I know it's a family member but it's a different
24 family member than who I thought. So there was some confusion
25 about which cousin had him, but he was in the construction

1 trailer.

2 I head over that way which it's, the full end of the west end
3 of the building that's under construction. So it's equal to
4 probably three or four houses to the west of there and it's still
5 on the property of the apartment complex. We get there and
6 they're, he's not there, right? There's nobody there. Well, a
7 different cousin shows up and she's on the phone, she's, and says
8 well, you know, he's with my husband but my husband took him home.
9 And I said well we got to see him, you know? He's, we got to see
10 him. And there was discussion back and forth with him on the
11 phone that, can I just go to the house instead and I said no you
12 got to come here because we don't have resources to go all over
13 the place.

14 So then that caused some issues because at, by that point
15 there was almost like a, I don't know if on the law side they did
16 some of county alert but I don't, I haven't seen that many law
17 enforcement officers on-scene that quick in a long time. They
18 had, they'd done a great job of cordoning off the area and not
19 letting extra traffic in. But, that being said, my patient
20 couldn't back in very well. So there was a delay of, he gets up
21 there, the officer's not going to let him through the roadblock
22 and we're trying to do radio traffic to get him to say, you know,
23 what kind of vehicle are you driving, what, you know, to let him
24 through this roadblock and not, I wouldn't even guess at the
25 timeframe, you know, time's kind of different in these type of

1 events so, but it was a few minutes, you know, four or five
2 minutes up to 10 minutes before we really got him back there.

3 During that time, still getting some feedback from these
4 other family members that had been around about that there had
5 been some, the husband or the owner had been working on a water
6 heater in the basement. And then finally another one says if
7 there's a black truck parked in, if there's this black Chevy or
8 whatever, but if there's a black truck parked in the front then
9 Joey (ph) is there, too. And called for the IC said, you know,
10 hey we need to confirm, sounds like we might have a second victim
11 in there inside. If this black truck is in the front, we need to
12 assume that there's a second male party inside. And it was
13 confirmed.

14 And so, that situation, the son and the cousin or whatever
15 the person, the male individual that had the son had showed back
16 up, definitely still just an anxiety situation going on more than
17 injured. It didn't, you know, a quick visual look of him, he was,
18 head to toe he was fine but turned him back over to the medic.
19 And this, actually it probably took long enough that we actually
20 flew, we got her to the helicopter, she flew and then I had that
21 ambulance respond back and they actually did the transport of the
22 son.

23 After calling medical direction the doc said, no matter what
24 he looks like, he has to go in. So we did do an option to go
25 ahead and transport him to University Hospital downtown which

1 would not be a normal destination for this, for him, but because
2 mom was already going there they authorized to let the ambulance
3 just go straight through.

4 At that point, a lot of times on these situations I'd become
5 like a safety officer and so I was still starting already, start
6 that role of being a safety officer, scene safety, looking at what
7 we have, what other hazards we have. I met up with the incident
8 commander face-to-face by that point and they'd been, there was
9 some basic task, tactical discussions, I think, on the radio but
10 nothing that like, nothing big at all, more verifying that I knew
11 that utilities were getting taken care of, a lot of the normal
12 process that we do on a structural fire, so, but nothing major.

13 Met up with the incident commander and he said that he was
14 going to stay at the IC post which was about three houses to the
15 west of the explosion house, and he asked me to go ahead and take
16 over operations for a ground operation, so I went over and took
17 over what we call operations with him still being incident
18 command.

19 You know, a defensive attack is, there's not a lot to it, you
20 know, you're pretty much setting up lines to the outside. The
21 guys had a lot of lines already preset up. So there was not,
22 you're basically just trying to put the thing out from the
23 outside. There's not a lot of tactical movement going on at that
24 point.

25 But I do remember, you know, I know that I'd heard early on

1 about the utilities but then when we were still having the fire
2 going, I'm noticing conditions, I'm visualizing conditions as well
3 that our, what we would call in the industry a fuel-fed fire,
4 like, there, there's something else there that's beyond just the
5 normal combustibles inside the house. You know, it had a, the
6 flame had a little bit of a, and it was localized. It wasn't like
7 the whole thing was a different color but there was localized
8 areas that had a different color flame to it than what we would
9 see. Normally you'd see the, kind of the, you know, the more
10 orange type flame and there was more of blues and greens and just
11 different stuff. That can happen sometimes with, if there's,
12 happens be copper in the house or something like that, much like
13 you would through copper into a campfire and it changes the color
14 of the flame for a little bit. But, you know, at that point kind
15 of just more taken as a mental note and that was it.

16 Also noted and heard, I heard myself, was that sound of
17 small, incomplete combustion I guess I would call it, a woofing
18 (ph) sound, an incomplete ignition, I guess. That woofing sound
19 almost like a, if it takes your gas fireplace a little too long to
20 light in the spring and it, it's filled up the chamber with gas a
21 little bit and then it finally catches, it had that same woofing
22 sound and I heard that two times. I heard it the first time,
23 wasn't sure what it was, heard it a second time maybe, again
24 timelines I don't know, 10, 15 minutes apart and I remember
25 calling back to the IC verifying that we had utilities shut off.

1 You know, verifying that we had the gas shut off somehow, knowing
2 that there was stuff kind of falling over.

3 At that point I got ahold of a crew and we had to do some
4 lifting to see what was going on, but it was realized at that
5 point that the natural gas meter had been severed at some point
6 either at the initial explosion or in any of the collapse, so it
7 wasn't even connected anymore.

8 Black Hills Energy had been on-scene already for that, and
9 Black Hills Energy is the gas company, and their, one of the
10 managers, they actually had a pretty good group of guys, there
11 was, and I mean that as size-wise. They were nice guys, too, but
12 a decent response, how about that. There was four or five of them
13 in there right away which is an unusual response. Usually if we
14 have a fire call it's, you request and you get one guy that's
15 going to come out and he's usually the on call guy. But it was
16 either the right timing or whatever. There was a bunch of them.
17 And they re-explained that this was definitely new enough that
18 there was an emergency shut-off valve underground located that if
19 that meter severed that there was a shunt-type valve inside that
20 was going to close off underground. They explained that there,
21 you know, kind of how it works, that if there's an increased purge
22 of gas that it automatically shuts off. And they see that happen
23 sometimes with, like, meter change-outs or something like that.
24 But this was, with it being severed off they were saying that it
25 was turned off.

1 I don't know specifics of other stuff, you know, where there
2 was, again, we were just defensive stuff, trying to put water out,
3 water on to put stuff out. I kept getting reports, we did a,
4 because we knew at that point now we're minimum one fatality based
5 on the husband should have been there, the probability of a second
6 fatality.

7 A lot of these we would maybe, what we would call surround
8 and drowned where we really just dump copious amounts of water on
9 it to get it to put out. This one we were a lot, a lot more
10 strategic about it. Talked with the crews, we put our heavy
11 ladder truck with the bucket, normally that tip of that can flow
12 thousands of gallons a minute and we did all work with hand lines
13 just because we didn't want to be stirring up what was there. We
14 wanted it put out but we didn't want it stirred up.

15 And they kept reporting back, and they're elevated and
16 looking down, that they have a couple hot spots that they still
17 can't put out and it was of this different color flame as well, a
18 little bit. Not really calling out specifics, you could see that
19 there was some up against the Delta wall in the foundation line
20 and then some kind of central around the screw jack or the column
21 post in that area. There was still, obviously, a lot of debris
22 that was still what I, what I would call pancaked. So there was
23 still (indiscernible) stuff come down but there's, it was heavily
24 burned from the event.

25 Kind of wrapping up that night, there was still plenty of

1 walk-arounds. Jerry Means from Colorado Bureau of Investigation
2 had been requested. The Fire Marshall, Dave Puccetti, had showed
3 up on-scene. By, probably by 8:00 that night they were both there
4 and started, although we're still in operations mode, then
5 investigation mode already kind of starts taking place where we're
6 doing kind of just visual surveys of the site, the size of the,
7 the scope of the call and by the end of that night with some basic
8 -- well, let me start back. So, not sure of timelines exactly,
9 again, but that evening it was post-dark so whatever, you know, it
10 was after dark already.

11 Black Hills Energy also, you know, for fear that there was
12 discussion about this water heater from the beginning that there
13 was, they had started doing some air monitoring or monitoring for
14 leak detection. They had their, and this is only, I've only seen
15 this on one other call with us, they had their remote laser
16 methane detection system that they were, that had come on the
17 scene with one of those guys. They don't all carry it. They only
18 kind of bring it in when they think they have different type
19 outside leaks and they're not seeing it with any type of four gas
20 detection. And the one member of Black Hills Energy was walking
21 around, and it's basically a point and shoot type laser monitor.

22 And he started walking the front part of the, of the
23 properties, was not finding any readings at all. And then as we
24 started moving towards, on the Bravo side or the east side into
25 that, which is a park which is adjacent there, walking through and

1 can pretty much just point it at the ground and walk and it'll
2 pick up parts per million of methane type whatever it's
3 calibrated, but methane is what they're usually doing.

4 They started getting readings of LEL levels towards the rear
5 of the property and then moving back around to the, to the
6 property to the west in the back. And they kind of contact me and
7 said, you know, hey we got something going on back here and also
8 at that time they made a comment to me or pointed out to me as
9 well that there was some, it looked like there had been recent
10 locates done. So there was flags, it was dark, you couldn't
11 really see the old paint, but you could see some yellow flags in
12 the backyard of, indicative of a recent utilities locate. Could
13 kind of see that there was some type of fence work being done
14 between the backyard and the apartment complex so we looked at
15 that as just, you know, okay, that would be why the locates were
16 done. And then we saw the way the flags went to, then we kind of,
17 at that point we saw the well containment.

18 And I don't know, honestly, who actually ordered it but
19 somehow it was ordered either through 811 or the utilities, I
20 don't, I don't know. But an Anadarko representative showed up and
21 like I said, some of this was already happening. The IC work
22 separate. I, you know, operations I'm doing just task oriented
23 stuff on the scene and then operations is taking care of whether
24 we need rehab and lights and all that other stuff. So somehow it
25 got ordered an Anadarko representative showed up on-scene and

1 performed a shutdown of that well or a blow down I think is what
2 he called it. For, at that time, my little knowledge, or relative
3 little knowledge of that, I knew what a blow down was, that they
4 were shutting in that well and then they'll evacuate any type of
5 product lines that go between there and the battery.

6 So at that point, when he confirmed that it was shut down we
7 also, in a relatively, you know, shorter amount of time, those
8 pesky hot spots that were inside that foundation were able to be
9 extinguished finally. Like, we were able to finally (ph) get a
10 handle on what was, that final bit of overhaul is what we would
11 call it, we were able to put out all the beds of fire at that
12 point. Still had tons of smoldering and stuff, but that flame
13 that kind of kept popping up seemed to go away at that point.

14 Getting pretty late, Jerry Means from CBI is doing his kind
15 of site walk around and he identifies what he thinks is one of the
16 victims, points it out from the top to Dave Puccetti and myself
17 that we think that there's, we got a party in the east window
18 well. But based on the condition of the, the scene was still
19 unsafe, we, as far as like making any type of entry into the
20 basement it was determined that we would not make any, that entry
21 until daylight. And that's been our common practice. Not even,
22 not, tough to tell, but in the last several years we've really
23 made a conscious effort to switch our investigations. If they're
24 nighttime calls, we wait till morning to start because, one, just
25 the dangers of doing it and then two, it gives it a chance to off

1 gas and that, you know, all that caustic, it just is safer for the
2 investigators and we have better light, and it's just,
3 logistically it's just better to do it in the morning. So we'll
4 usually sit on it, whether it's either the fire department or we
5 have the police department. In this case it was obviously the
6 police department and we sat on the, on it, until daybreak. We
7 knew we'd be back at 6:30 in the morning. So, that's kind of day
8 one. Is that too much?

9 Q. No, no, no, not at all.

10 A. Sorry.

11 Q. Not at all. Please don't cut short anything. I have a
12 couple of questions as clarification here (indiscernible) on your
13 day one. Do you know who the incident commander was?

14 A. Mike Reasoner.

15 Q. How do you spell it?

16 A. R-E-A-S-O-N-E-R. And he's a battalion chief.

17 Q. Okay. R-E-A-S-O-N-E-R?

18 A. Yeah, Reason (indiscernible).

19 MR. CHHATRE: And I think we are going to talk to him, right?

20 MS. DUKE: Yes, he should be here, I think 1:00 today, but
21 have we --

22 MR. CHHATRE: 1:00?

23 MS. DUKE: Yeah, 1:00.

24 MR. CHHATRE: Okay.

25 BY MR. CHHATRE:

1 Q. And you said the incident command was set up three homes
2 away? Was it, which side?

3 A. So it was on Twilight and then, and it might have been two
4 homes, but it was two or three homes to the west of the explosion
5 house.

6 Q. So if I'm facing the front door of ground zero --

7 A. Of Twilight --

8 Q. -- so --

9 A. -- (indiscernible) to the right.

10 Q. The right?

11 A. To the mountains. Remember I told you to the mountains.

12 Q. Right, okay.

13 A. Yeah, to the, to the Delta side of the --

14 Q. So that's my next question. Can you maybe tell me which is
15 Delta, which is Alpha?

16 A. Yeah, yeah. Alpha's front door --

17 Q. Okay.

18 A. Yeah, and then clockwise after that.

19 Q. Okay.

20 A. You have Bravo, Charlie is the rear, and then Delta.

21 Q. Okay.

22 A. And then we would call the house next door will be the Delta
23 exposure.

24 Q. Okay.

25 A. And that house, you know, also had, there was fire efforts on

1 that. It had extension based on just radiant heat. It caught on
2 fire on some of it so there was some fire activities that had to
3 be done with that.

4 Q. So --

5 A. Cutting a whole on the roof, extinguishing the eaves and then
6 looking for hot spots in the attic. But it was put out
7 relatively contained.

8 Q. So then for a clarification, the house next door sounded like
9 Beta exposure and --

10 A. The --

11 Q. -- Charlie exposure --

12 A. -- if there was, but --

13 Q. No, I understand.

14 A. Yeah, yeah. The Bravo exposure in this is the park, is the
15 grass so we had no Bravo exposure.

16 Q. Okay.

17 A. Yeah.

18 Q. And near the construction that is, would be the Charlie
19 exposure side?

20 A. Yes, yes.

21 Q. Okay. And the CBI is what? What the acronym stands for?

22 A. Colorado Bureau of Investigation.

23 Q. And what is their function? Do you know?

24 A. Investigations, they're criminal investigate, they're, we
25 utilize them on higher acuity fire investigations.

1 Q. Okay.

2 A. Jerry Means is a, I don't know what his title technically is,
3 but he's a dog handler, like an arson dog handler --

4 Q. Okay.

5 A. -- and so they're kind of a resource for fire
6 investigators and investigation and stuff and --

7 Q. So they also get automatic call when you said, you know, if
8 you --

9 A. (indiscernible)--

10 Q. -- somebody has to call them?

11 A. Yeah, they have to be notified.

12 Q. Do you remember when Dave Puccetti arrived on the scene? Did
13 you meet him? Do you remember seeing him at the accident scene?

14 A. Yeah. I'm guessing around, it was right around
15 8:00.

16 Q. Okay.

17 A. Eight p.m. is what I'm thinking.

18 Q. Did you have any discussion with him as to what's happening?

19 A. Kind of more --

20 Q. Knowing full well that you guys are very busy --

21 A. Yeah. I mean there was no, like, I mean we had face-to-face
22 discussions and where we were at and kind of the probability that
23 we had a double fatal. I don't remember if Dave himself said that
24 he called Jerry Means, but somehow Jerry was contacted as well.
25 That wasn't originaled by me. So either IC or --

1 Q. Somebody called.

2 A. -- Chief Puccetti contacted him. And Jerry was actually
3 probably on-scene, if I remember right, kind of in the same
4 timeframe. They were, I don't remember, distinguish between which
5 one was one or the other.

6 Q. When you arrived at that building (ph) Charlie side, that's
7 where your car was, right?

8 A. Yes.

9 Q. Did you smell any gas odor, any pungent odor? Anything at
10 all?

11 A. No, there was, it was just house fire. It smelled like house
12 fire. The smoke was that plastic smell of a house fire.

13 Q. Okay. And did you see, did you go near the house at all or
14 you could not go because of the flames?

15 A. So because of my involvement with the patients, I never
16 really had to get past that at the time was a, I guess there was
17 sidewalk in the green belt. I found out later that that was the,
18 that Firestone owns, the town of Firestone owns the green belt and
19 that, at -- my thought was it was still apartment complex so I
20 never made it to the property line of the apartment complex until
21 it had already, they were getting enough water on it that I was
22 never really close enough. I mean, it was, it was still warm but
23 it wasn't part of my normal operations to get close like that.
24 That's, my fire crew's job is to do that. I'm directing them.
25 And at that point it was still, I hadn't been actually given

1 operations by the incident commander yet, so I was still more of
2 in a safety role on the outside and just touching
3 (indiscernible) --

4 Q. And what would it involve, like a ground operations command,
5 what your job will be with the ground operations command?

6 A. For the, for operations? Just tactical, you know, how are we
7 going to put this thing out?

8 Q. Okay.

9 A. And like I said, some of it, because the first arriving
10 officer, which you'll be talking with Don (ph) today as well, you
11 know, they went right to defensive tactics which is stay outside
12 and put a lot of water on it. So like I said before, there wasn't
13 a lot of extra directing other than talking with the crew of the
14 ladder company that, hey, you need to be careful putting the fire
15 out. You know, like don't blow this thing up with water, you
16 know. Put it out but don't disturb it the best you can.

17 Q. So do you remember what time you went home?

18 A. I got home, I don't know, a little after 1:00 a.m.

19 Q. Now I don't want to disturb (ph) your chain of command so go
20 ahead and tell me, walk me through all those, two, three weeks.

21 So, what happened next day?

22 A. So the next day we're back onsite. They'd brought in the
23 command van. We had pretty much all those same players all knew
24 that they were coming back. So Black Hills Energy was still
25 there. A different representative from Anadarko who ended up

1 being Bret Schissler (ph) which I'm sure that's already on your
2 list anyway. So Bret was there and then he had a crew of what I
3 would call pumpers just because that's kind of what I know them as
4 but they're field operators. A different (ph) kind of a crew of
5 them as well and they were doing some, looking at stuff. They had
6 already called in their own line locator at some point. I don't
7 know how that, some of this they were already doing their own
8 diligence. They called in some crews ahead of time to be looking
9 at some stuff.

10 So Anadarko had their own line locator out and he was
11 re-locating that line that came to be the active flow line that
12 leads out of that well enclosure and then runs parallel to the
13 back side of the, Charlie side of those homes. He kind of did a,
14 I remember Bret coming back up kind of more to the front side of
15 the house and meeting with us and said, hey we did a shut-in test
16 on it, it was, like, 15 minutes at 500 psi and it came back good
17 and kind of the, you know, let us know if you need anything, but
18 that line's good.

19 And at first originally I was kind of like, okay, yeah,
20 thanks, we're good, we'll call you to let you know. And then, I,
21 you know, I don't know, I'm not 100 percent sure, but there was
22 still discussion and one of the Black Hills Energy guys said, you
23 know, and he made a suggestion to me. He's like, you know, he,
24 did somebody witness that shut-in test? Are we sure because the
25 Black Hills Energy guys were still very, thinking that we had a

1 gas leak problem, gas, generic gas, not, there was no pointing
2 either way but just that there was some gas readings that were
3 still showing up in the ground behind the building and we didn't
4 know for sure where. Like I said, we were going down a path that
5 we thought well maybe one of the post holes dug through that,
6 drilled through that pipeline, not knowing that the, how high of a
7 pressure of a line it is that if it, you know, at that time, if it
8 would have gotten nicked or not it would have been a bigger issue
9 before this, possibly. So we actually called Bret again and said
10 hey, you know what, can you meet us back over here? So Bret came
11 back and met us at the site and I want to say, I, by that morning
12 from COGCC as well, his first name's Joe and I don't remember
13 Joe's last name, there's a lot of Joes.

14 UNIDENTIFIED SPEAKER: MacLaren.

15 MR. PRUNK: MacLaren? Joe MacLaren was onsite and we kind of
16 pulled him in and kind of still had this, at this point we still
17 kind of had like a huddle of a lot of the individuals. And I
18 remember kind of having a talk with them being still, you know,
19 this is our investigation site, everybody's still kind of here as
20 a representative of their own agency. But in my head I still felt
21 like between Dave and I, and different parts of the property it
22 was our scene to control at that time. And I remember kind of
23 asking, okay, who's the ranking person here out of all of your
24 agencies? And I don't know if Joe stepped forward or everybody
25 else stepped back but Joe was designated as the, from COGCC as

1 pretty much, he's the pipeline guy. You know, like he's my go to
2 person. Discussion again about re-witnessing that, inspection of
3 that flow line and location of it, and he was going to witness
4 that.

5 And then somehow in that process I remember discussing with
6 Bret Schissler again that, when they did a locate that they saw
7 that there was this other, these abandoned lines that go out of
8 that well enclosure straight to the west and head towards the
9 apartment complex. And we were still kind of inside there looking
10 at stuff and he's telling me about how the shut-in's going to
11 work, or the test and stuff. And then we got outside of the
12 enclosure at some point and we were talking about these lines. I
13 said, well let's follow where these old lines go just to see
14 because he was pretty, even though the first one wasn't witnessed,
15 he was pretty confident that the active flow line was good. He's
16 like, it was 15 minutes at 500 psi. That's double, more than
17 double the active, pressure of that line. I don't think this is
18 bad, but we'll do it again for the state, it's no problem. You
19 know, an hour long test. Okay?

20 And so we started talking about these other lines and he's
21 like, yeah well they kind of go up there and they kind of turn.
22 And that whole turn thing kind of made me feel a little weird and
23 I was like, all right so let's go, let's walk these because he
24 even, he pointed out that he had the locator individual locate it
25 with a yellow and white flag separate so that we knew that that

1 was this different oddity.

2 And actually, in there when we were talking about the
3 abandoned, or this other line, this, he's like, well this two inch
4 one's abandoned and this one is what we call a return line, and he
5 started explaining some of the, how that is used at that point.
6 You know, I'm like, well what's, what is the, how is this thing
7 used? And he explained it, that that was, that they use it for,
8 the pressure of it to be like a pneumatic gas, for running a
9 rotary valve that's pneumatically actuated. And he calls it all
10 the automation, to run the automation is basically so that the, it
11 helps the well cycle and that's what causes it.

12 And he called these, well this is kind of, that return line's
13 kind of the old technology because you can, and again, I'm trying
14 to gather a lot of stuff, so it was giving me bits and pieces but
15 I was kind of scabbing it together still. But he was saying that
16 these regulators is actually where it gets it, the pressure from,
17 and that's what runs automation and that was kind of old
18 technology, is that line that goes down, and kind of left it at
19 that.

20 Got out of the enclosure, we followed the line back over and
21 it follows right, and it heads straight west and then it takes a
22 turn out in the parking lot of the apartment complex and then it
23 points right up to the, well, I'd call it the Charlie/Delta corner
24 or the, of the southwest corner of the property at the time. And
25 he says, well this is an old line, the steel line is, they can

1 locate the steel line because it's steel but this other one inch
2 pipe that was, this riser that was stubbed up was, it turns from
3 steel into plastic below grade and they can't physically locate
4 that one. But usually they run in pairs together and they use the
5 big pipe as the locator for the little pipe. Made sense to me,
6 you know, I mean that's valid instead of having like a tracer wire
7 on that poly the way you would on a, like a natural gas line would
8 have.

9 So he shows where it follows and then they lose it in the
10 green belt a little bit, probably about 10, 15 foot from the
11 property line to the south. So the property line between the
12 green belt and the, it's on the opposite, on the north side of the
13 sidewalk but not in the property of the Martinez home. And he
14 says that they lose it right there so we're think, and then at the
15 same time we can also see the other, the perpendicular, right? Is
16 that that way? I was never good at math.

17 So the active flow line is running parallel with the fence
18 line and then this line is coming at it and we've lost it right at
19 that signal. So we don't know, he explains that there's potential
20 that, and actually the locator explained, that there's,
21 potentially you could lose the signal when they cross because it's
22 two steel pipes or it could be that this line is actually truly
23 terminated because these were the old lines. Here's the new line
24 and they dissected it and it's not there anymore. So we're, you
25 know, that definitely kind of came under a thought.

1 Well, that morning was also, although some of that happened
2 kind of at the beginning, some of this overlapping was, body
3 removal was the priority for Tuesday morning. We had the one
4 individual located right away. I'm working with Chief Puccetti.
5 We had set up to do a quick identification of the first, that, to
6 confirm there was a body, not confirming who it was but we had
7 some identifiers by stature of what the individuals were and so we
8 kind of had a guesstimation of who we thought it was, but we knew
9 that we only found one and not the other. With it being based on
10 stature, Joey was noted to be the stockier individual and Mr.
11 Martinez was thin. This was the stockier individual which is, was
12 good and bad for us as a finding for first because obviously he's
13 not the homeowner, right? So now we knew we had two because we
14 were still missing the husband as opposed to the other side we
15 would have, if we would have found Mr. Martinez first, it could
16 have affected, not affected but changed how we maybe were looking
17 or what we were looking for because, you know.

18 BY MR. CHHATRE:

19 Q. So the first victim was identified as --

20 A. Just unofficially by us, it was Mr. Irwin, the plumber.

21 Q. Oh, okay (indiscernible).

22 A. Yeah, so that's why we knew we needed to be looking for a
23 second --

24 Q. Okay.

25 A. -- as opposed to finding the homeowner first and then a

1 strong guesstimation that there was a second. So, found him
2 first, unofficially just between investigators assumed that
3 that's, made the educated guess based on stature that that was the
4 plumber and that we needed to keep looking for Mr. Martinez.

5 And this, like I said, this was systematic, so the body
6 removal, we didn't get done with that until, I don't know if we
7 didn't, it was 2:00 or 3:00 in the afternoon by the time we kind
8 of were able to get everything done.

9 At that point, and a lot of that, kind of even unofficially
10 between Chief Puccetti and myself, Dave was running the house part
11 of the kind of fact finding and the body removal and some of that
12 stuff, working with PD on evidence photographing and all that
13 stuff. He was setting that up and I was kind of more focusing on
14 the pipeline and, you know, what we had going on. Still, at that
15 point just, yeah, I just, there was stuff going on with pipeline
16 stuff but it was always kind of based on focusing on the body
17 removal. But there was, you know, discussion about how some of
18 this other stuff worked while we were doing it because of the time
19 of how long it took to do body location and removal.

20 So still, by that day we ordered up a, and this was some
21 discussions about starting to, you know, we're keying in on this
22 transection of these two lines to just see what we even have there
23 because there was still this line, that one inch poly line from
24 the well had been connected and then, I take that back, so, or I'm
25 going to add to it.

1 At the beginning, that morning, with those, when I said there
2 was a lot Anadarko crews, Bret was on the phone a lot with one of
3 them at the well or the battery side toward the separator. And
4 they were trying to locate that one inch line. And there was
5 discussions back and forth that there was not really a one inch
6 pipe at all stubbed up at the separator. And so this kind of came
7 back to, we have this one inch pipe but we really don't know where
8 it, where it comes out at, but we know that it's connected to the
9 well. And, you know, even though it wasn't officially had, we
10 hadn't officially been questioned, the, there was, the nighttime
11 pumper had said that we had shut stuff in so there was assumption
12 that they, given it got shut off at that night when he shut it in.
13 But that was still us, you know, we're just discussing it.

14 So we have this pipe early in the morning that we don't
15 necessarily know where it goes but it is connected to the well.
16 At this point it is shut off. The second two inch pipe is capped
17 off but it's got a steel, a valve on it, like I, what I call,
18 like, a butterfly valve, or it's a quarter-turn ball valve but
19 it's a bigger industrial valve than, and there was, Bret and his
20 crew were saying that this was probably seized up, that it was
21 frozen, that they would have to do a hot tap to be able to open it
22 to see if there was any type of pressure on it or not.

23 So we, in the process of making all that happen with Joe
24 witnessing a lot of that, Joe from the state, they were working,
25 because we still didn't know if we had gas still, it was more of a

1 safety concern than an investigation at that time. We're still
2 trying to find the cause, or the, if there's this product maybe
3 coming from this well or not and so it kind of went past the, I
4 don't want to say, we needed to make sure that we had everything,
5 all those pipes coming out, they're either shut off or an
6 atmospheric pressure that we knew that there was nothing else on
7 them. So that got worked with Joe while we were still doing body
8 removal stuff. But like I said, the one pipe we did know where it
9 was but the other one looked like it was capped off and going from
10 there.

11 So now we're back to, like, 3:00 in the afternoon, we got the
12 body out, bodies, and the decision with the construction crew that
13 Anadarko uses was they were going to use, so that we didn't hurt
14 anything when we were digging they chose that they wanted us to
15 use a hydrovac system. Big, giant, you know, vac truck that uses
16 a pressure washer type tip to create a slurry so they can vacuum,
17 suck out the soil. Great tool, not real fast. So got us to dark
18 at that point and we pretty much, we, through that process we
19 located the pipe, and when I say located, we visualized the pipe
20 at this point. We can see down, it's about seven foot deep and
21 now when we've located it we found the active product line that
22 runs east and west and now we have two steel lines running north
23 and south and one plastic poly line all intersecting and still
24 continuing. There's no stops, any of that.

25 We found that intersection, let's call it, where they

1 dissected each other, whatever, intersected each other. But there
2 were still no cuts or stops in any of the pipe. It was explained
3 that the second pipe, which would be another product line,
4 probably came from a secondary well which is, that used to be,
5 both used to go to a battery that's north of the complex. We
6 hydrovaced it all the way to the property line of the two, like I
7 said between, now I know that it's Firestone's property. But at
8 the time I thought there was a apartment complex and the property
9 of the Martinez.

10 It was dark at that point and we decided we were going to
11 terminate efforts because now we're on the property line and there
12 was some discussion on, you know, how far we could go and it was
13 just a clarity thing of, you know, it was a good point to stop
14 because we were at the fence line and let's start in the morning.

15 So reconvene in the morning, and I think I said this, like,
16 every day that we were out there felt like you were going to get a
17 lot done every day and we just didn't. It just took a long time
18 to do anything. So now we're, I don't know, that's pretty much it
19 for day two.

20 Day three, still a lot of stuff in the morning, discussions
21 about who's doing what and there as lot of times we didn't even
22 get to start digging until midday almost because just briefings
23 and meeting of the minds and, you know, game plans and who's in
24 charge of what. So a lot of times we didn't get started until
25 after that.

1 So we moved forward into the property line now. Keep heading
2 north and it, and again, we can see that he still can't really
3 locate it. He tried to put a locator magnet, like lower it down
4 onto the steel pipe that's heading north to the house to see if we
5 could see where it ended. And because of the interference of that
6 other line that, they couldn't get a good signal. So we knew we
7 just had to keep visualizing as we kept moving north. We kind of
8 did a little bit of a hop to give ourselves a little bit of space.
9 We moved forward into the property. We had to wait to make sure
10 everything was clear because we were going to have to move, they
11 had poured a relatively new back patio and there was a lot of
12 debris that needed to be moved before we could get further there.

13 But we still had this, oh, that was even, we still had this
14 potential of, I don't know, I'm jumping around a little bit. We
15 were still getting readings, gas readings in the houses, you know,
16 next door and stuff. So we still felt we had, you know, we
17 weren't confirmed that we had our source maybe shut down. So we
18 were still kind of powering through the stuff. We were ordering
19 up environmental testing, soil testing, core tests. Actually that
20 was the next day.

21 So that next day we get all that stuff, we move forward,
22 we're able to get stuff out. Like I said, hours of digging,
23 literally, in a short amount of area. We get to the, where we do
24 finally find the end of the pipe, and we find all three of the
25 pipes mechanically cut at the end approximately six foot from the

1 foundation on the very southern and western corner of the
2 foundation of that house.

3 Q. That was in the morning?

4 A. Huh?

5 Q. When did you --

6 A. That was that night. That night we went until 10:00
7 almost --

8 UNIDENTIFIED SPEAKER: It was 9:30.

9 MR. PRUNK: -- and we, yeah. And what we, what we had
10 problems with is --

11 BY MR. CHHATRE:

12 Q. At the third day or second day?

13 A. This is the third day.

14 Q. Third day at night?

15 A. Yeah. Yeah, about 10:00 at night on Wednesday night. So
16 probably about 9:00 we finally find it. We're starting to get
17 lots of, you can, there's an odor, a lot more now that we're
18 digging towards, as we get closer to the foundation, of just
19 something, you know, just what we would call, like, a product type
20 smell, a petroleum smell we're starting to get there. And once
21 the, and it was kind of, people, you know, and there's several,
22 there's a lot of individuals on this thing as we're digging and
23 every now and then somebody'd be like, oh do you smell that, do
24 you smell that? And everybody's like, ah maybe, maybe not, maybe,
25 you know. And then when we got to where we took kind of that last

1 little bit when we really opened up the end of the pipe, then it
2 was like definitely, yeah we got, you could smell product at the
3 end of those pipes.

4 Because of the way he's moving this thing in the vac, it's,
5 we're only talking, that thing's maybe a foot and a half wide if
6 that. So it's a, it's a trench, it's not even a, you know,
7 excavation at all. It's, we're just following the line and just
8 keep walking or moving on it. And as we get further north, a lot
9 sandier soil, lot sandier soil. And it just was very unstable
10 soil.

11 So the discussion was if we find the end of this thing, or
12 you know, we're going to try to take as many pictures as we can
13 and then we'll have to discuss, because now it's late enough that
14 we're going to, you know, we're up against some property lines,
15 we're up against a foundation and how are we going to excavate
16 this, and as deep as it is. The construction guys were discussing
17 how wide the trench has to be able to walk in. There's discussion
18 on whether we're just going to do shoring instead of mechanisms,
19 stuff like that.

20 So, we get it to where we can visualize it. Everybody gets
21 to get their photographs and it caved in because the soil didn't
22 stand and it just caved in. It was, like, 10:00 at night and
23 we're like, okay we know where we're at, we're done, it's going to
24 be secure, we're going to start this over in the morning. So, and
25 so pretty much we found it, photographed it and then we had to

1 leave it, knowing where the end was but that was it.

2 (indiscernible) --

3 Q. If you think you need a break, let us know.

4 A. Yeah I (indiscernible) --

5 UNIDENTIFIED SPEAKER: We have that ceremony in about 15
6 minutes.

7 MR. PRUNK: Yeah. We'll power to that?

8 MR. CHHATRE: Why don't we --

9 MR. PRUNK: Yeah, I'm fine.

10 MR. CHHATRE: -- just, why don't we just stop now

11 MR. PRUNK: Okay.

12 MR. CHHATRE: -- just in case, in case you got to go to the
13 ceremony (indiscernible) out. It's really up to you guys. If you
14 want to go there --

15 MR. PRUNK: It's a, all right if we want to go another 10, I
16 know --

17 MS. DUKE: Yeah, why don't we go --

18 MR. PRUNK: I know, we're kind --

19 MS. DUKE: -- (indiscernible) going to go, go a little --

20 MR. PRUNK: -- of in a time crunch with the --

21 MR. CHHATRE: You guys tell me (indiscernible) --

22 MR. PRUNK: Well, all we got to do is walk across the hall so
23 we're not, we don't have to go anywhere --

24 MR. CHHATRE: Okay. Okay.

25 MR. PRUNK: -- it's in the building.

1 MR. CHHATRE: Okay.

2 MR. PRUNK: So we're fine.

3 MR. CHHATRE: Okay.

4 MR. PRUNK: I don't know, where it's at. That's Wednesday
5 night --

6 BY MR. CHHATRE:

7 Q. So you said at night you stop. You located the line and --

8 A. Yeah, we stopped but then, but then the trench collapsed on
9 us right away, within a couple, and we, I mean we had trench out
10 there, the ground was just not good right by the foundation
11 because there was still open trench from when we cut the very
12 first night. And it hasn't even, we could see the pipe perfectly
13 in that area but up against the house it was just super soily,
14 sandy and, you know, there was still that off gassing smell. You
15 could smell product of some petroleum type product.

16 Next day, we had, we had some stress (ph) debriefing and
17 stuff, I think, because we're into Wednesday already, right? I'm
18 looking at the calendar.

19 UNIDENTIFIED SPEAKER: Thursday.

20 MR. PRUNK: Thursday already.

21 BY MR. CHHATRE:

22 Q. That would be Thursday, right? █

23 A. Yeah. So, again, every time we thought we were get a bunch
24 done, we didn't get a lot done. It just was a slow, tedious
25 process which was good. I mean, we did it the way needed to.

1 But, so by the end of the next day and by the time we got time to
2 actually, that's when, actually when we did the core samples at
3 that point.

4 So, we knew where it was and that was the day when we did a
5 lot more of the heavy soil sampling. We had an independent,
6 Jeremy Espinoza from his, LD Environmental -- DL --

7 Q. LTE --

8 A. -- LTE Environmental. He did all our sampling. And we had a
9 pretty good laundry list of stuff for him to be sampling all over.
10 So that took quite a while up to and including, we did one full
11 core sample right at the head of the pipes basically within a,
12 less than a square yard area of the, between the foundation and
13 where we had determined the end of the pipes were.

14 He did a, I, you know, I, approximately a, he's got it all
15 documented but, you know, a ten foot hole. We took samples every
16 four feet coming up, or a twelve foot hole, and then every four
17 feet minus the first top four feet. Took those samples, tons of
18 discussion about where this stuff's going, who's taking it.

19 Ultimately all the soil samples, all the gas samples were
20 maintained by him as chain of custody straight to DIG which was
21 the lab, the testing lab that was determined by everyone that we
22 were going to use. So, like I said, that took a long time to get
23 all the sampling done.

24 In that process we were also taking air monitoring samples
25 out of the -- you know, of course, we got to this discussion of

1 how would this gas still enter in the house. Well, I've got a
2 decent construction background before I was a career firefighter.
3 Electrician for 20 plus years and built tons of brand new houses.
4 And so, kind of have a good understanding of what it looks like
5 from literally the ground up.

6 We kind of had a good idea where this thing was going to be
7 severed if it was done at that foundation time when that house was
8 built. I knew that this area has French drain systems which is
9 corrugated pipe that feeds into, it draws out of all the, and
10 especially that new of a house, draws out of all the window wells
11 and then they all T and then form basically a big circle, drainage
12 circle, that dumps into the sump pit inside the basement. Way too
13 much stuff inside the basement to know exactly where the sump pit
14 was at the time.

15 But we did find, easily find the French drain openings in
16 each of the window wells and we took air samples as far as we
17 could get a probe down, a hose probe, without getting into any
18 type of dirt or anything which we documented and measured that it
19 was, we were getting down those pipes, we were able to send a tube
20 down almost four foot down into those and we were getting LEL
21 levels anywhere from fairly low, 25, you know, clear up to
22 pegging the machine 100 percent LEL in the water, in the, in
23 the --

24 Q. That was in the window wells?

25 A. In the window wells. And that was on both the Martinez house

1 as well as the Delta exposure house. As well as, yeah,
2 (indiscernible) missed some of those parts.

3 Earlier on in the week, we were, where a lot of the
4 maintaining, where we were always doing our air sampling or
5 sniffing with the four gas detector was next to any of the
6 penetrations in the foundations in the basement next door. So the
7 basements have rough-in plumbing for shower, stool wall, sink,
8 whatever. All these houses already have a rough built into it,
9 right.


10 Around there, that's just your normal plumbing, white PVC
11 pipe or CPVC and then they take a piece of, like a Styrofoam type
12 wrap and it's a separator, divider, so when they pour the concrete
13 that pipe is independent of the (indiscernible). So you can rock
14 those a little bit. They're sealed off because, you know,
15 obviously.

16 Another option or thought we had was, we had gas coming in
17 through the sewer. That first night the Black Hills Energy guys
18 had opened sewer, you know, manhole covers and we were testing all
19 the sewers and we're finding nothing. But if we leaned against,
20 in the exposure house, if we leaned against those plumbing
21 rough-in pipes and sniffed right at that insulation or that, we
22 were getting clear up to 100 percent LEL readings next door.

23 So we had it, this feeling that it was, you know, it's below,
24 it's not, it's not in the plumbing system, it's in the, in the
25 foundation system instead, of both these homes. And we had no way

1 of doing that type of testing in the exposure house. We still had
2 hot spots and just extensive digging to even get to the foundation
3 at all, or the basement floor. So we were using the one next door
4 as kind of more of our being able to test and see where it was
5 going.

6 So we were getting readings in their sump pit, their French
7 drain system, their floor penetrations. And so those samples were
8 all taken, you know, we all agreed on different areas where we
9 were going to take samples for, to send off to the lab, the core
10 samples. And then finally that evening we were able to go ahead
11 and get dug up and we determined that we were going to just take
12 that poly line, after it was exposed enough, everybody could see
13 tons of footage of it. But we were going to go ahead and, because
14 the trench was pretty unstable still.

15 We just were able to lean  back up, it's, like, sprinkler
16 pipes. So it's flexible. We were going to lean it back up and
17 then go ahead and backfill around the two inch gas lines because
18 we had kind of, through determination with Anadarko and ourselves,
19 that those were truly abandoned lines, they weren't, there was no
20 two inch connected in, to those lines, connected into that area.
21 So we were (indiscernible), you know, relatively based on the
22 findings that we knew that we could still get to those steel pipes
23 if we needed to. But we needed to get this poly line which we
24 knew was connected, or had a strong investigation that it was
25 connected at some point.

1 So we bent that one back up and then we filled the trench in
2 to where we could get it to a working level. We cut off 18 inches
3 of the final end. There was no, there was nothing on the ends of
4 those pipes. There was no what I would call attempts to plug.
5 You know, there was nothing bent over --

6 Q. All three?

7 A. Yeah, there was, all three were just, looked like a, like a
8 Sawzall type, you know, just mechanically cut even at kind of the
9 same angle, you know, based on, they were in a trench and you
10 could just kind of visualize that somebody had raked (ph) in and
11 cut these three, boom, boom, boom, like that. So, but there was
12 no, you know, mechanical plug or there was no fusion cap or, you
13 know, there was no attempt to plug anything off like, yeah,
14 anyway, I'll just stay with that. Got that back up, cut off that
15 18 inches to where we saved that end, it was taken into custody,
16 or evidence, by the PD. Everybody got tons of time to take their
17 photographs of course, (indiscernible).

18 And then at that point we went ahead and, we wanted to start,
19 because we're still not 100 percent sure that this is connected to
20 the well. The construction company, Anadarko's contractor, made a
21 plug system that was fitting to where they could basically put
22 nitrogen or air on it, to where we could start doing some pressure
23 testing between the two. So we still had this fear of not --

24 MR. CHHATRE: Maybe we should stop --

25 MR. PRUNK: That's fine.

1 MR. CHHATRE: -- because I want to have the pressure testing
2 and the previous (indiscernible) --

3 MR. PRUNK: That's fine.

4 MR. CHHATRE: Let me see what my (indiscernible) --

5 (Off the record.)

6 (On the record.)

7 MR. CHHATRE: This is continuation of interview of Chief
8 Douglas Prunk? What was that?

9 MR. PRUNK: Prunk.

10 MR. CHHATRE: Prunk. Okay.

11 BY MR. CHHATRE:

12 Q. I think we left off earlier to accommodate the second
13 interview, but this was -- we were on April 20th, 2-0, and the
14 last thing you were telling was about the (indiscernible) rates.
15 Do you remember?

16 A. Yeah.

17 Q. Or should I go back a little bit?

18 A. No, that's fine. So that was the day that we were doing all
19 the sampling.

20 Q. Environmental sampling you were doing.

21 A. And so we couldn't do a lot of work on the actual pipeline at
22 that time. So the sampling, air sampling was taking place in the
23 French drains. We were able to --

24 Q. By LTD, you said?

25 A. Yes, LTE.

1 UNIDENTIFIED SPEAKER: LTE.

2 MR. CHHATRE: LTE. Okay.

3 UNIDENTIFIED SPEAKER: Yes.

4 MR. PRUNK: Environmental, yeah. LT Environmental.

5 BY MR. CHHATRE:

6 Q. Okay.

7 A. So getting samples in the two French drains that we could get
8 to accessibly easily in the basement, as well as a soil core
9 sample within the vicinity of the tail end of the -- where we
10 found the cut line. So right at the -- within about a yard of the
11 end of the cut that we had identified the day before, but we still
12 hadn't brought anything up yet.

13 Yeah, so then we went ahead and we did those samples,
14 including some samples out of the French drain next door, some --
15 I call it, I guess, the pothole-type air sampling, where they take
16 the ground rod and drive it in the ground and then pull it back
17 out and take an air sample out. They were doing that around and
18 still finding readings of various --

19 Q. Who was doing that?

20 A. That was Jeremy Espinoza from the environmental company was
21 doing that.

22 Q. Okay.

23 A. The only thing he was being assisted by was the Black Hills
24 Energy was actually pounding the hole for him, but then he was
25 doing his own --

1 Q. So (indiscernible) he is not (indiscernible)?

2 A. Yeah. Yeah.

3 Q. Okay.

4 A. Yeah. The data was his, just the mechanics was -- Black
5 Hills was just helping out with it. So like I said, I think we
6 talked about it, but just to reiterate, we ended up getting that
7 piece back up, the 1-inch pipe, got it up, took that end as
8 evidence. And then a pressure end fitting was made for the end of
9 it by Anadarko's contract foreman so to where we could do some
10 pressure testing on it.

11 So because we still weren't a hundred percent sure that that
12 was the pipe, we knew that that other pipe that was at the
13 wellhead had been connected. At this time, all of that has been
14 disconnected from the well, under the observation of Joe from
15 COGCC. Because like I said, we were still under that safety
16 factor of we weren't a hundred percent sure that we had a source
17 stopped. We just knew we had a source.

18 So the concern was we didn't want to just put pressure on a
19 line that we didn't know where it was going in case it was going
20 under a different house and now we would pressurize it. We came
21 up with the idea of actually pulling it in a -- putting it into a
22 vacuum instead, real simple mechanics. We got to the other end,
23 at the well site of the 1-inch pipe that had been, a valve had
24 been put on there. Everything was still there but they had just
25 put a fitting, an air chuck type fitting.

1 We actually just put a, taped a baggie on the end of it, you
2 know, a plastic bag, and we used a vac truck to actually pull a
3 vacuum on that pipe that we had identified next to the house. And
4 we weren't trying to evacuate product or anything. All we wanted
5 to do was see if that bag would move. And instantly it collapsed.

6 You know, it was just like a sandwich bag type bag that we
7 used. It was verified at both ends. We used, like I said, the
8 vac truck and we did some backyard mechanicing to get that to
9 where we could pull a vacuum on that little pipe with the big,
10 giant truck. And we didn't want to collapse anything, so we took
11 it easy, but it moved the bag instantaneously. So we knew we had,
12 well, at least minimum -- it at least went there. We still knew
13 about a potential of a T somewhere in the property of the
14 apartment complex.

15 Q. You did not at that time?

16 A. No, we knew that there was some type of a connection because
17 we were missing one of the black pipes. Based on some of the
18 feedback from the technicians, the operators -- Bret was our
19 subject matter expert, as well, that we were utilizing. He said
20 it would have possibly been common that the two steels would still
21 go to the old battery, but somewhere along the way they would have
22 merged those two polys from the two separate wells, east and west,
23 with some kind of fitting, union, something to make only one have
24 to go all the way. Because it wasn't moving product, it needs a
25 relatively low amount, so it didn't have to be two lines

1 independently going.

2 So we at least knew that there was a continuity at least back
3 to the well, but we weren't a hundred percent sure about the other
4 area. We went in and switched gears since we knew we had
5 continuity between those two. We switched to let's go ahead and
6 put pressure, put nitrogen on it and see if we can get it to hold
7 to see if we were at the end. It was taking upwards to, you know,
8 like 10, 12 psi of nitrogen on that line, and then as soon as we'd
9 let off it would drop down, but then it would kind of hold it, not
10 necessarily hold, but it would drop down to about 5 and then be
11 really slow below that. Talking with the construction foreman,
12 there was --

13 MR. CHHATRE: Would it help if we use that drawing? Does
14 that drawing show the pipes that he's talking about?

15 UNIDENTIFIED SPEAKER: I was there.

16 MR. CHHATRE: No, no, no, I'm saying --

17 MR. PRUNK: For anybody --

18 MR. CHHATRE: -- for the transcriber, if we can use that as
19 an attachment. The drawing that you have in your binder, will
20 that show all these pipes he's talking about?

21 UNIDENTIFIED SPEAKER: Yeah, I don't have that file. We
22 won't have that until tomorrow.

23 MR. CHHATRE: Okay. All right. Don't worry about it.

24 MR. PRUNK: Okay. Anybody else need more explanation on
25 that? We're good? We know which one we're talking about, right?

1 Okay.

2 So we put pressure at the wellhead side. So we went back
3 to -- we're not vacuuming anymore. We're going to pressure. We
4 capped at the house that piece that was stuck up.

5 BY MR. CHHATRE:

6 Q. Right.

7 A. And then we went to where we're going to push nitrogen at the
8 well site, the well configuration. It would not hold a definitive
9 pressure. There was discussion about if there was fluid in the
10 line from our process of doing the hydrovacating, because it makes
11 that slurry. And there was some mud in that pipe when we had cut
12 it loose, so we knew there was potential that there could have
13 been water. That may have been affecting our pressures and not
14 letting it really equalize because you're pushing against an air
15 bubble. Lots of discussion. We discussed it a lot.

16 But really, nobody was feeling super comfortable that it was
17 a continuous -- you know, like nobody would say, yep, there's no
18 leaks. And that pretty much -- I think that closed that day out,
19 for the most part. I don't think we did anything else. We had
20 continuity. We knew it was going from one end to the other, and
21 that's kind of where we're at. I'm just looking at my dates here
22 real quick.

23 Friday, the 21st, was very limited on site. We had, by that
24 point, Patty Dixon, Detective Dixon for Firestone PD had started
25 setting up interviews with some of the Anadarko employees. And so

1 that kind of dictated the day. I don't think we did a lot of --
2 if I remember right, we didn't do -- I don't know, the days all
3 blend together, but I don't think we really did much digging or
4 site work on that day.

5 We had the interviews. First was Bret from Anadarko, and
6 then second was going to be Steven, and I don't remember his name,
7 who is the contract pumper at the time, or of the time of the
8 incident. There was a misunderstanding a little bit on our part
9 that he was actually a contract employee and not a true Anadarko
10 employee, and there was discussion about his legal representation
11 or not, and who Anadarko was covering. So it ended up being
12 suspended. Instead of interviewing him without good
13 representation, regardless of his choice, we suspended that. And
14 that was pretty much our Friday.

15 I don't know. Like I said, it's blending all together. We
16 didn't do any site work over the weekend, so then now we're, like,
17 to the 24th. The 24th and 25th was more of we need -- the
18 attempts were we need to get to this T, this union, this whatever
19 is underground so where we could verify that second line, if there
20 was one, or if we had a leak somewhere else. Again, because we're
21 trying not to hurt anything, and it's 7-foot deep, we were
22 hydrovacating for two more days.

23 That first day, the 24th, was a lot of in the spots and we
24 would find it and we would just kind of keep moving up until we
25 got to a point where we knew we were going to have to start

1 cutting pavement, concrete out in that parking lot, and it kind of
2 got to where we had to be, you know, working with the property
3 owner, who had been gracious with this the whole time. We had no
4 problems ever with the apartment complex, but now we're cutting up
5 the parking lot. Now it's a different deal than just parking some
6 trucks. So there was some logistics of getting that prepared and
7 being able to pull up pavement. So that ended up happening by
8 probably, actually, Wednesday, Tuesday/Wednesday.

9 Q. So that would be --

10 MR. PRUNK: Right? I think.

11 UNIDENTIFIED SPEAKER: Um-hum.

12 UNIDENTIFIED SPEAKER: Tuesday.

13 MR. PRUNK: Yeah, Tuesday was --

14 UNIDENTIFIED SPEAKER: Well, I'll just help you. In my
15 notes, it was Tuesday when we started cutting.

16 MR. PRUNK: With that pavement. And we still didn't even
17 actually -- yeah. Again, every time I thought we'd get a lot
18 farther, we didn't get as far. It just took a long time to do it.
19 So Tuesday, pavement up, and then we did finally locate the T and
20 we were able to -- because that, again, had to be excavated back
21 long enough that -- or at the right angle of oppose to be able to
22 climb down in there without doing shoring.

23 So a big hole, pretty deep. Everything was intact. We did
24 find a fusion-type T, which was, based on what my experts on scene
25 was telling me, was typical of that type pipe installation. There

1 was nothing noted as an oddity of that T at all. So then we
2 isolated the T out to where we could pressure -- actually, we left
3 part of the T in.

4 BY MR. CHHATRE:

5 Q. This is Ravi.

6 A. Yes.

7 Q. You had a 1-inch pipe?

8 A. Yes, 1-inch plastic pipe.

9 Q. And that's where you discovered the T?

10 A. Yes.

11 Q. Okay.

12 A. And it's about two parking spots into that parking lot where
13 we had removed everything. So we were -- we located it. We went
14 ahead and cut it. We were unsure if there was a true -- if it had
15 been cut underneath the apartment complex that it was being built,
16 even though that was slab grade, no basement.

17 So, what we were doing a lot of the times is when we would
18 get to a spot that we had stuff open, we would take 175-foot
19 electrical fish tape and shove it down the lines and then use it
20 as like a tracer wire internally, inside that pipe, to see if we
21 had continuity, how far we could push it. And we were able to
22 push it clear the whole length of that 175 foot, so we knew that
23 it was continuous underneath the apartment building. We didn't
24 have any problems that there was potential of, you know, whatever,
25 a severed spot underneath any of the buildings. So a lot of that

1 was taking that time of doing all that.

2 So, then we ended up leaving part of the T in. We cut
3 pressure-fitted -- or effused pressure fittings back in, as well,
4 so we could start doing air testing.

5 Q. Can you draw a sketch on a piece of paper and we'll put that
6 as an exhibit?

7 MR. PRUNK: See, these guys hand me pens, Dave. You just
8 take them out of my pocket. You have one in your pocket. Give me
9 my pen. That's right. That was on the record, right? The
10 transcriber is like, ah, people.

11 (Pause.)

12 BY MR. CHHATRE:

13 Q. Draw the lines.

14 A. So, do you want just what's inside that pit in the parking
15 lot or do you want --

16 Q. No, just in the parking lot. Anywhere you cut it, just show
17 it.

18 A. Okay.

19 Q. If you want a pencil, you can get a pencil so you can erase
20 if you make a mistake, if you want.

21 A. Okay.

22 Q. And use some reference (indiscernible).

23 A. Yeah.

24 (Pause.)

25 Okay. So the Martinez house, and then the exposure house,

1 and then not to scale.

2 Q. No, of course not.

3 A. I call that the well. So there's a window well right here on
4 this, and then there's another window well right there that we did
5 our testing out of. And the property, like I said, not to scale,
6 but the property line is pretty much like this, and then it stops,
7 technically, because this is the park. Those lines terminate
8 right at about the edge of the -- within about a foot of the
9 window well. And it's the two -- there are two lines, and they
10 come out. Let's just say this parking lot kind of curves around
11 like this, and then there's some space -- well, yeah.

12 Q. Just label them parking lots.

13 A. Yeah. And then this apartment sits pretty much like this.
14 And as this goes down this driveway, then this side there's --
15 these are garage units for the apartments, carports.

16 Q. (Indiscernible) apartments, right?

17 A. Yeah. So these two lines come in. This one comes out and
18 bends. Okay, I need the other pencil. Sorry. This one comes out
19 like this and then it goes to the road. This second line comes
20 in. And really, the well is a little bit farther this way.

21 Q. We can move that.

22 A. So they both bend like this. They're in an arc, a good-sized
23 arc, so that there's no fittings, and then it goes back to the
24 well.

25 Q. They are 2-inch, right?

1 A. These are the 2-inch, yep. Okay. And then a single 1-inch,
2 which I don't know how we can make them different, but a second 1-
3 inch comes in like this. And then there's a T-type fitting right
4 there, and then only one line continues with these like that. So
5 that's two 2-inches and a 1-inch.

6 Q. I guess identify the 1-inch (indiscernible) easier.

7 A. I'll put poly just so --

8 Q. Yep.

9 A. Okay. And then off of this other T, then these two share the
10 same trench, and there's a 1-inch and 2-inch all the way in these
11 ones. So these two share a trench. These two share a trench.

12 So our first cut, we found this down here. We came back 18
13 inches. We only removed 18 inches of that, or the length of
14 whatever's in -- it's pretty much 18 inches, but --

15 Q. Yeah. Yep, approximately 18 inches.

16 A. Yes.

17 Q. Yeah, 1 to 2 feet.

18 A. Okay. So then we did a pressure effusion right here, back to
19 here. That's how we pulled the vacuum. But we didn't know
20 anything of this yet, of this T, other than we thought that there
21 was some type of union. It was not unearthed yet. We pulled a
22 good vacuum, but it would not hold pressure.

23 Q. Right.

24 A. Okay? So then by the time we got to the Tuesday, you know, a
25 couple other, we would do -- we were doing this pothole. We're

1 looking for stuff. We're trying not to tear up concrete. We're
2 looking to see if we can maybe find this, because we were having
3 trouble with the locates as well.

4 And part of this even, to see what was going on, we pushed a
5 fish tape through this after we did vacuum and pressure and it
6 failed. Well, I could push 175 foot again, but all it told us is
7 we could get past a union. We could feel it. You could feel how
8 far -- like even laying out you knew you hit something, but then
9 it kept on going. So we weren't sure, really, if it was going
10 this way or that way because the locates just wouldn't work
11 because that steel pipe pretty much smokes everything else from
12 happening. But we knew that we could make it through. But this
13 was a hard T. There was no way that it was going to go -- after
14 this, hindsight, there was no way it was going to turn west. So
15 what we ended up doing is just pushing around this corner again.

16 So once we unearthed this T here, cut the fittings, we left
17 the straight-through part of the T. We didn't break that. We cut
18 out here a foot and we did two, so they were side-by-side like
19 this, and we put the two pressure fittings on those so we kept
20 this as a continuous -- so we even basically tested the two sides
21 of that T, if you know what I mean. Like, so you have your
22 follow-through of a T, and then your T off?

23 Q. Right.

24 A. So we did not -- we left these ones intact and we cut this
25 way.

1 Q. Okay.

2 A. Pressure fitting on those two. Tape measure again -- or I'm
3 sorry, fish tape. That's when we said okay, at least we know
4 we're good past the building. That saved us from possibly any --
5 whatever problems that could be underneath that apartment complex.

6 Q. But I mean, just by passing the tape doesn't mean there are
7 no other perforations.

8 A. But at least -- we're going down the path of, like, major
9 severs, you know, like from foundation work like we had seen here.

10 Q. Okay.

11 A. So you're correct, there could have been a failure, but there
12 was no gross stoppage of the pipe.

13 Q. This is Ravi with NTSB. No, what I'm saying is, if you have
14 a pipe and the pipe is -- just like here, it's cut, completely
15 severed, you can still pass your line through.

16 A. No.

17 Q. You cannot?

18 A. The soil, it wouldn't go through the soil.

19 Q. No, no, no, I didn't mean they're 1 foot apart. I'm just
20 saying if I -- they're close to each other, right?

21 A. Sure. Yes.

22 Q. The line would still go through.

23 A. Yes.

24 Q. So I guess what I'm saying, I mean, all you can tell by doing
25 this is it's not completely plugged.

1 A. Sure.

2 Q. But that doesn't basically assure that --

3 A. Right then it didn't.

4 Q. Okay.

5 A. Okay, so we did that first, and then right away we put
6 pressure fittings on it and we pressure-fitted between -- so we
7 had it capped off here, and we had it capped off here, this time.
8 And just because of logistics, we did all of our nitrogen work in
9 that pit so we didn't have to haul bottles and pressure trees
10 around.

11 Q. Sure.

12 A. All the pressurizing got done here. So as soon as we
13 isolated that T, we had 5 psi hold for 15 minutes without a drop.
14 So we knew we were solid between here and her. Here and west,
15 again we could not hold the pressure. Okay? So we knew we could
16 pass. I understand what you're saying. We knew we could pass 175
17 foot of tape, but we could not get it to hold pressure. We had it
18 located on the other side of the building, we still had it located
19 clear out to Oak Meadows over there, and so that was the end of
20 that day. And then the next day, so now we're to -- I know
21 Thursday is when we cut the well out.

22 UNIDENTIFIED SPEAKER: That took almost all day.

23 MR. PRUNK: Yeah. Yeah. Like everything. So kind of
24 suspended that operation for right then. We didn't have any
25 leaks. We didn't have any LELs that we were finding in any of

1 these pits that we had dug. We didn't feel that there was any
2 more -- we feel pretty isolated at this point that we haven't --
3 we don't have a source that we're not in control of anymore.

4 By this time, the warrants had taken place to go ahead and do
5 the removal of the piping of significance off the wellhead. And
6 like I said, that was a better-part-of-a-day project, as well, to
7 get rid of that out of that deal. That was all taken in by the
8 police department and booked into evidence and all that stuff.

9 At the tail end of that, they were starting to -- the next
10 plan working with Bret was we were going to go out onto just east
11 of Oak Meadows Boulevard before we had to tear up any concrete
12 again. We had a good locate by Topside Locate, Service Locate,
13 and we went -- and they were starting to locate that pipe with
14 just the hydro knife again. And that took a process that they
15 finished up kind of at night, but then we weren't -- we haven't
16 done any more after that.

17 So then the next day, finally, out at Oak Meadows Boulevard,
18 we opened that up. That pipe was close to right at 12 foot deep.
19 I mean, not -- as near as we could -- you know, doing a quick --
20 it wasn't surveyed at the depth, but it was tape measure and a
21 straight line, it was right at about 12 foot deep. And got down
22 there, had no readings of LELs or anything like that in the pit at
23 12 foot deep. That had to be a big old, you know, 12 foot by 45
24 degrees or better, or 30 degrees. It's a big hole.

25 Got down there, cut that line, put a pressure fitting to face

1 back towards the house, and pressure tested it between here and
2 there and we got 5 psi and it held just fine. So over the period
3 of two weeks we've isolated back clear to Oak Meadows. We took
4 the fish tape, at this point, and pushed it further west under the
5 road, and we could only get about, oh, less than 5 feet into the
6 road past the curb and gutter and then we were stuck. So we hit
7 soil or we hit a plug. And based on some history of the town,
8 that sewer line had probably been through there and was more than
9 16 foot deep. It would have transected that line at that point,
10 and we knew that we were at the end of our line on that side. And
11 that's pretty much where we had stopped with the exhuming of the
12 pipe, of that pipe.

13 Q. So with the problem you had in not maintaining the pressure
14 here was likely beyond this point where you guys cut?

15 A. Yes.

16 Q. Because you had cut the line?

17 A. Yes.

18 Q. Okay.

19 A. Yes. Because we were able to isolate it just short of the
20 road with the pressure cap and pressurize it again between here
21 and here and it held. And then when it was isolated, it was
22 pressurized between those two and it held. But I would -- we
23 didn't pressurize under the road because we knew we'd already hit,
24 you know, like -- it wasn't going to hold if we pressurized -- if
25 we put another fusion cap and pressurized under the road, we knew

1 it wasn't going to hold, because that's where our leak had been,
2 probably, from the beginning.

3 Q. The greenish pipe (indiscernible)?

4 A. Yes. But the 2-inch pipes have never been pressure tested.
5 They were only brought to atmospheric. They were hot-tapped, the
6 valves were hot-tapped and then they were recapped just to make
7 sure it was at that -- so we never put any pressure on those.
8 Because we had no place that we could tell that they were ever
9 connected to a well at that point. Because we were able to locate
10 those. The only spot that we lost our locate between the far west
11 well, which is like the Coors-something-dash-13, and this well is
12 Coors-something-dash-14.

13 UNIDENTIFIED SPEAKER: 6-14 and 6-13.

14 MR. PRUNK: Yeah. Yeah. So we could -- there was that
15 middle section of the road that he lost his signal, so we had
16 steel coming and then we lost it just in the middle of the road,
17 and then we were able to pick steel back up on the other side. So
18 we were reasonably comfortable with that there was continuity
19 minus the missing piece that sewer work took out 15-plus years
20 ago. And it was far enough away from homes anymore that we didn't
21 feel that we needed to bring it up right away. If it's going to
22 come open, it will be opened at a different time and we didn't
23 need to do it as part of our investigation.

24 Let me see here. So, where did we make it to, 28?

25 UNIDENTIFIED SPEAKER: This is --

1 MR. PRUNK: 7?

2 UNIDENTIFIED SPEAKER: -- 26 was --

3 MR. PRUNK: I think we did more.

4 UNIDENTIFIED SPEAKER: -- was the last day. We did the
5 excavation the 26th, at the road.

6 MR. PRUNK: I don't remember anything major or significant
7 that I had after that support type stuff until we got to where we
8 went in to dig inside the foundation at that point. And Dave was
9 heading that portion up and I was just assisting with it. Our
10 next goal was to find the sump pit in the basement, and that was a
11 day process as well. But like I said, I was more in a support
12 role on that, so I would defer to Dave on those. But I was there
13 for that and kind of chasing it around the foundation until we
14 found it.

15 I was witness to -- we had Jeremy from the survey -- or the
16 sampling company was back out for that day, and we took samples
17 out of the sump pit. We did have one of the lines coming into
18 there max the machine when he drew it, so I know that we had
19 positive findings there, and then that was kind of the end of that
20 part of that week. Like I said, there was nothing significant
21 going on. Every now and then there were surveys happening out
22 there and we'd show up, or line locates.

23 And there wasn't a lot of other action until we got to
24 Thursday, with more of the setting stuff up for getting ready to
25 have the excavation of the gas appliances. And then Friday I

1 was -- I had left Friday on vacation for a long weekend, so I
2 wasn't back again.

3 BY MR. CHHATRE:

4 Q. Now, the line from that road where you cut it to the other
5 well, they still -- both heads cracked in the ground, they're not
6 capped on either side?

7 A. Yeah, the last cap that we have is the east side of the road
8 and it's the east direction one. There's nothing that's been done
9 to the opposite site. It was marked and filled back in because it
10 was quite the crater and it was right up against the sidewalk.

11 Q. Sure.

12 A. And there was just kind of a safety issue concern of leaving
13 that big hole open.

14 Q. And you had documented the cut ends?

15 A. Yes.

16 Q. Of the 1-inch?

17 A. Yes.

18 Q. Did you document the cut ends of the other 2-inch lines?
19 Granted, they are out, they were pulled out, but did you document,
20 do any photographic documentation of the other two?

21 A. The only 2-inch that I've ever seen -- these are not cut.
22 There's no cuts here. The only severed 2-inch pipe that I've ever
23 seen is right there, and then these two ends have caps and valves.

24 Q. Right. So was this end documented, photographed?

25 A. With photographs, yeah.

1 Q. Okay.

2 A. Yeah. Copious amounts of photographs.

3 Q. Okay.

4 A. So, yeah. But no, this under the road has not been earthed
5 to -- unearthed to see.

6 Q. You've got to blame technology for too many photographs,
7 because these didn't cost you anything.

8 A. No, I know.

9 Q. (Indiscernible) like a picture, you can't believe it.

10 A. Yeah. Yeah.

11 Q. Now, what ultimate test you did? Were you there to help
12 Dave? You had to take a gas sample that we are going to check and
13 compare.

14 MR. PUCETTI: Was Doug there to help?

15 MR. CHHATRE: Yeah.

16 MR. PRUNK: For the sump pit or where?

17 BY MR. CHHATRE:

18 Q. Well, I understand some gas samples were collected.

19 A. Yes.

20 Q. At the well location and at the --

21 A. Yes. Yes.

22 Q. So on that.

23 A. Yeah, so the --

24 Q. (Indiscernible) you go over that yet, so --

25 A. Yeah, no, like I said, we were able to utilize the same

1 technician to draw every time. Kind of early on, there was
2 discussion between us and Anadarko verifying what types of testing
3 was going to be looked for, any unknown peaks and, you know, like
4 what the sample is supposed to be looking for, what lab they were
5 going to use. And it was agreed on to use the DIG, initially. So
6 those were all done by those. I witnessed -- the only stuff that
7 I didn't witness was the first draw off the wells. That just kind
8 of happened. And I don't know, I saw the -- they call those
9 something-tubes.

10 UNIDENTIFIED SPEAKER: Isometric tubes?

11 MR. PRUNK: Iso tubes. So I didn't witness those come off,
12 but all of a sudden he had them. He was keeping track of all
13 that. But I witnessed the second time. Because we had to use a
14 secondary lab because the first lab couldn't identify --

15 UNIDENTIFIED SPEAKER: The mercaptans.

16 MR. PRUNK: Yeah, the mercaptans. Sorry, what's the other
17 base -- I'm losing my --

18 UNIDENTIFIED SPEAKER: Sulfur.

19 MR. PRUNK: Sulfur. They were not able to do sulfur, so we
20 had to do a second draw. The second lab, although they could have
21 done the test with the iso tubes that we sent, they were not the
22 standard type that they like to use with fittings on them. They
23 would have had to -- it would be destructive to get into them, so
24 they requested if we could pull with their own tubes for the
25 second lab. So that was the only non -- and it was still the same

1 technician. He just used a different type of iso tube so that he
2 could pull their standard off the top of the wells.

3 All the other samples, I was witness to Jeremy pulling all of
4 the other. We pulled two of everything. We pulled a soil sample;
5 a long discussion about what to do with it. We took it as a we
6 don't know what we don't know. And we didn't want to not take a
7 soil sample even though there was some argument of whether or not
8 it would ever be valid or usable down the road. It was kind of at
9 that point where everybody agreed, well, let's just take it and
10 we'll protect it at the lab, and then if somebody wants it or
11 knows of a different type testing, it could possibly be used.

12 BY MR. CHHATRE:

13 Q. Those samples are also at the lab?

14 A. DIG is holding anything that even wasn't used. So there was
15 duals of everything taken, one was used for testing, and then was
16 used -- or kept as a --

17 Q. Now, when you say dual samples (indiscernible) separate
18 samples or one sample split into two?

19 A. No, two separate bags. Like, every -- you know, he would
20 pull a bag, document the two different bags. Yeah.

21 Q. All right. Anything you want to add?

22 A. I don't know. I'll probably tell you tonight when I wake up.

23 Q. That's fine. I'll be here for two days.

24 A. I know. I know. I know.

25 Q. And by giving me everything, you can get rid of me.

1 A. Okay. Yeah.

2 MR. CHHATRE: From you, sir? Identify.

3 MR. GRATCOFSKY: I guess just --

4 MR. CHHATRE: Identify yourself.

5 MR. GRATCOFSKY: This is Joseph Gratcofsky with PHMSA.

6 BY MR. GRATCOFSKY:

7 Q. I guess we know now, in hindsight, that there's also, by the
8 road, or under the road there is an open end to that system, I
9 guess we can call it, that was hooked up to the well. Is there
10 quite a bit of LEL and gas readings in that area?

11 A. I'd have to defer to COGCC. I don't --

12 MR. LEONARD: This is Mike Leonard. I think you need to ask
13 that question tomorrow. We'll have some folks here that can
14 answer that.

15 MR. GRATCOFSKY: All right. Fine.

16 MR. CHHATRE: Any other questions?

17 MR. GRATCOFSKY: No. No.

18 MR. CHHATRE: Okay.

19 MR. LEONARD: I have no questions.

20 MR. PUCETTI: I have a couple that I'd like to ask just for
21 clarification.

22 MR. CHHATRE: Identify, please.

23 MR. PUCETTI: Excuse me?

24 MR. CHHATRE: Identify yourself.

25 BY MR. PUCETTI:

1 Q. Dave Puccetti, sorry, Frederick-Firestone Fire Marshal. I
2 know we had an early introduction this morning. Would you just
3 expand a little bit on your education as far as a fire
4 investigator?

5 A. Yeah. I've been a certified fire investigator for 12, 13
6 years, I think. I had been investigations prior to that but more
7 as, you know, an assistant investigator. I've been on a fair
8 amount of normal structure fires. I've been on three house
9 explosions in my career, both before I was certified and then one
10 smaller one after.

11 And there was -- definitely the big noted takeaway from this
12 compared to the other explosions, I think, were everything else I
13 had worked on in the past or really had ever studied, it seems
14 like most of the fuel was kind of consumed during the -- the
15 assumption is the fuel was maybe consumed because there was never
16 really ever a fire on those other explosions. I had collapse or I
17 had, you know, significant damage of some kind of -- you know,
18 obviously the explosion, but there was not a lot of ever fire
19 afterwards, maybe a little bit of smoldering of localized areas or
20 something, but not fire.

21 And the way this one was so consumed in fuel -- or in fire so
22 early on definitely struck as odd right from the beginning. There
23 was just -- yeah, it was just -- and then some of the footage that
24 was real time based on the neighborhood kids taking YouTube videos
25 30 seconds after it happened, it was just amazing how much fuel

1 there was, or how fire -- how much fire there was right away on an
2 explosion like that. Everything else we've had, that I've been
3 around, is there's glass everywhere, or there's walls puckered, or
4 there's, you know, significant damage, but just not ever that
5 amount of flame. That was just odd in my first initial take, was
6 the amount of how involved that house was so quick. Because I
7 wasn't even from my house and I, like I said, I can see it from my
8 house, and it was through the roof.

9 Q. The other question I had is, you've been a paramedic for
10 quite a while, too. How long have you been a paramedic?

11 A. Since 2001 I've been a paramedic as well.

12 Q. Great. Thanks. A little bit to understand, too, is you're
13 our training chief, and just kind of explain your group, too, so
14 the formal training we have for ICS and kind of how that works and
15 the accreditation and certifications we've been through in the
16 last three, four years. You might just explain to the group a
17 little bit about, you know, what we've done and the hours and, you
18 know, the time we've spent to get through a national certification
19 for incident command.

20 A. Okay. Yeah, so, one, we've all been through the NEMS and all
21 of the ICS that are required all the way through our level of
22 rank, which are based on -- you know, there's different levels as
23 you evolve through the fire service. So we all have chief officer
24 level ICS credentials.

25 And then we also -- the department, five years ago, adopted

1 an all-hazards-type approach to incident command, which is called
2 the Blue Card System. And all officers clear through the
3 lieutenant rank are trained in incident command. And, you know,
4 this is on top of what they -- this isn't a beginner-to-hero-type
5 system, this is based on people that already have knowledge and
6 now this is almost like a higher-level degree of education. And
7 it's, you know, it's 55 hours of skills prior to doing week-long
8 lab scenarios, plus continuing education. So there's a high level
9 of incident command.

10 What it's based on is that only one level of upgrade of
11 command. That's the whole goal, is -- often, the chief-level
12 officers that show up later are put into aid roles or they're
13 accountability or something like that. They're not -- there's
14 definitely -- the old school was whenever the highest chief got
15 there, they took over. And that's truly not the way it is. It's
16 the right person running the right call, and then everybody else
17 is an aid or a safety officer or accountability officer. But
18 pretty extensive, and then continued follow-through all the way
19 through that.

20 Q. Okay. And then there's one other question. I was going to
21 just have you describe -- it was on the, I think, the warning on
22 the 3rd. I know we got pretty much tied up in kind of what our
23 press release was and there was some concern about a fracking
24 situation with this well. And I think you went out with Anadarko
25 (indiscernible) test.

1 A. Oh, yeah.

2 Q. Can you talk a little bit about the well-casing test that you
3 observed?

4 A. Yeah, there was also a request through various -- for the
5 Braden Head well test, and that was conducted that day and passed.
6 The well passed fine. You know, a lot of that is to just -- even
7 though we really didn't have it, especially by that point, truly
8 didn't feel that there was any true well hazard and that it was
9 more of a pipeline problem, there was a rule out for the community
10 to be able to let them know that the well was actually -- the
11 casing and stuff was --

12 MR. CHHATRE: Can you tell me what kind of test -- this is
13 Ravi, NTSB. Can you tell me what kind of testing you are doing
14 (indiscernible)?

15 MR. PRUNK: So I was an observer of -- it was COGCC's
16 engineer came out and they do a -- you would have to defer to them
17 in the exact process, but it was basically, you know, looking at
18 the casing pressure. They evacuated because it can build up a
19 small amount over time. So it had less than 20 psi on it. They
20 bled it and then they recap it again and wait a time period. And
21 I don't know what that is. You'd have to ask them. But it never
22 even picked the needle back up after that, so whatever -- the
23 pressure on that casing had been there for who knows how long.

24 BY MR. PUC CETTI:

25 Q. Who was with you during -- this is Dave Puccetti again. Who

1 was with you during the test?

2 A. It would have been the COGCC operator, and I have his cards
3 available. And then Bret was out there, as well, and helped with
4 it.

5 Q. That is Bret Schissler?

6 A. Yeah, Schissler. Yep.

7 MR. LEONARD: So this is Mike Leonard. If I may, it was
8 Jason Gomez, the COGCC inspector that witnessed the test.

9 MR. PUCETTI: This is Dave Puccetti. That's all I had.
10 Thank you.

11 MR. CHHATRE: Okay.

12 MR. McBRIDE: I don't have any questions for you. Thank you.

13 MR. CHHATRE: No question?

14 MR. McBRIDE: This is David McBride. Yeah, no questions.

15 MR. CHHATRE: Okay.

16 MR. GRATCOFSKY: I just wanted to --

17 MR. CHHATRE: Sure.

18 MR. GRATCOFSKY: In the realm of background again --

19 MR. CHHATRE: Identify.

20 BY MR. GRATCOFSKY:

21 Q. This is Joseph Gratcofsky with PHMSA again. We were talking
22 about background and at some point you mentioned you had a
23 construction background. Can you just give us a little
24 background?

25 A. Yeah. I mean, I got my journeyman electrician's license in,

1 like, 1992. And then part of the large boom of housing that
2 happened in the early '90s in southern metro area, you know,
3 Highlands Ranch/Castle Rock area, I spent way too much time down
4 there building cookie-cutter houses. But, you know, you had very
5 much of a feel of, like, how that system is built. And so, you
6 know, I've been around open foundation holes or where they're
7 still forming and watching the guys, the excavators cut the pre-
8 holes for the foundations. And so I had a, I don't know, I had a
9 comfortable background of knowing kind of where we were going of,
10 like, even where we were going to find the end of the pipe,
11 because they only cut the hole as big as they need to. They don't
12 cut it a lot bigger.

13 And so that just was some of my -- I knew that there was
14 French drain. And then, also, my house is relatively new. I
15 mean, it's seven years now, but it's still under the newer code,
16 and I was around for that whole construction and I knew what this
17 area was going to have for either sump or lift stations or French
18 drain. So I had a background in that direction.

19 Q. Great. Thank you.

20 MR. CHHATRE: Any other questions?

21 MR. McBRIDE: Yeah, one follow up to that.

22 MR. CHHATRE: Go ahead.

23 BY MR. McBRIDE:

24 Q. This is David McBride again. When you mentioned they don't
25 dig the holes bigger than they need to, it reminded me of

1 something. Earlier, you said that when you all first excavated
2 the 2-inch flow lines and the white pipe as it was approaching the
3 back of the house.

4 A. Yes.

5 Q. Okay. You said that it was, like, 6 feet from the back of
6 the house, or it was --

7 A. The cut was.

8 Q. That's where the ends of the pipe were?

9 A. The ends of the pipes are. But that's also -- I mean, if I
10 could show you on this?

11 Q. Sure. Go ahead.

12 A. So in this, that was 6 foot counting that they have to cut
13 the hole big enough for the window wells to go in. So you have
14 your foundation line, then you have the bulge of your window well,
15 and then it's about another foot is all they -- they put enough so
16 the guy can walk around that window well after it's inserted. And
17 by the time you get to that, it's right around that 5 to 6 foot
18 mark, if that makes sense. So it wasn't flush with it. It was
19 about a foot past, wider than the width of the window well.

20 Q. So the closest part of the structure of the house that it
21 would come to is about a foot away from the window well exterior?

22 A. Yeah, but by diagonal it's about 3 feet from the window well,
23 because it wasn't right at the window well.

24 Q. Gotcha.

25 A. So it was offside. So the window well was here, here's come,

1 you know, like the -- definitely the pipe was to the side, so it's
2 like 3 foot this way, and then 5 foot to the foundation.

3 Q. Okay. I understand.

4 A. So they usually just kind of cut what they need to on this.
5 Yeah, this was explained to us, as well, before we even got to
6 that. The way that this was done was a little bit different
7 because they had problems getting rid of the dirt so quick. So
8 they actually did about three house worth's of excavation but they
9 only took it down about halfway, and then they stored that dirt.
10 And then each pit was done, but it would have looked like a lot
11 shallower, because they called it basin.

12 Instead of normally just out in the middle, they would just
13 cut it for that foundation. This one they kind of cut three
14 houses' worth, and then the final, like, 4 foot-ish was the deeper
15 straight down for that foundation. Does that kind of make --
16 because they knew they were building all three houses at the same
17 time, so they kind of, like, scrape out a basin of it, but only
18 halfway. Because they have a problem of getting rid of their
19 spoil piles too much, so they need it for -- they can't get rid of
20 it because they need it to backfill. But they've got to store it
21 somewhere while they're doing it, so that's the way that they did
22 this. It was not as common as I've seen in the past. Usually,
23 it's just definitely that foundation and that's it.

24 Q. Okay. That's good enough. Thank you. Appreciate it.

25 BY MR. CHHATRE:

1 Q. I'm glad PHMSA brought this up. Since your construction
2 background, same exhibit, just the bottom, show me the plot and
3 explain the French drain or drain tiles, whatever the terminology
4 may be, is it all around the (indiscernible) or over the
5 (indiscernible), or how does that work?

6 A. It's a full circumference of the -- so it's usually like a 4-
7 inch corrugated black pipe that's perforated and it sits at the
8 very bottom or the footing level of the basement. So, you know,
9 I'm not a concrete expert.

10 Q. Sure.

11 A. But a basement is basically three pieces, right? There's
12 footings, then there's the walls, and then the floor is poured in
13 the middle, and they're there separate things done. Footings
14 first, walls, and then they'll usually pour that inside. The
15 French drain --

16 Q. Draw them separately, if you can.

17 A. All right. So I'll do a bigger house.

18 Q. Okay. Draw even if you want, draw even footing and draw
19 whatever details you feel comfortable drawing. I don't want you
20 to feel uncomfortable drawing anything.

21 A. So this one actually has this tandem garage, right?

22 Q. Right.

23 A. So it's that deep of a garage. So this is garage. This is
24 still concrete and ground level. And the sump pump ended up being
25 in this corner right here.

1 Q. Right.

2 A. And we don't know exactly how they tie in, like, underneath,
3 but there's two pipes that come into this and, basically, it lays,
4 this French drain lays underneath. And there's the window wells
5 again, and then this window well here.

6 Q. Another window well. Okay.

7 A. And they have, I don't know if it's a T or what, because we
8 stopped. You know, I think it comes into a T fitting. And,
9 basically, that tees up for a drain in those so if there's heavy
10 rain it doesn't fill your window wells up, it goes into this
11 system.

12 And really, it's a system of drains that go nowhere, because
13 the idea is that, hopefully, it evaporates, that there's not so
14 much moisture, right? It's only in the higher moisture areas that
15 they'll truly put a pump in there to evacuate it out. But my
16 house that's only a quarter of a mile away, three-quarters of a
17 mile away, doesn't need a -- mine has been dry for seven years,
18 even through the heavy floods in '13.

19 So they have these Ts that go through here, and then there's
20 the other window well that's right here, and they T off into
21 these. And then this one, just because I've seen the drawing of
22 this, I know that it goes underneath the driveway and then it
23 comes back in, and it's a full circle. And then there's a
24 separate circle of the interior, as well, so if you had a water
25 leak in the house, it'll drain back into that pit as well.

1 Q. So we have two French drains, one outside and one inside?

2 A. Yes. Yes.

3 Q. Okay. And where does the water gets dumped out, or it just
4 stays in that pipe?

5 A. It's like a black pit in the -- I don't know, it's 3-foot
6 deep or something like that. It just falls into a pit that --

7 Q. So all the pipes just goes and opens, it open-ends?

8 A. Yep. Yep.

9 Q. Okay. In the pit?

10 A. Yep. And so, just for your example, again, and those, those
11 pipes would have terminated about like that. So they're kind of
12 diagonal from here, but then about 5 foot here, or 3 foot that
13 way, just by angle.

14 Q. Now, do these drains ever get completely plugged up?
15 Because, you know, the gutter water would bring some soil with it.

16 A. So they're encapsulated in, like, a cotton sock, and that's
17 to help keep the silt and stuff from going through the -- it's
18 like a filter, basically.

19 Q. Oh, okay.

20 A. Yeah, so it wraps around. And then we found gravel around
21 these pipes, but we never really dug up the French drain
22 completely. But a lot of times there, like, pea gravel, or
23 squeegee they call it, that they lay in that lays around it that's
24 a type of a system.

25 Q. So this French drain, is it the lowest point in the basement,

1 or it goes --

2 A. It goes below the floor.

3 Q. Below. So give me -- if you feel comfortable, draw me a
4 section of the footing and the wall and how much below the French
5 drain is under the foundation.

6 A. Pretty much at the level of the footings.

7 Q. Okay.

8 A. Yeah.

9 Q. And footing --

10 A. And then they waterproof as well. So this is part of that
11 system. So it doesn't go in, they tar or they spray a
12 waterproofing on and then they lay it in there, so it's almost
13 making a -- that's two ways of keeping the moisture out of your
14 house, is to water seal it, and then lay that French drain in that
15 helps direct that water in there and it doesn't -- if they have to
16 do an evacuation out of a sump pit, it can't go into the sanitary
17 sewer. It has to come up and out of the house and it has to go to
18 the gutter system.

19 And that was -- we saw that in the neighborhood, that some of
20 the people had taken that pipe and ran it into their grass.
21 Because you can't pump from the sump pump into your floor drain in
22 your house. It's against code to just plumb it back into the
23 sanitary sewer.

24 Q. Where does that water go then?

25 A. To the gutter.

1 Q. To the gutter?

2 A. Yeah. Well --

3 UNIDENTIFIED SPEAKER: To the gutter (indiscernible).

4 MR. PRUNK: Potentially.

5 MR. CHHATRE: Right.

6 MR. PRUNK: It just stubs out of the house.

7 MR. PUCETTI: To the swell drain around the house.

8 MR. PRUNK: Yeah, to the lawn or whatever, but it doesn't go
9 into any pipe after that. If it's lifted out of the sump, then it
10 just -- it has to go outside, to the grass.

11 MR. CHHATRE: That's all I have. Anybody have any follow-up
12 questions?

13 (No response.)

14 If not, thank you so much.

15 MR. PRUNK: Can I do one quick follow up to something that I
16 thought of at the very beginning?

17 MR. CHHATRE: Sure.

18 MR. PRUNK: And nothing major, but just for -- you know, I
19 said that we used that laser, or Black Hills Energy used that
20 laser detector for methane checks. I wanted to say, as well, that
21 at the beginning we were getting lots of these readings, high LELs
22 in the back. And I had a pretty good concern about the validity
23 of those findings right away, initially, because we had so much
24 smoke and I didn't know if the CO or any of that, you know, the
25 particulates in the smoke and stuff.

1 And, you know, thankfully, Google showed up a manual and they
2 were able to say that it shouldn't have been a problem. So that
3 helped us. But I was taking it as information but not as gospel
4 quite until we knew.

5 And then by the second day, when we were utilizing it, the
6 smoke was definitely not an issue and it kind of solidified those
7 findings. But there was -- it wasn't just a quick -- that's how
8 it actually came in.

9 You know, we talked about when we were evacuating the next-
10 door neighbors, and they weren't there at the time of the
11 explosion but their dog was, and they needed to get their dog and
12 some medication and stuff. And we went in there, one of the Black
13 Hills Energy gentlemen went in there, and why we weren't getting
14 good -- we were getting CO readings, which is very common next to
15 a fire house; there's smoke. But we weren't getting any LEL
16 readings until he came in.

17 Because he's doing ground level, he's shooting the floor,
18 then that's when we started taking the four-gas detectors and
19 going, as I explained, to the penetrations and the sump and that,
20 and that's when we started getting gas findings. So at waist
21 height there was not really gas findings, but between the laser
22 and the four-gas detectors is how we identified that we had gas
23 findings in those houses. So just as a clarification for that.

24 MR. CHHATRE: Anything else should we know or you think might
25 be helpful that we may not have asked you?

1 MR. PRUNK: No, I think that's it.

2 MR. CHHATRE: Okay. Thank you very much for putting up with
3 us.

4 MR. PRUNK: Okay. Yep.

5 MR. CHHATRE: For a long time, and breaks and all that.
6 Thanks again.

7 MR. PRUNK: Yep. Thank you.

8 MR. CHHATRE: Off the record.

9 (Whereupon, the interview was concluded.)
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD


IN THE MATTER OF: HOUSE EXPLOSION IN FIRESTONE,
 COLORADO, APRIL 17, 2017
 Interview of Douglas Prunk

ACCIDENT NUMBER: DCA17FP005

PLACE: Longmont, Colorado

DATE: May 11, 2017

was held according to the record, and that this is the original,
complete, true and accurate transcript which has been transcribed
to the best of my skill and ability.



Sharon Estes
Transcriber