

NATIONAL TRANSPORTATION SAFETY BOARD

Washington, D.C.

- - - - - X

In the Matter of:	:	
	:	
THE INVESTIGATION OF THE	:	
USAIR INC., FLIGHT 427,	:	
A BOEING 737-300, N513AU,	:	
	:	
ALIQUIPPA, PENNSYLVANIA,	:	Docket No.: SA-510
SEPTEMBER 8, 1994	:	
	:	

- - - - - -X

Pittsburgh Hilton and Towers Hotel
Pittsburgh, Pennsylvania

Monday, January 23, 1995

The above-entitled matter came on for hearing pursuant to notice, before JIM HALL, Chairman, at the Pittsburgh Hilton and Towers Hotel, 600 Commonwealth Place, Pittsburgh, Pennsylvania, on Monday, January 23, 1995, at 12:00 p.m., before:

Board of Inquiry

CAPITAL HILL REPORTING, INC.

(202) 466-9500

JIM HALL, Member, NTSB
Chairman

Bud Laynor, Deputy Director of
the Office of Aviation Safety

Ronald Schleede, Chief,
Major Investigations Division, Hearing Officer

John Clark, Chief, Vehicle Performance Division
Office of Research and Engineering

Technical Panel

Thomas E. Haueter, Investigator-in-Charge,
Hearing Officer

Gregory Phillips, Senior Systems Investigator

Charles Leonard, Operations Investigator

Thomas Jacky, Vehicle Performance Investigator

Cynthia Keegan, Structures Investigator

Roff Sasser, Systems Investigator

Nora Marshall, Senior Survival Factors
Investigator

Staff:

CAPITAL HILL REPORTING, INC.

(202) 466-9500

Mike Benson, Office of Public Affairs

Jamie Finch, Special Assistant

Robert Francis, Board Member

Kenneth Jordan, Managing Director

Peter Goelz, Director of Congressional
and Intergovernmental Relations

Julie Beal, Director of Public Affairs Office

Shelly Hazle, Confidential Assistant

Carolyn Dargan, Administrative Assistant

Shirley Wright, Administrative Assistant

National Transportation Safety Board
National Safety Transportation Board
490 L'Enfant Plaza, SW
Washington, D.C. 20594

CAPITAL HILL REPORTING, INC.

(202) 466-9500

Parties to the Hearing

Department of Transportation,
Federal Aviation Administration
Harold Donner
AAI-100
800 Independence Avenue, SW
Washington, D.C. 20591

USAir, Inc.
Captain Gene Sharp
115 Commerce Drive
RIDC Parkridge 2
Pittsburgh, Pennsylvania 15275

Airline Pilots Association
Captain Herb LeGrow
535 Herndon Parkway
Herndon, Virginia 22070

Boeing Commercial Airplane Group
John Parvis
7342 East Marginal Way, South
Building 3-800.3, Bay A2
Seattle, Washington 98108

Monsanto Company
Frank Jakse
800 N. Lindbergh Boulevard

CAPITAL HILL REPORTING, INC.

(202) 466-9500

St. Louis, Missouri 63167

Parker Hannifin Corporation
Steve Weik
14300 Alton Parkway
Irvine, California 92718-1814

International Association of
Machinists and Aerospace Workers
73 Auburn Street
Saugus, Massachusetts 01906

CAPITAL HILL REPORTING, INC.

(202) 466-9500

C O N T E N T S

<u>Witness(es)</u>	<u>Page:</u>
CAPTAIN WILLIAM JACKSON, JUMP SEAT RIDER ON USAIR FLIGHT 1181, USAIR, INC., PITTSBURGH, PENNSYLVANIA	41
WILLIAM PERRY, SUPERVISORY SPECIAL AGENT, FEDERAL BUREAU OF INVESTIGATION, PITTSBURGH, PENNSYLVANIA	52
GEORGE GREEN, WAKE VORTEX PROJECT ENGINEER, NASA-LANGLEY, HAMPTON ROADS, VIRGINIA	70
JAMES KERRIGAN, PRINCIPAL ENGINEER - 737 AERODYNAMICS, STABILITY AND CONTROL, BOEING COMMERCIAL AIRPLANE GROUP, SEATTLE, WASHINGTON	118
BRIAN JOHNSON, B-737 STRUCTURES SPECIALIST, BOEING COMMERCIAL AIRPLANE GROUP, SEATTLE, WASHINGTON	204

CAPITAL HILL REPORTING, INC.

(202) 466-9500

Witness(es)	<u>I N D E X</u>	<u>Page:</u>
THOMAS HAUETER		
by Schleede		19
CAPTAIN WILLIAM JACKSON		
by Leonard		41
by Sharp		47
by LeGrow		48
by Marx		49
WILLIAM PERRY		
by Schleede		52
by Haueter		53
by Wurzel		57
by Purvis		58
by LeGrow		61
by Schleede		64
by Hall		65
GEORGE GREEN		
by Schleede		70
by Jacky		71
by LeGrow		92
by Marx		94
by Clark		99
by Schleede		101
by Laynor		107
by Hall		107
JAMES KERRIGAN		

by Schleede	118
by Jacky	119
by Donner	170
by LeGrow	170
by McGrew	172
by Clark	175
by Hall	191
by Schleede	191
by Laynor	196
by Hall	201

Witness(es) (Continued)

Page:

BRIAN JOHNSON

by Schleede	204
by Keegan	205
by Clark	224
by Schleede	225
by Hall	227

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 P R O C E E D I N G S

2 (Time Noted: 12:01 p.m.)

3 CHAIRMAN HALL: Ladies and gentlemen, this
4 public hearing will come to order. Good morning and
5 welcome. My name is Jim Hall. I am Chairman of the
6 National Transportation Safety Board and Chairman of
7 this Board of Inquiry. At this hearing we are
8 considering an accident that occurred on September 8,
9 1994 at Aliquippa, Pennsylvania involving U.S. Air
10 Flight 427.

11 The hearing is being held for the purpose of
12 supplementing the facts, conditions and circumstances
13 discovered during the on-scene investigation. This
14 process will assist the Safety Board in determining the
15 probable cause and in making any recommendation to
16 prevent similar accidents.

17 The American public has been shocked in
18 recent months by a series of catastrophic airline

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 accidents, four of which since July 2nd of last year
2 claimed the lives of 252 persons. The accident that
3 occurred here in September is the worst aviation
4 tragedy in this country in more than seven years.

5 As I have said in the past, airline accidents
6 are extremely rare events. That is why they make such
7 big news. But, when they occur, it is the job of the
8 National Transportation Safety Board with the
9 assistance of the Federal Aviation Administration and
10 other parties from government, industry and labor, to
11 find out what happened, why it happened and how we can
12 make sure it doesn't happen again. This hearing is an
13 important part of that process.

14 It is no secret that the aviation community
15 is concerned about this accident, not just because of
16 the great human tragedy it represents, but because this
17 is the second accident in nearly four years involving a
18 Boeing 737 for which as yet no cause has been readily

1 identified. Issues at this hearing will cover not only
2 operational aspects of the aircraft, but data recording
3 capabilities, as well.

4 I want to assure the traveling public that
5 investigators from many organizations are working
6 diligently to find the cause of this accident. As an
7 example, it is estimated that approximately 25,000 man
8 hours have been expended so far in the course of this
9 investigation.

10 I understand that there are some of the
11 victims' families in the audience today. I want to
12 assure them that as the National Transportation Safety
13 Board does in every investigation, the Safety Board
14 will pursue every lead toward an ultimate solution.

15 Certainly, your presence at this hearing is a
16 clear reminder to each of us of the importance of this
17 proceeding. We at the National Transportation Safety
18 Board never forget that the Board is funded by the

1 American taxpayers and is dedicated to the pursuit of
2 independent accident investigations.

3 Public hearings such as this are an exercise
4 in accountability, accountability on the part of the
5 Safety Board that it is conducting a thorough and fair
6 investigation, accountability on the part of the
7 Federal Aviation Administration that it is adequately
8 representing the industry, accountability on the part
9 of the airline that it is operating safely,
10 accountability on the part of manufacturers as to the
11 design and performance of their products and
12 accountability on the part of the working force, pilots
13 and machinists that they are performing up to the
14 standards of professionalism expected of them.

15 These proceedings tend to become highly
16 technical affairs, but they are essential in seeking to
17 reassure the public that everything is being done to
18 insure the safety of the airline industry.

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 This inquiry is not being held to determine
2 the rights or liability of private parties and matters
3 dealing with such rights or liability will be excluded
4 from these proceedings. Over the course of this
5 hearing, we will collect information that will assist
6 this Safety Board in its examination of safety issues
7 arising from this accident.

8 Specifically, we will concentrate on the
9 following issues: (1) wake vortex encounters and
10 possible effects on performance and stability of USAir
11 flight 427; (2) aircraft performance studies of various
12 systems and structural failures and malfunctions that
13 could lead to in-flight upsets and loss of control of
14 USAir flight 427 with attention given to Boeing 737
15 lateral and directional control systems design,
16 certification and service history; (3) airframe and
17 aircraft component manufacturer's service difficulty
18 programs and continuing airworthiness standards and

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 practices. Airline programs for aircraft flight
2 control hydraulic fluid quality assurance; (4) flight
3 crew training for recovery from in-flight upsets and
4 unusual attitudes; (5) management and Federal Aviation
5 Administration oversight of USAir flight operations,
6 maintenance and safety; (6) standards for enhanced
7 recording of airline flight operations, to include
8 expanded flight data recorder parameters and cockpit
9 video cameras.

10 I would like to introduce the other members
11 of the Board of Inquiry at this point. They are, to my
12 right, Mr. William G. Laynor, Deputy Director of the
13 Office of Aviation Safety. To his right, Mr. John
14 Clark, Chief of the Vehicle Performance Division.

15 To my left, Mr. Ronald L. Schleede, Chief of
16 the Major Investigations Division, and to his left, Mr.
17 Michael Marx, Chief of the Material Laboratory
18 Division. The Board of Inquiry will be assisted by a

1 Technical Panel.

2 These persons are seated at the table to my
3 right and they are Mr. Thomas E. Haueter, the
4 Investigator-in-Charge and Hearing Officer, Mr. Gregory
5 Phillips, the Senior Systems Investigator, Mr. Charles
6 Leonard, the Operations Investigator, Mr. Thomas Jacky,
7 the Vehicle Performance Investigator, Ms. Cynthia
8 Keegan, the Structures Investigator and Mr. Roff
9 Sasser, the Systems Investigator.

10 Mr. Mike Benson from the Safety Board's
11 Public Affairs Office is here to assist in matters
12 dealing with the news media. Mr. Jamie Finch, my
13 Special Assistant, Mr. Robert Francis, Board Member,
14 Mr. Kenneth Jordan, Managing Director, Mr. Peter Goelz,
15 Director of Congressional and Intergovernmental
16 Relations and Ms. Julie Beal, Director of the Safety
17 Board's Public Affairs Office are also here to assist
18 with this hearing, as well as Ms. Shelly Hazle, my

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 Confidential Assistant.

2 Mrs. Carolyn Dargan and Ms. Shirley Wright
3 have handled the administrative matters dealing with
4 the hearing up to this point. They will also be
5 present at the hearing to provide administrative
6 support, as needed. You may contact any of these --
7 you may contact any of them for assistance regarding
8 copies of exhibits and other items.

9 Neither I nor any Safety Board personnel will
10 attempt during this hearing to analyze the testimony
11 received, nor will any attempt be made at this time to
12 determine the probable cause of this accident.

13 Such analysis and cause determinations will
14 be made by the full Safety Board after consideration of
15 all the evidence gathered during our investigation.
16 The report on the aircraft accident involving flight
17 427 reflecting the Safety Board's analyses and probable
18 cause determinations will be considered for adoption by

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 the full Board at a later public meeting which will be
2 held at the Safety Board's headquarters in Washington,
3 D.C. and will be open to the public.

4 The Safety Board's rules provide for the
5 designation of parties to public hearings. In
6 accordance with these rules, those persons,
7 governmental agencies, companies and associations whose
8 participation in the hearing is deemed necessary in the
9 public interest and whose special knowledge will
10 contribute to the development of pertinent evidence are
11 designated as parties. The parties assisting the
12 Safety Board in this hearing have been designated in
13 accordance with these rules.

14 As I call the name of the party, I would
15 appreciate it if the designated spokesperson would give
16 his, or her name, title and affiliation for the record.
17 The parties are seated at tables in front of me. The
18 Department of Transportation, Federal Aviation

1 Administration.

2 MR. DONNER: Mr. Chairman, My name is Harold
3 Donner, the Manager of the Accident Investigation
4 Division, Federal Aviation Administration.

5 CHAIRMAN HALL: Thank you, Mr. Donner. The
6 Airline Pilots' Association.

7 CAPTAIN LEGROW: Thank you, Mr. Chairman. My
8 name is Captain Herb LeGrow, and I was the Coordinator
9 for the accident at 427.

10 CHAIRMAN HALL: Thank you, Captain. USAir,
11 Inc.

12 CAPTAIN SHARP: Thank you, Mr. Chairman. My
13 name is Gene Sharp. I am the Vice President of Flight
14 Operations for USAir.

15 CHAIRMAN HALL: Thank you, Captain. The
16 Boeing Commercial Airplane Group.

17 MR. PURVIS: Thank you, Mr. Chairman. My
18 name is John Purvis. I am the Director of Air Safety

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 Investigation for the Boeing Commercial Airplane Group.

2 Thank you.

3 CHAIRMAN HALL: The Monsanto Company.

4 MR. JAKSE: Mr. Chairman, my name is Frank
5 Jakse. I am Senior Research Specialist for Monsanto
6 Company, manufacturer of skydraul (sic) hydraulic
7 fluid.

8 CHAIRMAN HALL: Thank you. Parker Hannifin,
9 Inc.

10 MR. WEIK: Thank you, Mr. Chairman. My name
11 is Steve Weik. I am Technical Support with the Parker
12 Hannifin Corporation.

13 CHAIRMAN HALL: The Association of Machinists
14 and Aerospace Workers.

15 MR. WURZEL: Thank you, Mr. Chairman. My
16 name is Jack Wurzel and I am with the Flight Safety
17 Committee of the International Association of
18 Machinists, District 141.

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 CHAIRMAN HALL: I want to publicly thank all
2 of the parties for the assistance and cooperation they
3 have displayed during the course of this investigation.
4 On January 23rd the Board of Inquiry held a pre-hearing
5 conference in Washington, D.C.

6 It was attended by the Safety Board's
7 Technical Panel and representatives of the parties to
8 this hearing. During that conference, the areas of
9 inquiry and the scope of the issues to be explored at
10 this hearing were delineated, and the selection of
11 witnesses to testify to those issues was finalized.

12 Copies of the witness list developed at the
13 pre-hearing conference are available at the press
14 table. There are numerous exhibits to be used in this
15 proceeding. Copies of the exhibits are available at
16 the press table for review.

17 The Safety Board has provided a complete set
18 of exhibits to Kinko's Copy Center located at 600

1 Liberty Avenue, Pittsburgh, Pennsylvania. Copies of
2 the exhibits can be obtained on request and at the
3 individual's own expense at Kinko's.

4 The witnesses testifying at this hearing have
5 been selected because of their ability to provide the
6 best information available on the issues of aviation
7 safety. The first witness will be the Investigator-in-
8 Charge of the accident investigation who will summarize
9 certain facts about the accident and the investigative
10 activities that have taken place since then.

11 The remaining witnesses will be questioned
12 first by the Board's Technical Panel, then by the
13 designated spokesperson for each party to the hearing,
14 followed by the Board of Inquiry. As Chairman of the
15 Board of Inquiry, I will be responsible for the conduct
16 of this hearing. I will make all rulings on the
17 admissibility of evidence and all such rulings will be
18 final.

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 The record of the investigation, including
2 the transcript of the hearing and all exhibits entered
3 into the record will become part of the Safety Board's
4 public docket of this accident and will be available
5 for inspection at the Board's Washington Office.
6 Anyone wanting to purchase a transcript should contact
7 the Court Reporter directly.

8 At this time, I would like to acknowledge
9 other officials who are here observing this hearing.
10 They are seated to my left. Representing CFM
11 International, the engine manufacturer, Mr. Paul
12 Mingler; AVIALL, the engine overhaul company, Mr. Paul
13 M. Rehder; the National Air Traffic Controllers
14 Association is represented by Mr. William West; the
15 Transportation Workers Union #545 is represented by Mr.
16 Juergen-Peter Schuetz; the Association of Flight
17 Attendants is represented by Ms. Nancy L. Gilmer; PATS,
18 Incorporated, who was a manufacturer of the auxiliary

1 fuel tank, is represented by Mr. Harvey Patrick; the
2 Federal Bureau of Investigation is represented by Mr.
3 William Perry; Hopewell Township by Mr. Jim Eichenlaub;
4 the Pennsylvania State Police by Lieutenant James R.
5 Neville; the Pennsylvania Emergency Management Agency,
6 Mr. Joseph L. LaFleur; the Beaver County Coroner, Mr.
7 Wayne N. Tatalovich.

8 We have representatives here from the
9 Transportation Safety Board of Canada, Board Members
10 Mr. Hugh MacNeil and Ms. Zita Brunet; from the United
11 Kingdom Civil Aviation Authority, Mr. Michael Benoy;
12 from the French Bureau of Accident Investigations
13 Bureau, Yves Lemercier; from the French Civil Aviation
14 Authority, Mr. Maxime Brugel and Mr. Eric Dormoy.

15 As I stated earlier, this will be a lengthy
16 hearing. We have it planned for the full week. There
17 will be a number of witnesses that will be called. A
18 lot of the testimony will be very technical in nature.

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 We will attempt to be sure to the extent possible that
2 the testimony is as understandable to the general
3 public as it can be made.

4 We will now proceed with this hearing, and I
5 would like Mr. Schleede to call the first witness.

6 MR. SCHLEEDE: Mr. Haueter, please come
7 forward.

8 THE WITNESS: Witness complies.

9 (Witness testimony continues on next page.)

10

11

12

13

14

15

16

17

18

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1
2
3
4
5
6
7
8
9
10
11
12

13 THOMAS HAUETER, TECHNICAL PANEL, UNITED STATES OF
14 AMERICA NATIONAL TRANSPORTATION SAFETY BOARD

15 Whereupon,

16 THOMAS HAUETER,
17 was called as a witness by and on behalf of NTSB, and,
18 after having been duly sworn, was examined and

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 testified on his oath as follows:

2 MR. SCHLEEDE: Mr. Haueter, please state your
3 full name and business address for the record.

4 THE WITNESS: My name is Thomas E. Haueter.
5 I am employed by the National Transportation Safety
6 Board at 490 L'Enfant Plaza, Washington, D.C.

7 MR. SCHLEEDE: What is your position with the
8 NTSB?

9 THE WITNESS: I am the Deputy Chief of Major
10 Investigations and the Investigator-in-Charge for this
11 accident.

12 MR. SCHLEEDE: Could you give us a brief
13 description of your aeronautical experience and
14 training that qualifies you for your present position?

15 THE WITNESS: I hold a commercial pilot's
16 license with an instrument rating. I started flying
17 when I was 16. I currently fly and operate my own
18 airplane.

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 (Pause.)

2 CHAIRMAN HALL: Can Mr. Haueter be heard in
3 the back of the room?

4 All: No.

5 THE WITNESS: No?

6 MR. SCHLEEDE: Let me start again.

7 CHAIRMAN HALL: Let's see, Mr. Haueter, if
8 you could -- as usual with most public events, it seems
9 that the microphones are always a problem, so if you
10 could please try to get as close to the microphone --
11 so everyone can hear. I would appreciate it.

12 THE WITNESS: My aviation background, I
13 started flying when I was 16. I hold a commercial
14 license with an instrument rating. I currently own and
15 operate my own airplane for sport and nothing else. I
16 have a degree in aeronautical and astronautical
17 engineering from Perdue University. I have a degree on
18 operations research from George Mason University.

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 I was employed by -- in the aviation industry
2 first for United Technologies and then I was a
3 consultant for several years in aircraft structures
4 before joining the Safety Board.

5 MR. SCHLEEDE: How long have you worked with
6 the Safety Board?

7 THE WITNESS: I have been with the Safety
8 Board for 11 years, seven years as an Investigator-in-
9 Charge.

10 MR. SCHLEEDE: Thank you, and you have a
11 prepared statement to read?

12 THE WITNESS: Yes, I do. Thank you, Mr.
13 Chairman. On September 8th, 1984 -- can I be heard?

14 ALL: Yes.

15 THE WITNESS: Okay, I will start again. On
16 September 8th, 1994 at about 7:03 Eastern Daylight
17 Time, USAir flight 427, a Boeing 737-300, registration
18 November 513 alpha uniform crashed while descending to

1 land at the Pittsburgh International Airport,
2 Pittsburgh, Pennsylvania.

3 The airplane was being operated as a
4 scheduled passenger flight under instrument flight
5 rules from Chicago-O'Hare International Airport,
6 Chicago, Illinois to the Pittsburgh International
7 Airport.

8 During the approach to landing, control of
9 the airplane was lost and the airplane crashed near
10 Aliquippa, Pennsylvania. The airplane was destroyed by
11 impact forces and fire. All 132 persons on board were
12 fatally injured.

13 I was on duty as the Investigator-in-Charge
14 for that week and was notified of the accident at about
15 7:20 in the evening. A Safety Board investigative go
16 team was assembled that evening, but because of the
17 lack of availability of an FAA airplane or commercial
18 flights, the team did not depart Washington until the

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 next morning on an FAA airplane. The team arrived at
2 the accident site at about 7:30.

3 Accompanying the team were Board Member Carl
4 Vogt, his special assistant, Cody Miller, the acting
5 managing director, Ron Battocchi and Mike Benson from
6 the public affairs office.

7 The investigative team comprised specialists
8 in the areas of operations, human performance, aircraft
9 structures, aircraft systems, power plants, maintenance
10 records, air traffic control, survival factors,
11 aircraft performance, meteorology and witnesses.

12 Specialists were also assigned to stand by in
13 the Safety Board's laboratories for the cockpit voice
14 recorder and the flight data recorder groups. Because
15 of the magnitude of the accident, in most cases two
16 Safety Board investigators were assigned to each group
17 on scene.

18 Parties that provided technical assistance to

1 the investigation were the Federal Aviation
2 Administration, Boeing Commercial Airplane Group,
3 Airline Pilots Association, CFM International, AVIALL,
4 National Air Traffic Controllers Association, USAir
5 Transportation Workers Union #545, International
6 Association of Machinists and Aerospace Workers,
7 Association of Flight Attendants, Parker Berta
8 Aerospace, Monsanto Company, PATS, Incorporated, the
9 Federal Bureau of Investigation, Hopewell Township,
10 Pennsylvania State Police, Pennsylvania Emergency
11 Management Agency, the Beaver County Coroner's Office
12 and emergency response personnel from Beaver and
13 Allegheny Counties.

14 Additionally, air safety investigators from
15 the aircraft accident authorities from the United
16 Kingdom, France, Denmark, Australia and Canada
17 participated in the investigation as technical
18 observers in accordance with prior arrangements for

1 such participation.

2 The investigation of this accident has been
3 one of the most complex and extensive aircraft accident
4 investigations conducted by the Safety Board. To date,
5 over 25,000 investigative man-hours have been expended
6 in direct support of the Safety Board's investigation.

7 Additionally, the parties to the
8 investigation have allocated considerably more man-
9 hours in providing indirect support to the
10 investigation in response to questions raised by the
11 Safety Board's investigators.

12 The Safety Board's investigation included the
13 on-site wreckage examination and removal, the tear-down
14 and examination of numerous flight control system
15 components, aircraft performance simulation studies,
16 partial reconstruction of various portions of the
17 airplane, detailed structural analyses, metallurgical
18 analyses, chemical analyses, cockpit voice recorder,

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 flight data recorder studies, including sound spectrum
2 analyses, the examination of several incidents
3 involving control difficulties with the Boeing 737
4 series airplanes and seemingly countless meetings and
5 planning sessions.

6 I would like to digress for a moment and
7 publicly thank all of those that participated in the
8 on-scene investigation; the Safety Board staff,
9 investigators from the parties and those that helped in
10 identification of the remains and removal of the
11 wreckage.

12 The on-site work was beyond description and
13 there are too many "heroes" to list in the time that I
14 have available. However, all of the people who
15 assisted, from those who participated during the work
16 at the scene to those who provided refreshments to the
17 investigation team, can be justifiably proud of their
18 accomplishments. It was an honor to have worked with

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 them all.

2 The general facts of the investigation are as
3 follows: The accident occurred near the end of the
4 third day of a three-day flight sequence for this
5 flight crew. The flight crew had started the three-day
6 trip in Philadelphia on September 6th. They spent that
7 night in Toronto, Canada. On September 7th they flew
8 four flight segments, ending in Jacksonville, Florida.

9 On the third day, they arrived in the
10 Jacksonville airport at about 12:15 in the afternoon
11 crew Flight 1181. The airplane for this flight and the
12 remainder of their duty day was the airplane involved
13 in the accident, once again, registration N513AU.

14 The airplane had spent the night of September
15 7th in Windsor Locks, Connecticut, where a maintenance
16 transit check was accomplished. Only routine service
17 was performed and there were no outstanding or deferred
18 maintenance items.

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 The flight crews who flew the airplane on the
2 day before the accident reported that nothing out of
3 the ordinary occurred on the flights and that there
4 were no problems with the airplane.

5 The airplane was flown from Jacksonville at
6 about 12:20 in the afternoon to Charlotte, North
7 Carolina and then on to Chicago's O'Hare International
8 Airport where it landed shortly after 5:00. Those
9 flights were reported to have been normal with no
10 significant events. There was a jump seat rider, a
11 USAir pilot, on these flights who will testify at this
12 hearing as to the events of those flights.

13 At O'Hare the airplane was assigned as flight
14 427 to Pittsburgh, once again with the same flight
15 crew. There were no items noted in the maintenance log
16 for this flight, including in the minimum equipment
17 list, the configuration deviation list, or any ground
18 security items.

1 Prior to departure, the airplane was fueled
2 with an additional 2,320 pounds of fuel for a total
3 departure fuel load of 15,400 pounds. The scheduled
4 fuel use would have provided about 8,400 pounds of fuel
5 remaining upon arrival at Pittsburgh.

6 Flight 427 departed Chicago-O'Hare at about
7 6:10 p.m. The en route time was planned for 55
8 minutes, all en route air traffic control
9 communications with the flight were routine.
10 Examination of the cockpit voice recorder and the air
11 traffic control tapes identified the first officer as
12 flying the airplane on this leg and the captain as
13 handling the radio transmissions.

14 Conversation within the cockpit was routine
15 and included all appropriate checklist items. The in-
16 range check to the USAir facility at the Pittsburgh
17 airport was performed by the flight crew using the
18 Automated Communications Addressing & Reporting System

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 (ACARS) at about 7:00 p.m.

2 The initial arrival of the flight into the
3 Pittsburgh area was uneventful. The airplane was
4 vectored by Approach Control for a landing on runway 28
5 right, which the crew acknowledged. In accordance with
6 standard arrival procedures, flight 427 was assigned an
7 altitude of 6,000 feet. Flight 427 was inbound to the
8 airport following a Delta Airlines Boeing B-727, which
9 was 4.2 miles ahead at the time of the accident.

10 Numerous interviews were conducted with
11 flight crews of aircraft either arriving at or
12 departing the airport about the time that flight 427
13 was on arrival vectors. None of the flight crews
14 described any unusual weather, including turbulence, or
15 the presence of birds.

16 The captain of the Delta Boeing 727 did not
17 recall hearing flight 427 during the approach.
18 However, he described the flight conditions as "good

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 weather, with no turbulence or bird activity."

2 The cockpit voice recorder and the flight
3 data recorder indicate that the flight crew was using
4 the Auto-Flight System, or autopilot during the flight
5 and during the approach to the airport. This is
6 standard procedure for the Boeing 737-300.

7 Shortly after 7:00, the Air Traffic
8 Controller issued instructions for flight 427 to turn
9 left to 1-4-0 degrees and to reduce airspeed to 1-9-0
10 nauts. The flight crew acknowledged this transmission
11 and asked for confirmation of the landing runway.

12 At 7:02:22, the controller requested flight
13 427 to turn to a heading of 1-0-0 degrees and advised
14 the flight crew about another airplane (a Jetstream) at
15 their two o'clock position and climbing out of 3,300
16 feet to 5,000 feet. At this time, flight 427 was still
17 at an altitude of 6,000 feet.

18 The captain of flight 427 reported to ATC

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 that they were looking for the Jetstream traffic.
2 Shortly after 7:03, a transmission was made by the
3 captain of "4-2-7 emergency." The controller noted
4 that flight 427 had departed its assigned altitude and
5 instructed the flight to maintain 6,000 feet.

6 Shortly thereafter, the tower controllers saw
7 dense smoke rising to the northwest of the airport.
8 Numerous ground witnesses observed the airplane in its
9 descent, which was described by most observers as
10 "nearly vertical," just before impact. There were no
11 reports of witnesses to the initial upset.

12 Mr. Chairman, at this time I would like to
13 present a video reconstruction of the last moments of
14 the accident flight based on the flight data recorder.
15 I must point out that the flight recorder contained
16 only eleven parameters, none of which measured the
17 positions of the control surfaces.

18 If you could run the video, please? As the

1 video plays --

2 VOICE: (Inaudible.)

3 MR. HAUETER: No, it should be fine.

4 (Visual aid shown.)

5 You will see along the side are the aircraft
6 instruments, as recorded, and also along the bottom of
7 the aircraft to the upper left-hand corner. In the top
8 right corner the first instrument will be -- we will
9 wait for it to come up.

10 (Pause.)

11 Once again, this is based on the flight data
12 recorder information.

13 (Pause.)

14 The instrument in the upper right is the air
15 speed indicator in nauts. The next instrument down is
16 the altimeter. The third one down is the magnetic
17 heading in degrees. The one at the bottom right is the
18 attitude indicator. To the left of it is the vertical

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 airspeed indicator. To the center is the vertical
2 acceleration in G's.

3 Then you will see the control column
4 indication. This column position is measured in the
5 cockpit; however, it does not rotate. We only have
6 back and forth motion in the control column. Above it
7 is the longitudinal acceleration measured in G's, and
8 to the far left-hand side at the bottom are the engine
9 instruments recorded.

10 At this time the aircraft was on its approach
11 and descending into the Pittsburgh area. You will be
12 able to see the altimeter coming down toward 6,000 feet
13 and the air speed is being reduced to 190 nauts.

14 (Pause.)

15 The flight crew is now getting vectors to
16 turn to a heading of 1-0-0 and being advised of the
17 Jetstream traffic.

18 (Pause.)

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 As the aircraft starts to roll out they
2 report seeing the Jetstream. The co-pilot states that
3 over his microphone, then the upset occurs. There is
4 no --

5 (Pause.)

6 The vertical bars, or timing marks are five
7 seconds apart.

8 (Pause.)

9 Thank you.

10 CHAIRMAN HALL: Does that complete your
11 testimony?

12 MR. HAUETER: No, I have got a little bit
13 more. Mr. Chairman, I would like to provide a brief
14 synopsis of the investigation to date.

15 Upon arrival at the accident site, Safety
16 Board investigators conducted a preliminary
17 investigation of the scene, and in cooperation with
18 public safety officials for Hopewell Township, Beaver

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 County, the Pennsylvania State Police and the Beaver
2 County Coroner's Officer, determined that the accident
3 site was a potential biological hazard area and, as
4 such, the use of protective personal equipment and
5 safety procedures were required by the Occupational
6 Safety and Health Administration regulations.

7 Fortunately, Beaver and Allegheny Counties
8 had specially trained emergency response personnel who
9 had expertise in hazardous material protection
10 measures, including biological hazards, which made the
11 accomplishment of the tasks of rescue and recovery
12 workers, as well as the accident investigators, much
13 more efficient.

14 All personnel on-site were requested to
15 comply with these important health and safety
16 requirements to ensure their safety, as well as that of
17 the general public. The use of personal protective
18 equipment and decontamination of personnel and specific

1 wreckage were precautionary measures.

2 I wish to stress that any wreckage that
3 required decontamination was thoroughly examined by
4 Safety Board personnel and bomb experts prior to its
5 being decontaminated.

6 The cockpit voice recorder and the flight
7 data recorder were recovered by FAA personnel the night
8 of the accident. The recorders were secured and taken
9 to the Safety Board's laboratory on the morning of
10 September 9.

11 The depiction of the FDR data has previously
12 been shown on the videotape. The CVR was one of the
13 clearest recordings ever processed by the Safety Board.
14 The CVR provided no evidence of any problems before
15 impact that precipitated the accident.

16 Additionally, examination of the background
17 sounds on the CVR found no evidence of noises that
18 could be associated with a failure of the airplane's

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 structure of systems, or any evidence of criminal
2 intent, such as an explosion.

3 I would like to point out that explosions or
4 gun shots provide distinctive sound spectrums, and
5 there were no such spectrums found in the recording of
6 the flight 427 CVR.

7 The on-scene phase of the investigation
8 lasted until the 20th of September. During that time,
9 the wreckage was thoroughly examined in place at the
10 scene and then was moved to a hangar at the Pittsburgh
11 airport for additional examination and disassembly.

12 The on-scene investigation determined the
13 following: The airplane struck the ground at an angle
14 of descent of about 80 degrees in a slight roll to the
15 left, and the airspeed was about 260 nauts at impact.
16 The airplane was severely fragmented by impact and
17 there was an intense post-crash fire.

18 Both engines were producing power at impact

1 and were running symmetrically. The thrust reversers
2 were stowed at impact. The flaps were at a "Flap 1"
3 setting. At this setting, the leading edge slats and
4 Kreuger flaps are extended. The spoilers were
5 retracted and the landing gear were retracted. These
6 are the expected positions for the airplane during the
7 initial approach.

8 The horizontal stabilizer was in an
9 intermediate position, consistent with an air speed of
10 190 nauts. The elevator control unit was at 14
11 degrees, nose up. The rudder was determined to be 2
12 degrees right (airplane nose right) at impact.

13 The captain had a total of about 12,000
14 flight hours, of which 4,000 were in the Boeing 737.
15 The first officer had a total flight time of about
16 9,100 hours and about 3,700 hours in the Boeing 737.
17 Nothing unusual was noted in the pilot's records. Both
18 were described by other pilots as being very

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 professional and competent pilots.

2 The maintenance records examination found
3 that all applicable airworthiness directives had been
4 complied with and there were no maintenance items being
5 deferred, or outstanding. The airplane's daily flight
6 log was recovered and there were no maintenance write-
7 ups for the last three flights, including the accident
8 flight.

9 Witnesses reported they did not see anything
10 fall from the airplane during its descent. A ground
11 and helicopter search did not disclose any items from
12 the airplane outside of the major impact area, although
13 some light items were found some distance away. These
14 items were all found downwind from the accident site
15 and had been blown there by wind after the impact.

16 The following items were removed from the
17 wreckage for examination under the Safety Board's
18 control: The rudder Power Control Unit (PCU), the

1 standby rudder actuator, the rudder trim actuator, the
2 rudder centering unit, the aileron power control unit
3 (PCU), the spoiler actuators, the slat actuators, the
4 autopilot servos, various autopilot electrical relays,
5 the pilot's rudder pedal system and control yoke
6 systems and most of the control cables.

7 Hydraulic fluid samples were obtained from
8 the various systems. Additionally, a survey was made
9 of computer systems on the airplane that might have
10 contained non-volatile memory chips. All of the
11 electronic boxes were severely damaged and most of the
12 chips were destroyed.

13 Besides the work accomplished in the Safety
14 Board's laboratory, the Systems Group traveled to
15 manufacturer's facilities in Irvine, California and
16 Seattle, Washington on seven separate occasions to
17 examine and test all of the components removed from the
18 airplane.

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 Additionally, during the investigation four
2 incidents involving a sudden yawing moment and one
3 accident involving an overseas-operated Boeing 737
4 resulted in the Safety Board conducting special
5 examinations of the control system components and the
6 flight data recorder information from those airplanes.

7 Hydraulic fluid samples removed from the
8 accident airplane and samples taken from 24 other
9 Boeing 737's were taken to facilities in St. Louis,
10 Missouri and Oklahoma City, Oklahoma for analysis. The
11 results of these examinations are provided in the
12 reports entered into the public docket released today.

13 The aircraft performance group completed over
14 200 flight simulations of various failure modes using
15 an engineering simulator. These simulations considered
16 various single point failures and how they may -- how
17 they would affect the airplane. Additional simulator
18 work was accomplished using the flight data recorder

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 information from flight 427 to "back-drive" the
2 simulator.

3 Radar data indicated that no other airplanes
4 were in proximity to flight 427 before the accident.
5 However, a Delta Boeing 727 had passed the same
6 location of flight 427 about 70 seconds before and 300
7 feet higher.

8 Analysis of the radar data indicates that
9 flight 427 passed through the wake of the Delta 727.
10 Therefore, the engineering simulator was modified to
11 portray an encounter with the wake vortices of a Boeing
12 727.

13 Numerous simulator flights were conducted in
14 which the airplane flew through the wake vortex at
15 various angles and vortex intensities. The docket
16 contains the results of these tests and experts will
17 testify as to the results of those tests.

18 One of the most labor-intensive efforts was

1 the two-dimensional reconstruction of the major
2 structure of the airplane, concentrating on the floor
3 beams and bulkheads of the airplane.

4 This work was accomplished in the hangar at
5 the Pittsburgh International Airport. This effort
6 required two investigative teams of about 20 persons
7 each working two shifts per day for almost 3 weeks.
8 Assistance was provided by two investigators from the
9 Air Accidents Investigation Branch of the Department of
10 Transport, United Kingdom.

11 Due to the severe fragmentation of the
12 airplane, it was not practical to complete a three-
13 dimensional reconstruction. The reconstruction was
14 accomplished to examine the possibilities of a control
15 cable failure, bird strikes, floor beam failures, or an
16 explosion of the auxiliary fuel tank.

17 Additionally, the wreckage was examined by
18 the FBI for any evidence of sabotage. During the

1 reconstruction, the wreckage was further examined for
2 any evidence of an in-flight structural failure or tire
3 burst in the wheel well.

4 During the investigation, weekly telephone
5 conferences took place with the parties to the
6 investigation. These tele-conferences were necessary
7 to provide for an open exchange of information and
8 ideas and to keep all of the parties informed as to the
9 progress of the investigative teams.

10 Additionally, on October 19th and 20th in
11 Pittsburgh and December 7th in Seattle, meetings were
12 held with all of the parties to the investigation to
13 further discuss the activities of the investigation and
14 to define additional areas for research.

15 During these meetings, the parties were asked
16 to provide their comments on the scope of the
17 investigation. I would like to state that throughout
18 the investigation all of the parties have been very

1 cooperative and supportive of the Safety Board's
2 investigation.

3 Additionally, the Safety Board has received
4 several hundred unsolicited letters and phone calls
5 from persons offering their opinions and thoughts on
6 the accident.

7 Mr. Chairman, at this time, I am not aware
8 that any party to the investigation, or any other
9 persons, or organizations have raised avenues of
10 investigation that we have not pursued fully, or are
11 currently examining.

12 Mr. Chairman, this concludes my statement.
13 The record of the investigation is contained in the
14 documents in our public docket. The Court Reporter has
15 a copy. Thank you, sir.

16 CHAIRMAN HALL: Thank you, Mr. Haueter, you
17 may step down.

18 (Witness excused.)

1 Before I call the next witness, I would like
2 to make an addition and a clarification to my opening
3 remarks. First of all, I failed to introduce Mr. Dan
4 Campbell, the Board's General Counsel who is seated to
5 my rear along with my personal staff.

6 Also, in referencing -- in my opening remarks
7 I referenced that approximately 25,000 man-hours had
8 been expended so far in this investigation. That
9 figure represents the work of Safety Board employees.

10 When you consider the fact that one of the
11 parties to this investigation has, by their estimate,
12 invested 42,000 man-hours in this investigation, I
13 would guess that probably in excess of 100,000 man-
14 hours have been expended in this investigation by the
15 Safety Board and by the parties to the investigation.

16 I would like to now call Captain William
17 Jackson, our next witness. Captain Jackson? Mr.
18 Schleede, if you would swear the witness in, please?

1 (Witness testimony continues on the next
2 page.)
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1

2

3

4

5 CAPTAIN WILLIAM JACKSON, JUMP SEAT RIDER ON USAIR
6 FLIGHT 1181, USAIR, INC., PITTSBURGH, PENNSYLVANIA
7 Whereupon,

8

CAPTAIN WILLIAM JACKSON,
9 was called as a witness by and on behalf of NTSB, and,
10 after having been duly sworn, was examined and
11 testified on his oath as follows:

12 CHAIRMAN HALL: Thank you for your appearance
13 here today, Captain. Your question -- you will be
14 questioned initially by Mr. Charles Leonard of the
15 Safety Board. Mr. Leonard, please proceed.

16 MR. LEONARD: Good afternoon, Captain
17 Jackson. Can you hear me okay, sir?

18 THE WITNESS: Yes, sir.

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 MR. LEONARD: Captain Jackson, I would like
2 to ask you a few questions today regarding -- relating
3 to USAir flight 1181 which, as earlier stated, operated
4 on September 8th, 1994 from Jacksonville, Florida, it
5 thence went to Charlotte, North Carolina and its
6 destination, final destination, was Chicago, Illinois,
7 the O'Hare International Airport.

8 Would you please tell us your role as a
9 passenger on that flight that day?

10 THE WITNESS: Yes, sir. I had the occasion
11 to travel from Jacksonville to Charlotte and on to
12 Chicago that day on flight 1181. I rode in the cabin
13 of the aircraft from Jacksonville to Charlotte and I
14 rode in the cockpit jump seat, or observer's seat from
15 Charlotte to O'Hare.

16 MR. LEONARD: What was your purpose for that
17 flight that day, sir?

18 THE WITNESS: The next day I was scheduled to

1 pick up a split trip in Chicago and I was just pre-
2 positioning myself in Chicago the next morning.

3 MR. LEONARD: Have you flown the B-737-300 as
4 a crew member?

5 THE WITNESS: Yes, sir, both as a Captain and
6 as a First Officer.

7 MR. LEONARD: So, you have a -- what you call
8 an ATP rating in the 737?

9 THE WITNESS: Yes, sir.

10 MR. LEONARD: You have also flown it as a
11 passenger?

12 THE WITNESS: Yes, sir, that is correct.

13 MR. LEONARD: Did you know the pilots on
14 board flight 1181 that day?

15 THE WITNESS: Not until that day, not until I
16 introduced myself in the cockpit.

17 MR. LEONARD: Were you aware -- or, when were
18 you aware that the flight crew and the aircraft 513 on

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 1181 also turned to flight 427 from Chicago to
2 Pittsburgh?

3 THE WITNESS: I was aware that the crew was
4 returning to Philadelphia that day via Pittsburgh, and
5 after I saw the news reports of the accident I assumed
6 it was that crew of that aircraft.

7 MR. LEONARD: I see. You stated a moment ago
8 that on the flight from Jacksonville to Charlotte you
9 sat in the passenger compartment. Do you remember
10 where you sat, specifically?

11 THE WITNESS: I sat in the cabin, coach
12 section, about mid-coach and on the left-hand aisle.

13 MR. LEONARD: Do you have any recollections
14 of unusual noises that occurred during that flight?

15 THE WITNESS: No, sir. During that segment I
16 heard no noises that were unusual, or felt any aircraft
17 movement that would have been unusual.

18 MR. LEONARD: On the flight from Charlotte to

1 Chicago you stated that you flew in the cockpit jump
2 seat, and why was that, sir?

3 THE WITNESS: The aircraft filled up in both
4 the first class and coach section. I had previously
5 signed up for the aircraft jump seat and rode that jump
6 seat on that leg.

7 MR. LEONARD: Would you briefly describe the
8 arrangement of the cockpit jump seat in a 737-300?

9 THE WITNESS: The jump seat is located
10 immediately inside the cockpit door and just aft of the
11 pilot's center console that is located between the two
12 pilot's seats, and just after their seats.

13 It is a rigid and very erect seating
14 arrangement. It is a small cockpit, and once you are
15 seated in the seat your back is only a couple, three
16 inches from the cockpit door and your knees would only
17 be several inches from the aft portion of the center
18 console.

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 MR. LEONARD: Would you describe, or comment
2 of the demeanor of the flight crew during that flight
3 from Charlotte to Chicago?

4 THE WITNESS: They were a very good crew.
5 They seemed to get along well, they had a good rapport
6 amongst themselves both professionally and personally,
7 they seemed to have a good working relationship with
8 the flight attendants in the cabin and they were more
9 than willing to have me along as a jump seat rider.

10 MR. LEONARD: Were there any unusual noises
11 that you are aware of during the flight from Charlotte
12 to Chicago?

13 THE WITNESS: Not from the cockpit. I did
14 not hear any unusual noises.

15 MR. LEONARD: Was there any contact from the
16 flight attendants to the cockpit regarding any noises
17 in the cabin?

18 THE WITNESS: There was a situation probably

1 half way during the flight, certainly at cruise
2 altitude. The Captain took a call from a flight
3 attendant that had related a passenger had complained
4 about a noise in the cabin, and the Captain immediately
5 after that call turned to me and told me that my knee
6 was on the PA mike, which it was.

7 I had crossed my legs, and I moved my leg and
8 had no further complaints about the noise in the cabin,
9 or any discussion after that about the noise.

10 MR. LEONARD: So, would you describe it as an
11 inadvertent actuation of the public address mike,
12 itself?

13 THE WITNESS: Yes, sir. As I said before, it
14 is a fairly small cabin and it becomes a little cramped
15 at times riding the jump seat, and when I crossed my
16 legs I inadvertently keyed the microphone.

17 MR. LEONARD: Were you aware of any
18 mechanical problems, airworthiness issues in that

1 air -- operation of that aircraft during that flight?

2 THE WITNESS: None, at all. I didn't feel
3 anything, or hear anything in the cabin. I didn't feel
4 anything, or hear anything in the cockpit when I was
5 riding up there. I did not see any MEL stickers in the
6 cockpit.

7 I wasn't aware of any maintenance write-ups
8 that the crew had, or any problems that they had
9 intended to write up. As far as I know, it was a
10 perfectly fine aircraft.

11 MR. LEONARD: Thank you very much, Captain
12 Jackson. That concludes my questions at this time.

13 THE WITNESS: Thank you.

14 (Witness excused.)

15 CHAIRMAN HALL: Okay, we will move, then, to
16 the parties. Mr. Jakse, does Monsanto have any
17 questions for this witness?

18 MR. JAKSE: Mr. Chairman, we have no

1 questions.

2 CHAIRMAN HALL: Okay. Mr. Wurzel, does the
3 International Association of Machinists have any
4 questions for this witness?

5 MR. WURZEL: Mr. Chairman, we have no
6 questions.

7 CHAIRMAN HALL: Mr. Weik, does Parker
8 Hannifin have any questions for this witness?

9 MR. WEIK: Mr. Chairman, no, we don't.

10 CHAIRMAN HALL: Mr. Purvis, does Boeing have
11 any questions for this witness?

12 MR. PURVIS: Mr. Chairman, we have no
13 questions.

14 CHAIRMAN HALL: Okay. Mr. Donner, does FAA
15 have any questions for this witness? We could get
16 the --

17 MR. DONNER: No questions, Mr. Chairman,
18 thank you.

1 CHAIRMAN HALL: Captain Sharp, does USAir
2 have any questions for this witness?

3 CAPTAIN SHARP: Just a couple, Mr. Chairman.
4 Captain Jackson, while you were riding in the cockpit
5 on the jump seat you had a chance to observe both
6 pilots flying the airplane. How would you characterize
7 their performance in those situations of both the
8 Captain and the First Officer?

9 THE WITNESS: I thought they were a well-
10 qualified and very able crew. They, as I said before,
11 had a very good rapport between themselves, they seemed
12 to have a good working relationship in the cockpit,
13 everything that needed to get done had a timely
14 sequence to it.

15 They utilized the aircraft checklist, made
16 all the standard and required call-outs, and all in all
17 I thought it was a very capable and very professional
18 crew.

1 CAPTAIN SHARP: Would you say that the
2 activities of the two pilots and their exercise of CRM
3 was professional and adequate?

4 THE WITNESS: Yes, sir. They had a good
5 working relationship between themselves and they, in
6 fact, included me in discussions of watching for air
7 traffic control as a jump seat rider being a second set
8 of -- or, third set of eyes on the flight up, and
9 discussions about arrival into Chicago.

10 CAPTAIN SHARP: Thank you, Captain Jackson.
11 Mr. Chairman, I have no further questions.

12 CHAIRMAN HALL: All right, Captain LeGrow,
13 does the Airline Pilots' Association have any
14 questions?

15 CAPTAIN LEGROW: Mr. Chairman, just a couple.
16 Good afternoon, Captain Jackson.

17 THE WITNESS: Hi.

18 CAPTAIN LEGROW: On your flight between

1 Jacksonville and Charlotte you rode in the cabin of the
2 airplane, is that correct?

3 THE WITNESS: Yes.

4 CAPTAIN LEGROW: And then you rode in the
5 jump seat, and you said you didn't identify any noises.
6 How much experience do you have in the Boeing 737?

7 THE WITNESS: I have flown the aircraft both
8 as the Captain and First Officer, and I have
9 approximately 2,800 hours in that aircraft.

10 CAPTAIN LEGROW: Have you ridden frequently
11 in the cabin of the airplane?

12 THE WITNESS: Yes.

13 CAPTAIN LEGROW: Thank you. You stated that
14 sometime during cruise the flight attendant called the
15 Captain and identified a noise, and he said that you
16 must have inadvertently hit the PA mike switch. Would
17 you just describe briefly where that is located?

18 THE WITNESS: Certainly. It is located on

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 the aft wall of the center pilot console. Sitting in
2 the jump seat that mike would only be several inches
3 from my knees. It is on a clip that hangs on that
4 podium, so it is exposed externally on the outside of
5 the podium -- the console -- and the mike key itself is
6 located on the top portion of that microphone.

7 CAPTAIN LEGROW: Thank you. I have no
8 further questions, Mr. Chairman.

9 CHAIRMAN HALL: Mr. Marx, do you have any
10 questions for this witness?

11 (Pause.)

12 MR. MARX: During your flight when you were
13 jump seat rider, did you notice the position of the
14 feet of the pilot, or the co-pilot?

15 THE WITNESS: No, sir, I didn't. I can't
16 recall exactly. I assume they were on the floor near
17 the rudder pedals.

18 MR. MARX: In your experience as a First

1 Officer, or a Captain where do you normally keep your
2 feet during that phase of flight?

3 THE WITNESS: On the floor.

4 MR. MARX: On the floor. Thank you.

5 CHAIRMAN HALL: Mr. Clark, do you have any
6 questions for this witness?

7 MR. CLARK: No, sir, I don't.

8 CHAIRMAN HALL: Mr. Schleede?

9 MR. SCHLEEDE: No questions.

10 CHAIRMAN HALL: Mr. Laynor?

11 MR. LAYNOR: Captain, do you have anything
12 else that you would add to this record, or would care
13 to add at this time?

14 THE WITNESS: Not really. I think we have
15 pretty much covered everything that I can attest to.

16 MR. LAYNOR: Okay.

17 CHAIRMAN HALL: I believe, then, unless there
18 are -- I hear any other questions of any of the

1 parties, the Technical Panel, or the people at the
2 table have, that concludes our testimony. We
3 appreciate your presence here today. Yes, sir, you had
4 one additional question?

5 VOICE: (Inaudible.)

6 CHAIRMAN HALL: The microphone. We --

7 (Pause.)

8 CAPTAIN LEGROW: Mr. Chairman, is the Captain
9 now excused? He wants to go back to work. I just
10 wondered if he was excused for the day?

11 CHAIRMAN HALL: Yes, Captain Jackson, you are
12 excused. Thank you, sir.

13 (Witness excused.)

14 I would like to call the next witness, Mr.
15 William Perry, Supervisory Special Agent with the
16 Federal Bureau of Investigations, Pittsburgh,
17 Pennsylvania.

18 VOICE: (Inaudible.)

1 CHAIRMAN HALL: All right, Mr. Perry?

2 (Pause.)

3 CHAIRMAN HALL: Mr. Perry, thank you for your
4 presence here today, and Mr. Schleede has some initial
5 questions.

6 (Witness testimony continues on the next
7 page.)

8

9

10

11 WILLIAM PERRY, SUPERVISORY SPECIAL AGENT, FEDERAL

12 BUREAU OF INVESTIGATION, PITTSBURGH, PENNSYLVANIA

13 Whereupon,

14 WILLIAM PERRY,

15 was called as a witness by and on behalf of NTSB, and,

16 after having been duly sworn, was examined and

17 testified on his oath as follows:

18 MR. SCHLEEDE: Mr. Perry, could you give us

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 your full name and business address for the record,
2 please?

3 THE WITNESS: Yes, William Perry, Federal
4 Bureau of Investigations, 700 Grant Street, Pittsburgh,
5 Pennsylvania.

6 MR. SCHLEEDE: What is your position with the
7 FBI?

8 THE WITNESS: My position is a Special Agent
9 in Charge of the FBI Field Office in Pittsburgh.

10 MR. SCHLEEDE: How long have you held that
11 position?

12 THE WITNESS: I have held that position for
13 three years.

14 MR. SCHLEEDE: How long have you worked for
15 the FBI?

16 THE WITNESS: I have worked for the FBI
17 approximately 24 years as a Special Agent.

18 MR. SCHLEEDE: Could you give us a brief

1 description of your education and background which
2 qualifies you for your position?

3 THE WITNESS: Yes. I have a -- graduated
4 college in 1965, subsequent to college entered the
5 United States Navy as a Naval Officer in Submarine
6 Service for approximately six years and thereafter
7 entered the FBI in 1971 and served with the FBI in the
8 Detroit, Philadelphia and Miami field offices and at
9 FBI Headquarters in Washington, D.C.

10 MR. SCHLEEDE: Thank you. Mr. Haueter will
11 proceed with questioning.

12 (Pause.)

13 MR. HAUETER: Okay. Mr. Perry, can you hear
14 me?

15 THE WITNESS: Yes, sir.

16 MR. HAUETER: Thank you for coming this
17 afternoon. Just a few questions. There was a lot of
18 speculation early on in the investigation of possible

1 foul play. To your knowledge, were there any protected
2 witnesses on board flight 427?

3 THE WITNESS: To my knowledge, there were no
4 protected witnesses on board USAir flight 427.

5 MR. HAUETER: Were there any persons on 427
6 that the FBI would be suspect for possible criminal
7 intent, or --

8 THE WITNESS: Well, initially we heard
9 speculation that there was a protected witness aboard
10 that, so I made -- and representatives of my office
11 made inquiry as to that, and an individual named Paul
12 Olsen who was aboard that aircraft had gone to Chicago
13 on September 7th at the request of the United States
14 Attorneys Office in Chicago to be debriefed concerning
15 possible information that he might have concerning a
16 defendant who was coming up for trial in the Chicago
17 office.

18 MR. HAUETER: Was this gentleman ever

1 considered for the witness protection program, or --

2 THE WITNESS: He was not in the witness
3 protection program and never had been in the witness
4 protection program. I don't know if he was ever
5 considered for it.

6 MR. HAUETER: During the investigation
7 several samples, or parts of the aircraft were sent to
8 the FBI's laboratory in Washington. Were there any
9 residue that would indicate an explosion, or chemical
10 debris?

11 THE WITNESS: On two occasions specimens were
12 sent by NTSB to the Federal Bureau of Investigation for
13 examination of residue that would be consistent with an
14 explosive device on the plane.

15 No residue consistent with an explosive
16 device was determined in examination of those
17 specimens. Those specimens were provided on September
18 14th and September 19th.

1 MR. HAUETER: Also, the Safety Board made a
2 request for the FBI to assemble a team of bomb
3 specialists to look at the wreckage in the hangar.
4 Could you describe those activities for us, please?

5 THE WITNESS: That is correct. On December
6 19th and 20th four bomb experts from the FBI examined
7 wreckage from flight 427 in the USAir hangar in
8 Pittsburgh, Pennsylvania.

9 The examiners considered the possibility
10 that, one, an explosive device was placed, or carried
11 on board and was inside the aircraft when it detonated
12 and that, two, an explosive device such as an air-to-
13 air or surface-to-air missile may have detonated
14 outside the aircraft.

15 Thousands of aircraft fragments were examined
16 by the forensic examination team for indications of
17 explosive damage, explosive related phenomena and
18 components of various explosive devices.

1 Based on the forensic examinations of the
2 investigative team, no evidence was found on or among
3 the items examined which would indicate that an
4 explosion occurred internally or externally to the
5 Boeing 737 which was USAir flight 427 prior to its
6 crash.

7 MR. HAUETER: How many members of the FBI's
8 team were there?

9 THE WITNESS: There were four bomb experts
10 that examined the wreckage in the hangar.

11 MR. HAUETER: I guess my last question -- and
12 this has been a nagging question in the event of a
13 bomb. In the FBI's estimation, is there any reason to
14 consider that foul play was a part of this accident?

15 THE WITNESS: No. When I responded to the
16 crash scene, I did for two purposes -- and
17 representatives from my office. One was for any
18 request by the Coroner's Office to have our disaster

1 team proceed to the location in helping to identify the
2 remains, and number two was the FBI would be the
3 federal law enforcement agency that would respond to
4 any indication of a criminal act that caused that
5 crash.

6 Attending to those responsibilities, I
7 remained with the Investigative Team from NTSB and
8 attended at least all of the briefings looking for any
9 indication that would suggest a criminal act.

10 Particularly, during that time, I was in -- I was
11 in communication with FAA bomb search -- bomb experts
12 which examined the wreckage at the scene regarding any
13 indication by them that there was a criminal act of any
14 sort involved with the accident, and none was
15 forthcoming and no indication has come to our attention
16 that would support that there was criminal act involved
17 in that crash.

18 MR. HAUETER: Thank you. That's all the

1 questions I have, Mr. Chairman.

2 CHAIRMAN HALL: All right. Mr. Weik with
3 Parker Hannifin, does Parker -- do you have any
4 questions for this witness?

5 MR. WEIK: Mr. Chairman, not at this time.

6 CHAIRMAN HALL: Mr. Jakse with Monsanto, do
7 you have any questions for this witness?

8 MR. JAKSE: No questions, Mr. Chairman.

9 CHAIRMAN HALL: Mr. Wurzel with the
10 Machinists?

11 MR. WURZEL: Yes, Mr. Chairman, one question.
12 Good afternoon, Mr. Perry.

13 THE WITNESS: Good afternoon, sir.

14 MR. WURZEL: To your knowledge, are there any
15 explosives that you know of in existence that when
16 detonated do not leave a residue?

17 THE WITNESS: Sir, I do not know. I would
18 qualify that in terms of the fact that I am not a bomb

1 expert, but was requested to testify as to the results
2 of our examinations.

3 MR. WURZEL: One more question. What are the
4 possibilities of such a device being placed on board
5 USAir flight 427?

6 THE WITNESS: I could not speculate to the
7 possibility of such a device being placed on flight
8 427.

9 MR. WURZEL: Thank you. That concludes my
10 questions.

11 CHAIRMAN HALL: Thank you. Mr. Purvis, do
12 you have any questions?

13 MR. PURVIS: I have a couple of questions for
14 Mr. Perry, thank you.

15 CHAIRMAN HALL: Please proceed.

16 MR. PURVIS: When you examined the wreckage
17 in the hangar on December 19th and 20th, had it already
18 been decontaminated with chlorine, with a chlorine

1 solution?

2 THE WITNESS: I don't know the answer to -- I
3 don't know if it had, or had not. That would be more
4 properly directed to other people that were involved
5 prior to their arrival at the scene.

6 MR. PURVIS: Are you aware of explosive
7 devices that are made, like RDX or PETN, that have a
8 very small, light-weight -- can be put in a very small,
9 light-weight package and when they do detonate, or if
10 they are detonated that they create almost no
11 explosion, or fire -- or, smoke or fire?

12 THE WITNESS: No. I personally am not
13 familiar with those -- with those devices; however, I
14 can speak in terms of the results of the examination in
15 terms of what they looked for and what they did not
16 find.

17 MR. PURVIS: Okay, I would like to have you
18 describe that.

1 THE WITNESS: In my discussion with the Chief
2 Examiner, they looked for a phenomena that would be
3 consistent with an explosive -- a high explosive device
4 being set off on that flight. For example, pitting, or
5 cratering, or feathering, gas-washing also, and found
6 none of that phenomena that would be indicative of a
7 high explosive on that flight.

8 MR. PURVIS: Okay. Are you aware that only
9 maybe 20 percent of the forward area of the fuselage
10 and the floor beams -- less than 20 percent was
11 examined?

12 THE WITNESS: It was bound for examination.
13 I can only speak to what was in the hangar that the
14 NTSB requested that we examine. In terms of that
15 examination, they examined thousands of fragments that
16 were in that hangar, and no determination was found, or
17 residue that would indicate any explosive device.

18 MR. PURVIS: There was about -- there were

1 about 13 bags and maybe 2,000 pounds of magazines in
2 the forward compartment. Was that examined?

3 THE WITNESS: The -- whether that was part of
4 the debris that was forwarded in terms of -- when I
5 spoke of the prior examinations at FBI Headquarters,
6 the NTSB sent numerous debris and items to the FBI for
7 examination. Where those debris and specimens came
8 from was not described.

9 So, whether -- in answer to your question,
10 whether that was part of that debris sent for
11 examination of residue, I do not know. What was sent
12 did not contain residue indicative of an explosive
13 device.

14 MR. PURVIS: Okay, so you are not -- you are
15 not aware of whether that forward cargo material was
16 examined, or what -- you are not aware that it was not
17 examined?

18 THE WITNESS: That is correct.

1 MR. PURVIS: Okay. Thank you very much, Mr.
2 Chairman.

3 CHAIRMAN HALL: Captain LeGrow, Airline
4 Pilots' Association?

5 CAPTAIN LEGROW: Thank you, Mr. Chairman. I
6 have just a couple questions. Good afternoon, Mr.
7 Perry.

8 THE WITNESS: Good afternoon, Captain.

9 CAPTAIN LEGROW: You stated -- you testified
10 that there was a passenger on USAir 427 by the name of
11 Paul Olsen that had been called to Chicago by the U.S.
12 Attorney, I believe you said, to be interviewed in a
13 case. Could you tell us what kind of case it was?

14 THE WITNESS: Yes, it was a representative of
15 the United States Attorneys Office that requested his
16 appearance there. It was a narcotics investigation, a
17 drug investigation conducted by the United States
18 Attorneys' Office, and also with the IRS and DA.

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 Mr. Olsen was asked to go to Chicago.
2 They -- the United States Attorneys' Office had
3 information that they had just recently received that
4 he might be able to provide information regarding a
5 defendant.

6 The defendant had been indicted in 1988 and
7 had not been located until recently. So, what they
8 were looking to talk to Mr. Olsen about was any
9 association he had had with that defendant in terms of
10 drug activity prior to 1988.

11 The individual -- in my discussion with
12 representatives of the United States Attorneys Office
13 is they debriefed Mr. Olsen and determined that his
14 information was of little -- limited value to them.
15 They had not made a determination at the time of the
16 crash whether they intended to use him in trial, or not
17 to use him in trial.

18 Subsequently, they felt that they would not

1 have used him in terms of that trial. Subsequently,
2 the defendant in question pled guilty to those drug
3 charges.

4 CAPTAIN LEGROW: Okay, thank you. Did Mr.
5 Olsen appear of his own volition, or was he subpoenaed
6 to (inaudible).

7 THE WITNESS: He appeared on his own
8 volition.

9 CAPTAIN LEGROW: Thank you. During the
10 course of the investigation, it was some two months
11 after the accident that the FBI conducted their
12 examination in Pittsburgh wreckage, is that correct?

13 THE WITNESS: That is correct, sir.

14 CAPTAIN LEGROW: Could you tell us why it
15 took two months for the FBI to examine the wreckage?

16 THE WITNESS: The FBI examined the wreckage
17 at the request of the National Transportation Safety
18 Board. The individual agency that had been the on-

1 scene investigation investigators relative to any bomb
2 that might have been on board was the Federal Aviation
3 Administration which we consulted with on a regular
4 basis as to any evidence that they might have found of
5 an explosive device.

6 CAPTAIN LEGROW: So, that request was not
7 made by the FAA, but was made by the Safety Board?

8 THE WITNESS: That is correct.

9 CAPTAIN LEGROW: Thank you. I have no
10 further questions.

11 CHAIRMAN HALL: USAir, Captain Sharp, do you
12 have any questions for this witness?

13 CAPTAIN SHARP: We have no questions, Mr.
14 Chairman.

15 CHAIRMAN HALL: Mr. Donner, does the Federal
16 Aviation Administration have any questions for this
17 witness?

18 (Pause.)

1 If we could get Mr. Donner's microphone?

2 MR. DONNER: We have no questions.

3 CHAIRMAN HALL: Mr. Marx, do you have any
4 questions for this witness?

5 MR. MARX: (Inaudible.)

6 CHAIRMAN HALL: Mr. Clark, do you have
7 questions for this witness?

8 MR. CLARK: No, sir.

9 CHAIRMAN HALL: Mr. Schleede?

10 MR. SCHLEEDE: Yes. Are you aware of any
11 claims by individuals, or organizations that they
12 sabotaged flight 427? Are you aware of any claims?

13 THE WITNESS: No, sir, I am not aware of
14 any -- any -- we have not received any evidence that
15 would suggest a criminal act, other than speculation on
16 somebody, and in each instance where we had speculation
17 we went out and asked those persons, and they had no
18 personal knowledge of any, or could provide no

1 information of a sabotage, or a criminal act.

2 MR. SCHLEEDE: Well, I am aware that in
3 several cases in the past organizations have made a
4 claim following a disaster officially through some
5 channel, through an embassy, or through official
6 channels, and I am aware that your organization would
7 receive classified message traffic.

8 Are you aware of any claims of that nature,
9 individuals or organizations, against flight 427?

10 THE WITNESS: We received no such claim, sir.

11 MR. SCHLEEDE: Thank you.

12 CHAIRMAN HALL: Mr. Laynor?

13 MR. LAYNOR: No questions.

14 CHAIRMAN HALL: Mr. Perry, as you know, there
15 has been a great deal of press attention to this
16 accident and this investigation. I would appreciate if
17 you could walk us through exactly what you did and what
18 the FBI routinely does when it is called to an accident

1 of this nature and, again, just briefly outline for us,
2 if you would, your work on that particular day of the
3 accident.

4 MR. ERCK: The night that the accident
5 occurred I received information and proceeded to the
6 scene of the accident and asked representatives from my
7 office to also proceed to the scene of that accident.

8 My responsibility, as I had mentioned
9 previously, was twofold. One, I was -- I was
10 interested in determining if assistance was needed in
11 terms of the disaster team that would respond to assist
12 the Coroner in the identification of the remains. That
13 request was forthcoming from the Coroner, and the
14 disaster scene proceeded to Pittsburgh, D.C. -- from
15 Washington, D.C. and was assisted by my office in terms
16 of the identification.

17 Also, the FBI would be responsible to
18 investigate any federal laws that if there was a

1 criminal act regarding the crash of flight 427, the FBI
2 would be responsible for the investigation of that
3 criminal act and, as a result, I and representatives of
4 my office attended the daily debriefings held by the
5 National Transportation Safety Board with the intent of
6 learning any information that came to anyone's
7 attention that would suggest a criminal act occurred in
8 regard to that crash.

9 It was also to stay close with the FAA who
10 was a part of that on-scene investigative team to be
11 alert to any indication that there was any criminal act
12 that was responsible for that crash.

13 CHAIRMAN HALL: Since the date of that
14 accident, again let me ask the question that Mr.
15 Schleede asked. Has the FBI received any information
16 that -- or, any claim from any party that would lead
17 you to believe that an investigation of a criminal act
18 causing this accident is warranted?

1 THE WITNESS: No, sir.

2 CHAIRMAN HALL: In addition, did you look at
3 the -- and was there discussion at the time of the
4 wreckage pattern of this aircraft, and if a bomb had
5 been aboard whether there would have been an in-flight
6 break-up of the plane?

7 THE WITNESS: I --

8 CHAIRMAN HALL: -- and resulting in scattered
9 wreckage, or do you know whether that was part of --
10 part of your investigation?

11 THE WITNESS: I can only recall from the
12 debriefings that occurred during the NTSB
13 investigation, and I think it was mentioned earlier by
14 Mr. Haueter that there was some -- some specimens that
15 were later sent to the FBI laboratory that were found
16 downwind from the crash site.

17 Those -- some of those I think were forwarded
18 to the FBI laboratory in Washington, D.C. concerning

1 any -- the identification of any residue that would
2 expect an explosive device, and no residue -- no such
3 residue was found on those items.

4 CHAIRMAN HALL: There is an exhibit -- I
5 believe it is Exhibit 7(i) in the docket -- that is a
6 report in addition, from a Special Agent Edward Kittel
7 who is with the Aviation Explosive Security Unit of the
8 FAA, and in addition we have evidence, a report from
9 the FBI laboratory that is in the file.

10 Is there anything else, sir, that you would
11 like to add at this time that would assist us with this
12 hearing?

13 THE WITNESS: No, sir, other than to say that
14 in addition to that FBI report that you had mentioned
15 dated December 27th, there is also an FBI report dated
16 September 20th and October 3rd that covers the
17 specimens that NTSB sent to the FBI laboratory for
18 examination.

1 CHAIRMAN HALL: I believe that concludes at
2 this point our questions, Mr. Perry. Would you be
3 available this week if there were additional questions
4 for you?

5 THE WITNESS: Yes, sir.

6 CHAIRMAN HALL: Okay, thank you very much.
7 You are excused.

8 (Witness excused.)

9 I think as we are approaching a little after
10 1:20, I think it would be appropriate at this time to
11 take a 15 minute break. We have a number of additional
12 witnesses to cover today, so I would ask those who are
13 interested in this proceeding to be back in their seats
14 in 15 minutes. Off the record.

15 (Whereupon, a brief recess was taken.)

16 CHAIRMAN HALL: On the record. The next
17 witness is Mr. George Green, a Vortex Project Engineer
18 for NASA-Langley. Mr. Green, if you would please

1 approach.

2 (Witness complies.)

3 Mr. Schleede, if you would begin the
4 questioning? Mr. Schleede, excuse me. Let me -- I
5 meant to mention before -- I apologize, Mr. Green. In
6 an attempt to facilitate this minor difficulty we are
7 having with the microphones -- and I appreciate the two
8 gentlemen to my left who are assisting up here in this
9 endeavor. I would ask that the parties at the table
10 would please keep their microphones on, or be sure
11 before you are called upon that your microphone is on.

12 Secondly, they have told me that the Board
13 has the microphones identified by the party's name, so
14 I will call the party's name when I call on each
15 person.

16 To save some time, unless you have a question
17 on some of these witnesses -- I will ask you at the
18 conclusion to hold your hand up. If you all have

1 questions, fine. If not, I will not call on you if you
2 do not have questions for a particular witness, and
3 that may save us some time. Will you please proceed,
4 Mr. Schleede?

5 (Witness testimony continues on the next
6 page.)

7

8

9

10

11

12 GEORGE GREEN, WAKE VORTEX PROJECT ENGINEER, NASA-
13 LANGLEY, HAMPTON ROADS, VIRGINIA

14 Whereupon,

15 GEORGE GREEN,

16 was called as a witness by and on behalf of NTSB, and,
17 after having been duly sworn, was examined and
18 testified on his oath as follows:

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 MR. SCHLEEDE: Mr. Green, would you please
2 state your full name and business address for our
3 record?

4 THE WITNESS: My name is George C. Green. My
5 address is Langley Research Center, Hampton, Virginia.

6 MR. SCHLEEDE: What position do you hold at
7 Langley?

8 THE WITNESS: I am a Senior Research Engineer
9 on the Vortex Project Engineer. I have responsibility
10 for Wake Vortex Research at NASA-Langley.

11 MR. SCHLEEDE: Could you give us a brief
12 description of your education and background that
13 qualifies you for your present position?

14 THE WITNESS: I have a Bachelor and Masters
15 Degree in Engineering. I have worked at NASA-Langley
16 for 30 years. The first 15 years was in developing
17 measurement techniques for atmospheric research.

18 I was in charge of a weather station which we

1 flew to the planet Mars in the late 70's. For the last
2 15 years I have been in wake vortex research in one
3 capacity or another, leading that research at NASA-
4 Langley.

5 MR. SCHLEEDE: Do you hold any FAA ratings or
6 certificates?

7 THE WITNESS: No, I fly some for fun, but I
8 have no official rating.

9 MR. SCHLEEDE: Thank you. Mr. Jacky will
10 proceed.

11 (Pause.)

12 MR. JACKY: Thank you, Mr. Schleede.

13 CHAIRMAN HALL: Mr. Jacky is on the Technical
14 Panel.

15 MR. JACKY: Is this better?

16 CHAIRMAN HALL: Maybe you want to get closer
17 to the microphone, Mr. Jacky, if you would, please, and
18 maybe raise it up a little to make sure everybody can

1 hear.

2 MR. JACKY: My apologies. Good afternoon,
3 Mr. Green. You have been called to testify to the
4 phenomena of wake vortices. Could you please briefly
5 describe some of the research that you have
6 accomplished while at NASA on this phenomena?

7 (Pause.)

8 THE WITNESS: As I said, I have been involved
9 in this research for about 15 years doing both
10 theoretical and experimental research. During that
11 period of time we have worked with a number of agencies
12 in the U.S. Government and other governments abroad.

13 Wake vortex issues are important not only in
14 the U.S., but most other countries, as well. In
15 addition to theoretical research, we do wind tunnel
16 experiments, what we call towing tank experiments. We
17 assist the FAA and any other organization that is
18 trying to run experiments in this area.

1 We do that in a cooperative nature, because
2 we like to get whatever data we can get from whatever
3 sources we can get it, since it is important. They are
4 important military applications of wake technology.

5 We cooperate with military organizations.
6 Usually when there is a Vortex problem almost anywhere,
7 either in an airport, or military accident, or
8 whatever, we get involved. We have been involved in
9 other NTSB investigations, as you are probably aware.

10 MR. JACKY: Could you explain or answer if
11 any of this research has been involved with the Boeing
12 727 aircraft?

13 THE WITNESS: There was a few years ago a
14 rather extensive test series at Idaho Falls that we
15 assisted the FAA in setting up a measurement program
16 for, and the primary purpose of that program was to
17 measure the wake characteristics of some of the newer
18 aircrafts, specifically a Boeing 757 and 67.

1 As a control, a Boeing 727 was also included
2 in that test matrix so that the data could be compared
3 with data taken years earlier to see if there was any
4 change in the test technique that might cause the 727
5 data to be different from test to test, and therefore
6 give us a clue as to whether the test technique was
7 suitable for looking at the other aircraft.

8 CHAIRMAN HALL: Now, Mr. Jacky, I believe it
9 would assist the general public and any observers if
10 you could ask Mr. Green to begin with an explanation
11 for us as simply as he can put it of what a wake vortex
12 is.

13 MR. JACKY: Yes, sir, that was my next
14 question, as a matter of fact.

15 (Laughter.)

16 THE WITNESS: I have some transparencies, if
17 I might use them, that I don't think would be
18 controversial that might help with that.

1 (Visual aid shown.)

2 When an airplane generates lift, in the
3 process of generating lift you end up with a higher
4 pressure underneath the wing than you do above and, as
5 you can see rather vividly in this photograph -- well,
6 first of all, wake vortices are invisible.

7 It is a swirling mass of air that you can't
8 see, and in this particular test there is a source of
9 red smoke which you can see along the ground, and this
10 smoke is caught up in a swirling air mass and it makes
11 the vortex visible.

12 It illustrates the way the swirling begins,
13 with high pressure air flowing outboard underneath a
14 lifting surface toward the lower pressure on top of the
15 wing, ending up in a spiral that is sometimes referred
16 to as a horizontal tornado.

17 In your personal experience, if you have ever
18 paddled a canoe, as you dip the paddle in the water you

1 will see a pair of whirlpools on the surface of the
2 water. It is a similar phenomena anytime you create
3 lift, or impart a force into a fluid.

4 (Next visual aid shown.)

5 The next transparency shows the 727 in
6 particular. The first aircraft was a small
7 agricultural aircraft. This is typical of many
8 transport aircraft where you have -- you may be in
9 different configurations.

10 For example, if you have flaps deployed you
11 will end up with more than one vortex from each side of
12 the wing. In this transparency, the aircraft had smoke
13 generators mounted on the outboard portion of the wing,
14 and that smoke is entrained in the vortex coming off
15 the tip of the wing.

16 Just downstream of the wing you see what
17 appears to be a kink in that smoke trail, and at that
18 point the vortex of the flap system which you can't see

1 at that point, since it is invisible, it is wrapping
2 around and merging with the vortex from the tip of the
3 wing which then ultimately ends up as a pair of
4 vortices which are rotating in opposite directions
5 downstream of the airplane.

6 These may extend, you know, quite some
7 distance. Their strength is predictable. How long
8 they last is a very strong function of the ambient
9 weather conditions.

10 (Next visual aid shown.)

11 The next chart summarizes how strong vortices
12 are. We use the term "circulation" to describe that.
13 Basically, they are proportional to the lift that you
14 are generating, or the weight of the airplane divided
15 by the air density, the forward speed of the aircraft
16 and the span of the generating aircraft, and that
17 factor K is a variable depending on how the wing is
18 loaded, or the aircraft configuration, whether or not

1 the flaps are down and so forth, and the --

2 When you use relatively simple formulas like
3 this to predict the initial strength, you get excellent
4 agreement with the measurements for the initial
5 strength of these vortices. The key question then
6 becomes how strong are vortices when they are perhaps
7 several miles behind an airplane, and that is addressed
8 on the next chart.

9 I am sorry, may we go back to the second
10 chart just to lead into this? I forgot to mention the
11 tower.

12 (Pause.)

13 The test series here that I described that
14 was conducted a few years ago, the aircraft were flown
15 upwind of a tower which had smoke plumes, as you can
16 see on the right.

17 The wind will transport vortices and, as you
18 fly further and further upwind of this tower, it takes

1 longer and longer for the smoke-marked vortices to
2 drift over to the tower, and the tower not only has
3 smoke, but it was equipped with quite extensive
4 instrumentation for measuring weather conditions and
5 the speeds in the vortex to measure the strength of the
6 vortex.

7 So, by varying the position the airplane was
8 flown upwind of the tower, you can progressively
9 measure strength of vortex with age by making different
10 passes by the tower. Now, the chart that --

11 CHAIRMAN HALL: Do the colors mean anything,
12 Mr. Green?

13 THE WITNESS: No, the colors have no meaning.
14 They were just intended to be dramatic.

15 CHAIRMAN HALL: Okay.

16 (Next visual aid shown.)

17 THE WITNESS: On this chart the colors do
18 have a meaning, and this is a chart taken from the Noah

1 publication which summarized the results of the test.

2 The tower was a NOAH facility in Idaho Falls.

3 There are three colors on this chart; red,
4 purple and green. On the vertical axis is a term which
5 is proportional to the strength, "the average
6 circulation." It is a technical term, and along the
7 bottom of the chart is vortex age in time.

8 Now, all of the red symbols are for a Boeing
9 727, and if you look at the scatter in those which were
10 taken at various times during the day it will be very
11 apparent that the weather has a very strong influence
12 on vortex strength, and there are only a very small
13 fraction of the symbols which are close to that red
14 line, and that is a curve that was drawn to bound
15 the -- this -- be an indication of the longest lasting
16 data from these tests for the 727.

17 Now, the factors that effect the K, primarily
18 things like atmospheric turbulence, tend to be stronger

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 near the ground than away from the ground, primarily
2 because the vertical change in the horizontal wind is
3 greater near the ground than at altitude, and also
4 because when the sun shines on the ground you get an
5 effect that is very similar to water boiling. You get
6 convective turbulence that is created by the heating of
7 the ground.

8 At certain times during the day near the
9 ground you can get the few points that have that long-
10 lasting characteristic where the ground is actually
11 radiating heat, beginning to give heat back, and the
12 ground becomes cooler and begins to cool the bottom
13 part of the atmosphere.

14 It is a little bit like putting oil on water.
15 It begins to stabilize the turbulence, so you end up
16 with some short periods during the day where vortices
17 may last longer than others.

18 We compare our theoretical results with data

1 like this to make estimates of what would happen to
2 vortices for conditions away from the ground where it
3 is very difficult to make these kinds of measurements,
4 and that is what we have done.

5 MR. JACKY: Could you relate what happens to
6 a vortex as it is generated by an aircraft?

7 THE WITNESS: When a vortex is generated it
8 immediately begins to descend. The fundamental aspect
9 of generating lift is that you are pushing air downward
10 and the reaction of that holds the airplane up so that
11 these vortices descend.

12 How fast they descend depends on -- it is
13 directly proportional to how strong the vortices are,
14 and it is inversely proportional to how far apart they
15 are, and this is reasonably predictable. We have, you
16 know, a fair amount of data on that.

17 As the vortices begin to descend it is some
18 initial velocity, and that as the vortices decay that

1 descent velocity begins to slow down, and finally at
2 some point the vortices cease to descend anymore and
3 they are moved laterally with the wind, or they move
4 with the general wind field.

5 MR. JACKY: What was your participation in
6 this accident?

7 THE WITNESS: For this accident, we took the
8 measurements of atmospheric conditions from the weather
9 team and we made an estimate of the turbulence levels
10 and other characteristics that we then put into a
11 theoretical calculation of how far the vortices from
12 flight 1427 would have descended and how much they
13 would have decayed so that we could have an estimate
14 that could be used in a simulation of a vortex
15 encounter to see if that would agree with the motions
16 that were observed.

17 MR. JACKY: If I could ask you to please
18 refer to Exhibit 13(i), please? Specifically, pages 15

1 through 18.

2 THE WITNESS: Is that here, or --

3 MR. JACKY: You should have the exhibit in
4 front of you, and we have also made some transparencies
5 of the pertinent pages.

6 (Pause.)

7 THE WITNESS: Okay, I have it in front of me.

8 MR. JACKY: Are these pages the plots that
9 you prepared in participation with this accident?

10 (Pause.)

11 THE WITNESS: Yes, these are curves that I
12 prepared.

13 MR. JACKY: Okay, could you briefly describe
14 them for us, please?

15 (Visual aid shown.)

16 THE WITNESS: Page 15, which is shown on the
17 overhead, shows how far a vortex from a 727 would
18 descend as a function of time given two different

1 assumptions about how the wing was loaded under
2 conditions of light turbulence and very light
3 stratification, similar to a standard atmosphere for
4 the speed of 205 nauts true with an airplane weight of
5 126,400 pounds with the air density there, and it shows
6 that the curve marked "elliptic" is sort of a classical
7 version of the way -- sort of a starting point, I
8 guess, in the design of airplanes.

9 The symbols, that "b" over "s", refers to how
10 far apart the vortices would be relative to the semi-
11 span -- I am sorry, to the span of the aircraft and for
12 an elliptic wing loading that is pi over 4, or about
13 .78 of the wing span, so that when the vortices are
14 fully rolled up in the wake the separation distance
15 between the vortices would be about .78, and what we
16 believe to be more representative for this airplane in
17 this configuration where the "b" over "s" is .7, in
18 this case, you can see with a "b" over "s" of about .7,

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 the vortices descend about 300 feet in approximately 70
2 seconds which is about the separation and altitude from
3 the preceding 727.

4 MR. JACKY: Could you proceed with --

5 CHAIRMAN HALL: This information is basically
6 as much as we could simulate from the aircraft that was
7 in front of the accident aircraft, is that correct, the
8 727?

9 THE WITNESS: I believe that is correct, yes.
10 This is the information that we were given on the
11 characteristics of the aircraft, plus our own research
12 data as to what kind of spacing and other
13 considerations that we have had from a number of
14 previous tests from this aircraft.

15 CHAIRMAN HALL: I just want to be sure
16 everybody is clear what you are talking about.

17 THE WITNESS: Because we use available data
18 to the maximum extent possible, but this is an

1 extrapolation to altitude where vortices do last longer
2 than they do near the ground, but it is also from a
3 theoretical standpoint the easiest to model, and we
4 have had much greater success in this case than we
5 normally do near the ground, so, in some sense, this is
6 a much easier problem than the tower fly-by case.

7 MR. JACKY: In terms of your calculations,
8 the weather conditions that you used for your plots
9 here, could you describe the atmospheric conditions
10 that went into these calculations?

11 THE WITNESS: Yes. The weather was -- the
12 winds were light. The winds were about 15 nauts and
13 there was almost no variation in wind with altitude,
14 which is conducive for producing very little
15 turbulence, and I guess it also agrees qualitatively
16 with the comments that we have heard, that it was a
17 smooth flight.

18 The wind direction was along the flight path,

1 nearly, so there would be very little lateral drift and
2 it would -- the vortices would be coming almost
3 straight down.

4 MR. JACKY: What would the weather conditions
5 indicate toward the life span and decay rate of the
6 wake vortex?

7 THE WITNESS: Well, that is shown on the next
8 transparency, I think, for this.

9 MR. JACKY: Page 16?

10 (Next visual aid shown.)

11 THE WITNESS: Well, this is actually what we
12 call a worst case here. These may be out of order, but
13 we can do this one. This is slightly different
14 conditions where there was -- we postulated there was
15 absolutely no turbulence, or stratification. It is a
16 condition that you can create in a laboratory, but it
17 hardly ever, if ever, occurs in the real world.

18 This gives you the worst case. The K

1 characteristics for a vortex. This allows you to set
2 an upper bound on the vortex strength, as it could not
3 be any higher than this. It would decay at least this
4 much.

5 CHAIRMAN HALL: For the record, Mr. Jacky, if
6 you could be sure that we know exactly the page number
7 and the exhibit that is presently on the screen and the
8 witness is testifying concerning. I believe it is page
9 16, is that --

10 MR. JACKY: Yes, that is correct.

11 CHAIRMAN HALL: Okay.

12 MR. JACKY: Exhibit 13, page 16.

13 CHAIRMAN HALL: Okay.

14 THE WITNESS: Actually, page 16 and 17 go
15 together, and 15 and 18 go together.

16 (Pause.)

17 Page 17 shows how the wake is predicted to
18 descend for those worst case conditions, which are

1 probably not even possible that it is that bad. In
2 that case, in 70 seconds the wake would be predicted to
3 descend nearly 350 feet, and in the more reasonable
4 conditions about 300 feet.

5 But, they are -- you know -- isn't, you know,
6 a great deal of difference in those, but do not think
7 it could have been any stronger than that worst case,
8 because that is already descending further than what
9 would be observed.

10 MR. JACKY: Okay, thank you. I would like to
11 now ask if you could refer to Exhibit 13(h), please?

12 (Witness complies.)

13 Specifically, page number 42.

14 (Pause.)

15 THE WITNESS: Okay, I have it.

16 MR. JACKY: This is a plot of the radar data
17 abstracted for both the USAir 427 and also the
18 preceding aircraft which is Delta 1083 which was

1 identified as a Boeing 727.

2 If I could, I would like to refer you to the
3 center of the plot and ask you to comment on the flight
4 tracks of the two airplanes in terms of the potential
5 for a wake vortex encounter.

6 THE WITNESS: Well, it is almost a classic
7 scenario when you could have a wake encounter when at a
8 point where the X range is minus three.

9 CHAIRMAN HALL: Again, Mr. Green, just to
10 help us, what is an encounter?

11 THE WITNESS: I am sorry.

12 CHAIRMAN HALL: In this situation.

13 THE WITNESS: When an airplane flies into
14 this rotating mass of air it tends to experience forces
15 that a pilot might not expect, the one that is usually
16 thought of as a rolling motion, but there also can be
17 yawing and pitching effects, as well.

18 In extreme situations, if you ingest a vortex

1 in an engine you can get a flame-out, so an encounter
2 could encompass a number of things.

3 CHAIRMAN HALL: There are a lot of different
4 encounters, but you are going to describe the one that
5 we best attempted to model here, correct?

6 THE WITNESS: That is correct. The point of
7 this chart is that an X range of minus three, the
8 flight tracks were vertically coinciding at a time
9 differential of about 70 seconds and they were
10 separated in altitude by 300 feet.

11 This is the classic example that if you were
12 near the ground the Airman's Information Manual warns
13 against. You don't want to be below and behind another
14 airplane.

15 MR. JACKY: In terms of the predicted wake
16 model by the 727, do you believe that there would be
17 the potential for 427 to have intercepted the vortices
18 from Delta 1083?

1 THE WITNESS: Yes, I do. The sky is a big
2 place and it is impossible to prove whether or not, you
3 know, any airplane went through a very small region,
4 but there was certainly a vortex in the general region
5 that flight 427 went through, and we predict with some
6 confidence roughly what its strength is and how far it
7 would have descended, and it would have been there to
8 be hit.

9 It is -- you know, it is impossible given the
10 general character of the atmosphere and the way things
11 change to say, "Yes, for sure it exactly hit it," but
12 it was certainly in the right place to be hit.

13 MR. JACKY: If we make the assumption that
14 427 did, indeed, encounter the 727's wake, given that,
15 could you make some sort of statement as to the
16 strength of the vortex that 427 would have encountered?

17 THE WITNESS: Well, our best prediction was
18 page 18 of the previous exhibit.

1 MR. JACKY: Would you like to go back to that
2 exhibit?

3 THE WITNESS: Yes.

4 MR. JACKY: Okay.

5 CHAIRMAN HALL: Page 18 from the previous
6 exhibit that we had up there on the screen a minute
7 ago.

8 MR. JACKY: Exhibit 13(i).

9 (Previous visual aid shown.)

10 THE WITNESS: The best estimate that I can
11 make is that the vortex strength would be just under
12 1,500 feet squared per second, which is simply a
13 technical unit, and you may recall that in the worst
14 case, which was the other chart that we showed, the
15 worst case it could be no higher than about 2,000, so
16 that we bounded the problem so if it were any stronger
17 it would have descended so far below the flight path
18 that it couldn't be hit and if it were significantly

1 weaker it wouldn't have got down to where it could be
2 hit.

3 So, with some certainty we can give you a
4 range of somewhere of about 1,500 feet squared per
5 second, which is the input that we gave that went in to
6 go into the Boeing simulation.

7 MR. JACKY: Okay, you are jumping ahead of
8 me, but that is my next question. Could you relate to
9 us your experiences regarding the Boeing simulator work
10 and the wake vortex integration?

11 THE WITNESS: Yes. When we participated in
12 that simulation we made these calculations and made
13 them available, I think, in parallel. Boeing had made
14 some similar estimates of strength and they were
15 reasonably similar, except perhaps for the what I will
16 call the core size. That is a technical parameter for
17 how large the center portion of a vortex is where you
18 have the extremely high velocities.

1 With the exception of a difference in the
2 core size of the vortices, the numbers were in pretty
3 good agreement and, in fact, in the simulator we used
4 both sets of numbers, and the pilots who were flying
5 the simulator while I was in the simulator as a witness
6 could not tell any significant difference between the
7 two.

8 MR. JACKY: So, could you then make an
9 estimate as to if when the circulation values that you
10 believe would be most likely to have been present at
11 the time, assuming a 427 encounter with the vortex,
12 could you describe what you thought was the result of
13 the interaction -- the simulator's interaction with
14 that wake?

15 THE WITNESS: It was about what I expected.
16 When an airplane flies into a vortex, the encounter
17 depends very much on the direction that it enters the
18 vortex. If you fly into a vortex and approach it from

1 the side, the almost immediate reaction is for the
2 vortex to toss you right out.

3 Typical encounters with vortices for jet
4 aircraft that are reported are usually pretty small,
5 ten degrees or so, and it -- at this altitude, you
6 know, that would not be any greater than you might
7 experience in turbulence, I guess, and occasionally you
8 get larger bank angles as a result of an encounter.

9 In the simulator, the motions that we were
10 going through, although we didn't have a direct read-
11 out of the bank angle, were consistent from, you know,
12 previous experience,

13 MR. JACKY: Would you believe that using a
14 vortex circulation value of approximately 1,500 feet
15 squared per second and assuming a 737 interaction or
16 encounter with that vortex, do you believe that the
17 resulting encounter matches, or can be related at all,
18 or characterized similarly to the results that were

1 shown from the -- from the accident aircraft?

2 THE WITNESS: The general character of the
3 flight data recorder traces -- for example, when you
4 get inside a vortex you have a lower pressure. It
5 often causes an error in the static pressure
6 measurement from the aircraft, giving you perhaps a
7 bump in air speed which you saw.

8 The general motions were of the right order,
9 you know, that you would expect. Again, when you -- in
10 terms of an exact replication of the motion at the time
11 we were in the simulator, it was not possible because
12 there is no such -- I mean, any path you take --

13 I mean, any pilot response is different, so
14 that anytime you fly into the same vortex you are going
15 to get a slightly different geometry of the encounter,
16 and the path the aircraft takes as it passes through is
17 going to be slightly different depending on control
18 inputs so that the traces may vary and will vary, you

1 know, with pilot technique and so forth, but, as a
2 general statement, there was -- there was a reasonable
3 match between what I expected and what we saw in the
4 simulator.

5 CHAIRMAN HALL: The bank angle in the
6 simulator was what? What did you use for the bank
7 angle?

8 THE WITNESS: The bank angle is whether the
9 wings are level, or not.

10 CHAIRMAN HALL: Right, okay.

11 THE WITNESS: And that's -- would be -- when
12 we were in the simulator, that is a visual
13 determination as you look out at the -- through the
14 projected cockpit windows.

15 CHAIRMAN HALL: Okay.

16 MR. JACKY: Would you believe that a vortex
17 with a circulation value of approximately 1,500 feet
18 squared per second would be enough to upset, or cause

1 severe roll to a 737?

2 THE WITNESS: I don't know what the word
3 "severe roll" means, but if it could be, you know, 10,
4 20, 30 -- you know, depending on exactly how you hit
5 it, it could vary either way. At the altitude it was
6 flying, that, in my experience, wouldn't be considered
7 a serious encounter.

8 I mean, we have had encounters with about
9 that much bank angle within a few hundred feet of the
10 ground where the pilot flies away.

11 MR. JACKY: I have no further questions.

12 CHAIRMAN HALL: Which of the parties desire
13 to question the witness? If you would, just hold your
14 hands up so I can see. ALPA? Anyone else? If not,
15 Captain LeGrow with the Airline Pilots Association,
16 please proceed with your questions.

17 CAPTAIN LEGROW: Thank you, Mr. Chairman.
18 Good afternoon, Mr. Green. On your chart on page 18 of

1 Exhibit 13(i) you are talking about a 15 -- and please
2 excuse my ignorance here, but it is 15 feet per second,
3 or 15 -- 15 feet squared per second? Is that --

4 THE WITNESS: 1,500 feet squared.

5 CAPTAIN LEGROW: 1,500, I am sorry. I
6 believe Mr. Jacky asked you, you know, if that would be
7 a substantial upset. In your experience at NASA, have
8 you ever known where an upset of -- or, a force of
9 between 1,500 and 2,000 would render a transport
10 airport -- airplane uncontrollable?

11 THE WITNESS: I am not an expert in
12 controllability of aircraft. We usually have to boil
13 down, you know, very subjective kinds of data into
14 something like bank angle, or something like that and,
15 you know, that strength vortex can give you 10, 20, 30
16 degrees of roll depending on how you get in it, and
17 whether or not that is -- and we usually make some
18 assessment of whether that is hazardous.

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 In our experience, that has not been a
2 hazardous bank angle when you have, you know, plenty of
3 altitude to recover in. When vortices are encountered
4 intentionally in a flight test program, you often use
5 altitudes about the same as flight 427 was, because
6 that is viewed as an altitude from which you have
7 plenty of time to recover.

8 With some of the smaller airplanes,
9 sometimes, you know, the -- the very smallest airplanes
10 behind the very largest you may have 360 degree rolls,
11 or 700 degree rolls at this altitude, with test pilots,
12 and have no problems whatsoever.

13 CAPTAIN LEGROW: But, in this encounter you
14 wouldn't expect more than a 30 degree bank, is that --

15 THE WITNESS: Ball park.

16 CAPTAIN LEGROW: That would be maximum in
17 your view?

18 THE WITNESS: It is typical of the kinds --

1 vortex encounters are not uncommon in the 20, perhaps
2 up to even the 30 degree range.

3 CAPTAIN LEGROW: Thank you. I have no
4 further questions, Mr. Chairman.

5 CHAIRMAN HALL: All right, if there are no
6 other questions from the parties, Mr. Marx, do you have
7 any questions?

8 MR. MARX: (Inaudible.)

9 CHAIRMAN HALL: Please proceed.

10 MR. MARX: In your testimony, you indicated
11 that the -- when you approach the vortex that the
12 airplane can get into a roll, pitch and/or a yaw
13 condition. That is what I heard you say. Could you
14 explain to me -- I can understand the roll, but I have
15 a hard time understanding how an airplane gets into the
16 yaw.

17 THE WITNESS: If you are approaching a
18 vortex, a pair of vortices, or a single vortex from

1 below, or if you are flying level and a vortex is
2 descending upon you, one of the first parts of the
3 airplane that feels the vortex is the vertical tail,
4 because it is sticking up and, as that vortex swirling
5 flow field impinges on the tail, then you will get
6 motion such as yawl and --

7 MR. MARX: That is only because it is
8 above -- it has to be -- in other words, it has to
9 be -- in other words, you have to be approaching this
10 vortex from below? If it is coming from above, you
11 won't have that?

12 THE WITNESS: Well, as you encounter a
13 vortex, this low pressure may exist over part of the
14 fuselage, and it is an extremely complex flow field
15 when you have a pair of vortices -- I hate to do this
16 with my hands, but you have got flow swirling in both
17 directions (demonstrating) and when you stick, you
18 know, almost any part of the airplane in there and the

1 airplane tends to disrupt that flow field a bit, you
2 get very complex flow patterns over the entire
3 aircraft.

4 MR. MARX: Okay, let's see if I understand
5 that. What is actually happening here is that the
6 rolling motion of the vortex is going against the side
7 of the tail and causing the yawl in the airplane? Is
8 that the way I understand it?

9 THE WITNESS: That is one of the causes and,
10 of course, airplanes are dynamic beings. Whenever
11 you -- the motions are coupled so that when you --

12 CHAIRMAN HALL: Mr. Green, would you mind
13 showing us with your hands, because you do do a good
14 job, the difference between a roll and a yawl?

15 THE WITNESS: A roll is with the wings
16 moving, as I am doing with my hands (demonstrating). A
17 yawl is if the airplane -- if the airplane turns side
18 to side. That is, the tail in the back wants to

1 weather cock the airplane into the local wind, or into
2 the local flow field, and when you change that flow
3 field with a vortex the airplane tries to align itself
4 with the new wind field.

5 CHAIRMAN HALL: Thank you. I think that is
6 very helpful for the people that aren't familiar with
7 those terms.

8 MR. MARX: Do you have any data on the amount
9 of yawl that you would expect to have if you approached
10 a vortex from below and have a high circulation number?
11 For instance, the 1,500 to 2,000, or 2,500 that we are
12 talking about?

13 THE WITNESS: Every time you encounter a
14 vortex, you get a different answer and --

15 MR. MARX: Well, you were mentioning
16 something about 10 to 20 degrees roll. Do you have
17 anything that would be an indicator for yawl?

18 THE WITNESS: You could get the same amount

1 roughly. I mean, you could get --

2 MR. MARX: Okay.

3 THE WITNESS: You could easily get five
4 degrees of yawl. It depends on the -- it depends a lot
5 on what the pilot is doing and how you encounter the
6 vortex.

7 MR. MARX: Well, in the worst case scenario.
8 Let's say that the -- you encounter the vortex from
9 below and the vertical fin is in the vortex and none of
10 the other part of the airplane is in there. What --
11 how much yawl can we maximumly get out of there?

12 THE WITNESS: Well --

13 MR. MARX: Just pure yawl.

14 THE WITNESS: That is really beyond my
15 expertise. You really need -- I mean, that is really
16 the reason that the simulation was done, and I think
17 there is someone who is going to testify as to what the
18 simulator would show you would get.

1 MR. MARX: I have one other question. It
2 deals with the circulation numbers that you feel is the
3 1,500 to 2,000 is insufficient to flip a 737 upside
4 down, and I am quoting from Exhibit Number 13(h) on
5 page 14. What circulation numbers would you need to
6 have to flip a 737 upside down?

7 THE WITNESS: I don't think there is anything
8 out there that can generate a strong enough vortex to
9 flip a 737 upside down.

10 MR. MARX: So, it would be -- you mean the
11 worst case scenario such as a heavy jet, a 747 --

12 THE WITNESS: It wouldn't flip it upside
13 down.

14 MR. MARX: And that is mainly in the -- oh, I
15 am sorry, that was 13(i). Instead of 13(h), it was
16 13(i). Well, I am confused as to why we are worried
17 about 737's flying behind 727's, then. Why do we have
18 a four-mile, 70-second, or whatever, rules for it if

1 the vortices won't cause an airplane to be upset?

2 But, what I am really looking for here is if
3 you have any numbers that would tell you what the
4 circulation data would be to cause an upset of the
5 airplane. If you don't have any, just say so.

6 THE WITNESS: I -- there aren't any hard
7 numbers, because it is very difficult to reach a
8 consensus as to what constitutes a hazardous upset,
9 because it is -- near the ground, I think you would not
10 want to have even a 10, or 20 degree upset when you are
11 very close to the ground, and if you are further from
12 the ground, you know, you have the safety margin of
13 altitude, and the separation standards and the way
14 you -- and the operational procedures, I mean, these
15 are procedures that have been developed over many, many
16 years of establishing separation so that by the time
17 the planes are near the ground, as they are being
18 sequenced in and spaced and such, that they will not

1 get into a hazardous situation.

2 MR. MARX: I have no further questions.

3 CHAIRMAN HALL: Mr. Clark?

4 MR. CLARK: Yes, I have several. Mr. Green,
5 in -- I believe in a general sense that you described
6 that the airplane was in the region of the vortex. Can
7 you put a number on that, the size of that region plus
8 or minus altitude, or --

9 THE WITNESS: If the flow field is disturbed
10 somewhat in a region that is on the order of two wing
11 spans, or a couple of hundred feet wide and maybe a 150
12 feet high, the largest part of the disturbance by far
13 is concentrated in a very small region that, you know,
14 may be as small as a few feet, but this flow field
15 extends, you know -- as you get into this flow field
16 and begin to feel it, it is large enough that its
17 effects extend over the entire aircraft once you begin
18 to get into it.

1 MR. CLARK: Okay. If we assume that the
2 center of the vortex is at the core, can you give me a
3 plus or minus range on the position you may find that
4 core? I think you indicated normally at 300 feet. Do
5 you have an estimate of a plus or minus range that that
6 core may be in?

7 THE WITNESS: Between 250 and 350 feet is the
8 range that I think would be possible, given the
9 atmospheric conditions.

10 MR. CLARK: Plus or minus 50 feet is what you
11 are comfortable with?

12 THE WITNESS: Um-hum.

13 MR. CLARK: If we assume that an airplane was
14 entering the vortex and there is a large flow field,
15 what will the effect of the nose have on -- or, the
16 front end of the airplane have on disturbing the
17 vortex, or busting the vortex, in your experience?

18 THE WITNESS: Well, that is something where

1 we have changed our mind in the past year as a result
2 of some tests. We have a wind tunnel technique where
3 we can actually fly an airplane inside a wind tunnel
4 and mount another aircraft wing upstream to generate a
5 vortex and, so, inside a wind tunnel simulate the
6 motions that one might experience.

7 We had always assumed that when you put an
8 airplane in the middle of a vortex that it would tend
9 to break the vortex up and somewhat reduce the hazard
10 potential.

11 What was observed in those tests was that the
12 vortex, instead of breaking up, would simply wrap
13 around the fuselage and -- which was a surprise and, of
14 course, the low pressure in there contributes to some
15 of the pitching and yawing moments that would be
16 observed when an airplane did encounter a vortex.

17 MR. CLARK: Okay, one final question. You
18 referred, or mentioned that at 6,000 feet an airplane

1 should have plenty of altitude for recovery from a
2 vortex upset. Were you referring to the type of upset
3 that we saw with the extreme attitudes in this case, or
4 were you referring -- at one point you mentioned a
5 typical upset of about a 30 degree bank angle.

6 THE WITNESS: I was referring to a typical
7 upset.

8 MR. CLARK: The 30 degree bank angle?

9 THE WITNESS: Yes, when -- with vortices of
10 this strength.

11 MR. CLARK: Okay, I have no further
12 questions.

13 CHAIRMAN HALL: Mr. Schleede?

14 MR. SCHLEEDE: Thank you. I misunderstood
15 your last statement here. I had a question about this.
16 The 30 degrees of bank that you mentioned in your
17 earlier testimony, was that what you said just recently
18 for a typical upset, or did you equate that to the

1 actual 427 event? Would you have expected this vortex
2 to cause a 30 degree bank?

3 THE WITNESS: No, this was what you would
4 expect -- what I would expect from an encounter with
5 the strength vortex, depending how you entered it. You
6 know, you -- anywhere from a few degrees up to
7 something like 30 degrees, depending on exactly how you
8 hit it.

9 MR. SCHLEEDE: So, that would be the largest
10 value you would estimate in worst case encounter?

11 THE WITNESS: The problem with that, we have
12 done a lot of testing and you never know if you have
13 hit exactly the worst case, but in my opinion that is
14 the ball park.

15 MR. SCHLEEDE: Okay, and you also mentioned
16 the typical or classical scenario you get rolling and
17 pitching and yawing. I know Mr. Marx pursued this
18 area. Can you quantify for us the yawing, as you

1 mentioned, the rolling up to 30 degrees. Can you
2 quantify in any way the potential yawing you would get
3 from the same value vortex?

4 THE WITNESS: I really can't. That is why
5 you go to a simulator, because, you know, these motions
6 are coupled. They depend on pilot inputs, they depend
7 on not only the forces, but the rates that things are
8 going on.

9 I think that probably discussion of
10 simulation will clarify some of this coupling when
11 you -- later in the testimony.

12 MR. SCHLEEDE: Okay, well, at one point
13 you -- I heard you say you could easily get five
14 degrees of yaw, and I thought that is what we could --
15 what was that based on? Was that --

16 THE WITNESS: There are a lot of traces
17 published in the literature of, "Look what happens to
18 airplanes when they encounter," and they are just, you

1 know, data traces of changes in the aircraft parameters
2 when they encounter vortices.

3 MR. SCHLEEDE: Those data, are those from
4 measured flight test data?

5 THE WITNESS: Yes.

6 MR. SCHLEEDE: At altitude, or from the
7 ground towers?

8 THE WITNESS: Most -- oh, typically at
9 altitude. It is very difficult to do flight testing
10 near the ground and be comfortable about the safety
11 impacts.

12 MR. SCHLEEDE: Are you aware in your
13 experience of any encounters in which a sustained
14 steady state yaw rate was caused by wake vortex?

15 THE WITNESS: Now, that is one of the areas
16 that is a little hard to understand about the trace
17 here. When you hit a vortex, most of the encounters
18 last, oh, less than a half second, or less than a

1 second. You are thrown out of it pretty quickly.

2 The exception to that is if you fly into a
3 vortex on one side and hit it just right so that it
4 sort of throws you over to the other vortex and you
5 get, maybe, bubble back the other way, or if you are
6 entering a vortex from the side and the vortex is
7 attempting to throw you out and you put in enough roll
8 control to stay in it, and then you drift through so
9 that you have both a vortex force and aircraft control
10 in the same direction that maybe takes you a little
11 longer to correct, and you roll through the other
12 vortex. Even there you don't get long, sustained,
13 steady kinds of forces.

14 MR. SCHLEEDE: I know you testified about
15 your contribution to the development of the model that
16 we are going to hear testimony about from Boeing. How
17 accurate do you believe that the model that was used in
18 this case is to the real world?

1 THE WITNESS: It is -- if I had to put a
2 number on it, I would say it is sort of a 20 percent
3 kind of accuracy. Anytime you are predicting what is
4 going on in the atmosphere, it is really hard.

5 It depends on the accuracy of your inputs.
6 When you have laboratory controlled conditions, it is
7 extremely accurate. When you have uncertainties in the
8 input conditions, it is going to -- it is going to give
9 you uncertainties in what you predict.

10 MR. SCHLEEDE: Well, help me with that 20
11 percent. 20 percent of possibility that it is correct,
12 or --

13 THE WITNESS: That is a fair question.

14 MR. SCHLEEDE: Thank you.

15 THE WITNESS: No, I think there is a -- this
16 is the easiest case to predict. We do this sort of
17 prediction routinely for a lot of different things.
18 There is actually a lot more interest in predictions of

1 this sort for military vehicles that have signatures
2 than there is even, you know, in the civil world, and
3 there has been quite a bit more energy expended in
4 trying to develop these kinds of methods for
5 applications for some of the military applications and,
6 so, there is data available that we can compare with
7 that gives us pretty good confidence for this kind of
8 condition.

9 MR. SCHLEEDE: So, can you put a value on the
10 confidence? I think we may have had the record
11 confused here with your 20 percent number you used.

12 THE WITNESS: Oh, I -- you know, I would say
13 that there is a very high confidence level that the
14 strength numbers are sort of within plus or minus 20
15 percent.

16 MR. SCHLEEDE: Okay, so that's worth 20
17 percent.

18 THE WITNESS: You know, you are not going to

1 be significantly over 2,000 feet squared per second,
2 and if there were a lot more turbulence than we think
3 there was you could be lower, but if it were much
4 weaker it would not have descended to the point where
5 an airplane could have encountered it. So, it pretty
6 much has to be in this range to even have been involved
7 in an encounter.

8 MR. SCHLEEDE: I know we have Mr. Kerrigan
9 coming on to testify. Do you feel the modeling and the
10 information that was used during the Boeing simulation
11 is representative of what you believe this vortex
12 strength was?

13 THE WITNESS: Yes, and I think that was Mr.
14 Jacky's intent in having NASA involved in that Boeing
15 effort and was to make sure that there was a consensus
16 that we were using reasonable inputs into the
17 simulation.

18 MR. SCHLEEDE: Thank you very much, Mr.

1 Green.

2 CHAIRMAN HALL: Mr. Laynor?

3 MR. LAYNOR: Just a couple. Mr. Green, are
4 there any active programs to -- leading to the
5 measurement of freer characteristics of vortices?

6 CHAIRMAN HALL: Yes, there are. Would you
7 like for me to tell you what is happening?

8 MR. LAYNOR: Yes, sir.

9 THE WITNESS: As a matter of fact, I am
10 currently heading up a tiger team effort in a joint
11 program with NASA and the FAA to look at the
12 possibility of changing, or seeing if there is any
13 reason to change some of the airplane separations near
14 the ground, and part of this is the result of the
15 NTSB's recommendations to the FAA, and they tend to use
16 us as their technical arm to help them accomplish that.
17 As part of that we just completed our initial
18 shake-down testing. We went to Memphis with a fairly

1 sophisticated set of instrumentation, probably the most
2 intense set of measurements that has ever been made.

3 When we -- the shake-down was successful. We
4 plan to be back at Memphis this summer where when the
5 weather conditions are more conducive to having long-
6 lasting vortices -- and make measurements for at least
7 a month at Memphis with the fleet mix that flies in and
8 out of Memphis.

9 One of the interesting things about the
10 Memphis site is that Fed Ex has a terminal there. They
11 use a lot of 727's and as that -- as weather conditions
12 change and we have a string of 727's, or quite a few of
13 them coming in, we have the opportunity not only to see
14 wakes of different airplanes, but we can look at wakes
15 of similar airplanes as the weather conditions change.

16 This is part of a longer-range program, but
17 which will -- I mean, we will go from there to another
18 airport since the weather conditions at one airport may

1 be totally unlike weather conditions at another
2 airport. But, it's a -- it's a multi-million dollar
3 per year program, because it is viewed within NASA as a
4 very important problem in this country.

5 MR. LAYNOR: What time frame do you think
6 information will start becoming available that will
7 allow you to confirm the extrapolation that is now done
8 from the tower tests?

9 THE WITNESS: Well, there is a wide range of
10 testing going on from using wind tunnel tests where we
11 mount models statically behind other models. We have
12 just completed testing behind 747 and DC-10 models.

13 We are going back into the free-flight wind
14 tunnel phase this summer with a 737 model as the model
15 that will encounter the vortex from the upstream wing,
16 so we will be doing this with a 737 model.

17 Not so much because of flight 427, but
18 because at NASA-Langley we have a very good static wind

1 tunnel model of a 737 and we have a 737 aircraft which
2 was the number one 737, and it is also an aircraft that
3 Boeing used 25 years ago in wake turbulence studies.
4 So, we will have eventually flight tests, the free-
5 flight wind tunnel and static tests all of the same
6 aircraft.

7 MR. LAYNOR: Within the next couple of years,
8 perhaps?

9 THE WITNESS: Um-hum.

10 MR. LAYNOR: What characteristics of the
11 airplane determine the velocity distribution, core size
12 and the maximum tangential velocity?

13 THE WITNESS: To the best of my knowledge,
14 there is no -- the answer is, no one really knows. We
15 separate airplanes now. We call them airplane
16 separation. Some of us believe they should be more
17 appropriately called weather separations.

18 Most of the pilots I talk to sort of know

1 that when they get one of those nice, calm days they
2 are a little more alert, and if they are being bounced
3 around in turbulence they don't really worry too much
4 about vortices. Separating out those effects is
5 something people have attempted for the past 20 years,
6 but without total success.

7 MR. LAYNOR: I think what I was trying to
8 find out, because you can have two aircraft that have
9 the same weight, wing span, fly approach speeds about
10 the same, so they would theoretically have about the
11 same circulation, I assume, but they could have
12 different vortex characteristics in terms of velocity
13 distribution, is that true?

14 THE WITNESS: That is correct, and things
15 like the relative import -- how much profile drag you
16 have, how clean the airplane is and where it is
17 distributed.

18 It is very difficult to quantify that, but

1 there was a lot of research done where people
2 intentionally added drag to airplanes in an attempt to
3 break up the vortices, and they were able to make them
4 decay, you know, somewhat more quickly.

5 So, in a qualitative sense we understand some
6 of these things, but I think it is safe to say that the
7 technology to design an airplane and accurately predict
8 exactly what its weight characteristics are going to be
9 in terms of a velocity distribution, you know, it is
10 not there, and it may not even be important. It may be
11 that it is only the total strength.

12 I know this is awfully technical, but
13 there -- you know, there is a term that we call
14 vorticity, which is sort of how fast a particle of
15 fluid is rotating, and then a term which we call vortex
16 strength, or circulation, which when you add all the
17 fluid particles up what do you get, and it is not clear
18 to what extent the distribution effects the total when

1 you have large airplanes.

2 When you have -- the problem we had many
3 years ago was one where you -- and it is still today.
4 The crashes tend to occur to the very smallest aircraft
5 which would just about span the vortex core, or, you
6 know, the inner part of a vortex, but when you have
7 encounters involving aircraft that have a 100-foot wing
8 span and extend far beyond the region where you have
9 the very high velocities, then it is the velocities in
10 this outer part of the flow which is determined by the
11 strength of the vortex which contributes most to the
12 torque that would tend to roll the aircraft.

13 MR. LAYNOR: Excuse me. Has NASA conducted
14 any simulations of vortex entries?

15 THE WITNESS: I beg your pardon?

16 MR. LAYNOR: Has NASA actually conducted any
17 simulations of vortex entries, vortex encounters?

18 THE WITNESS: Yes, they have.

1 MR. LAYNOR: But, you are not aware of those?

2 THE WITNESS: There is a long history of
3 simulations by at least a half a dozen organizations
4 over the past 20, or 30 years of vortex encounters.

5 MR. LAYNOR: I was curious how much data
6 exists that would allow you to look at different
7 angular entries, from perpendicular where you would get
8 a pitching moment to nearly parallel where it would be
9 nearly a pure roll. Is there much data around?

10 THE WITNESS: There is some, and we are
11 getting ready to add quite a bit to that database. I
12 mean, as part of this program I described earlier, you
13 know, there will be a considerable amount of
14 simulation.

15 It will -- as the models to that predict how
16 strong a vortex will be two, three, four miles behind
17 an airplane, have confidence levels raised to a
18 sufficient point and those can get plugged into

1 simulations, then to see what sort of response you get.

2 MR. LAYNOR: Okay, thank you, Mr. Green.

3 CHAIRMAN HALL: Mr. Green, just generally
4 speaking, how long has there been knowledge of wake
5 vortex in the aviation area and how long has NASA been
6 involved in looking at it?

7 THE WITNESS: Well, let's see. I guess the
8 first published description of a wake vortex was
9 probably back about 1907, or so. It goes back to the
10 classical foundations of aerodynamics.

11 CHAIRMAN HALL: I understand that the
12 separation distances with aircraft which obviously
13 impact on traffic which impact on how many planes can
14 fly in and out of an airport at a given period of time,
15 do you know how long we have had separation distances
16 established by the FAA, roughly?

17 THE WITNESS: 25 years.

18 CHAIRMAN HALL: I am very pleased to see and

1 appreciate your -- the knowledge that -- you all are
2 proceeding full speed ahead on some of the
3 recommendations that we have earlier made. You
4 mentioned ambient weather that -- I believe you said
5 that the vortex, the length of it lasts as a result of
6 the weather conditions.

7 Now, weather conditions the day of that
8 flight, have you had a chance to look at those?

9 THE WITNESS: Yes, I have.

10 CHAIRMAN HALL: Just, you know, in my
11 terminology, would they have lasted longer or shorter
12 that day?

13 THE WITNESS: That was a relatively long-
14 lasting weather condition conducive for long-lasting
15 vortices. You had low winds, you had very small
16 gradients in the wind, and the gradients in the wind
17 can generate atmospheric turbulence which chops them
18 up.

1 CHAIRMAN HALL: You described the encounter
2 that you put together as a result from what you could
3 obtain as a serious encounter? Is that fair to say?

4 THE WITNESS: I don't think I said serious.
5 I mean, I -- you have to define what serious is before
6 you can -- I mean, serious -- for example, we are
7 working currently with the British CAA to -- you know,
8 they want our inputs basically in what is serious.

9 They have an incident reporting system when
10 they have categorized encounters as either an A, B, or
11 C depending on whether it was at the 10, or 20, or 30
12 degree kind of a roll upset, and now they are going
13 back and they are interested in seeing if there can be
14 an international consensus developed that when you
15 report an encounter it is a -- the seriousness would be
16 not only a function of the roll angle, but a function
17 of the altitude and the roll angle.

18 They have basically proposed that if you are more

1 than a few thousand feet, I think the encounter needs
2 to be -- I don't know, 40, or 50 degrees before it is
3 serious from a hazard standpoint, and most of the
4 encounters that they have experienced where they have
5 had roll upsets exceeding 30 degrees have been at
6 altitudes greater than 2,000 feet, and most of the
7 upsets that they have down near the ground are, you
8 know -- are the 10 degree variety.

9 CHAIRMAN HALL: Okay. Just one last
10 question. You said that there was the possibility in
11 terms of the yaw that that would be where the vortex is
12 coming down and would encounter the tail first,
13 possibly, or the tail would come up?

14 THE WITNESS: That is a simplification, but,
15 I mean, clearly you can get -- I mean, airplane motions
16 are coupled and you can get --

17 CHAIRMAN HALL: So, you could get a yaw and a
18 roll, both?

1 THE WITNESS: Yes.

2 CHAIRMAN HALL: In a wake encounter?

3 THE WITNESS: And, I mean --

4 CHAIRMAN HALL: Okay.

5 THE WITNESS: -- one can cause the other
6 without a vortex, even. When you get -- I mean --

7 CHAIRMAN HALL: Mr. Green, I understand, I
8 believe, that NASA is funded the same way the NTSB is,
9 primarily through taxpayers' dollars, is that correct?

10 THE WITNESS: That is correct.

11 CHAIRMAN HALL: Well, I appreciate your
12 attempt today to make a technical area understandable
13 to the people that are paying our bills, and I
14 appreciate your time.

15 THE WITNESS: Thank you very much.

16 CHAIRMAN HALL: Thank you very much. You are
17 excused.

18 (Witness excused.)

1 The next witness is a very significant
2 witness to this hearing and is going to focus a
3 substantial amount of time in his testimony and in the
4 questioning, so although we have just recently taken a
5 break, rather than start the next witness I would
6 suggest that we take -- it is now close to three
7 o'clock -- that we take a 15 minute break and come back
8 and begin at 3:15 so we can -- will not have to have an
9 interruption during the next witness' presentation.
10 Off the record.

11 (Whereupon, a brief recess was taken.)

12 CHAIRMAN HALL: On the record. Please take
13 our seats.

14 (Pause.)

15 Thank you. I call the next witness, Mr.
16 James Kerrigan, Principal Engineer 737 Aerodynamics
17 Stability and Control with the Boeing Commercial
18 Airplane Group, Seattle, Washington.

1 I will mention at this point that Mr.
2 Kerrigan will testify, or present his testimony here as
3 witness number four and then will be re-called later in
4 the hearing. Mr. Schleede, if you would please
5 proceed.

6 (Witness testimony continues on next page.)

7
8
9
10
11
12
13
14
15
16
17
18

1

2

3

4

5 JAMES KERRIGAN, PRINCIPAL ENGINEER 737 AERODYNAMICS
6 STABILITY AND CONTROL WITH THE BOEING COMMERCIAL
7 AIRPLANE GROUP, SEATTLE, WASHINGTON

8 Whereupon,

9 JAMES KERRIGAN,

10 was called as a witness by and on behalf of NTSB, and,
11 after having been duly sworn, was examined and
12 testified on his oath as follows:

13 MR. SCHLEEDE: Mr. Kerrigan, would you please
14 state your full name and business address for the
15 record?

16 THE WITNESS: James William Kerrigan.
17 Business address, P.O. Box 3707, Seattle, Washington.
18 I am employed by the Boeing Company.

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 MR. SCHLEEDE: What is your position at
2 Boeing?

3 THE WITNESS: I am a lead engineer in the
4 Aerodynamics Stability and Control Group at Boeing, and
5 my group supports the 707, 727 and 737 airplanes.

6 MR. SCHLEEDE: Could you briefly describe
7 your education and background that qualifies you for
8 your current position?

9 THE WITNESS: I graduated from the University
10 of Minnesota with a degree in aeronautical engineering
11 in 1964. I have been with Boeing for the last 29 years
12 and have worked almost the entire time in Stability and
13 Control, and basically started on the 737 during its
14 original certification in 1966.

15 MR. SCHLEEDE: Do you hold any FAA ratings,
16 or certificates?

17 THE WITNESS: No, sir.

18 MR. SCHLEEDE: All right, thank you. Mr.

1 Jacky will proceed.

2 MR. JACKY: Thank you. Good afternoon, Mr.
3 Kerrigan. I would like to first ask you if in your
4 experience with Boeing Aircraft Group, have you ever
5 participated in any NTSB accident investigations?

6 THE WITNESS: Yes, I have participated in
7 several.

8 MR. JACKY: Okay. Could you perhaps list a
9 couple of those, please?

10 THE WITNESS: The ones that have occurred --
11 the major ones would include 727 TWA spiral dive some
12 years ago, several recent accidents on the 737,
13 including Colorado Springs. That may be the more --
14 the ones that involved the NTSB, that is probably --
15 probably it.

16 MR. JACKY: During your participation of the
17 investigation of these accidents, what have been
18 your -- what has been the result of your participation,

1 or what have you participated in, or what aspects of
2 the investigation?

3 THE WITNESS: Well, my group is primarily
4 aerodynamics, stability and control. We look at the
5 flight data recorder traces that come out, cockpit
6 voice recorder, put together a simulation of the
7 particular airplane characteristics, whether it is a
8 737 200, or 300.

9 We take the simulation and try to recreate on
10 the simulator the accident scenario. We have pilots
11 involved sometimes. Some of it we do in a background
12 mode on the simulator.

13 MR. JACKY: How do you simulate the 737, or
14 727 aircraft?

15 THE WITNESS: Well, we have -- as part of our
16 flight crew training groups, we create a simulator
17 document in my group that actively portrays the various
18 models. We build -- starting with the wind tunnel

1 database we will build a predicted simulator.

2 We later then, when we have flight test data
3 available, we will use that data to try and recreate,
4 or to check the simulation model and adjust it wherever
5 it needs to be adjusted so that we end up with a very
6 close match to the flight test data, and that data,
7 then, is put into a simulator.

8 We have a cab that we use associated with the
9 simulator. It is called the M-cab, multi-purpose cab.
10 The cab is capable of being made into a 727, or 37, or
11 47, whatever model and whatever instruments we want to
12 put on it, and that is a motion-based cab.

13 MR. JACKY: During the course of this
14 investigation did you use the M-cab as part of the
15 reconstruction, or simulation?

16 THE WITNESS: Yeah. Yes, we used the M-cab
17 whenever we wanted to bring a pilot into the loop and
18 get his reaction to the occurrences.

1 MR. JACKY: Did you use the M-cab simulator
2 to investigate a possible wake vortex encounter?

3 THE WITNESS: Yes, we did, we had to
4 establish a wake vortex model as part of this exercise.
5 We did not have one readily available. We had created
6 one for Colorado Springs, and this was an offshoot of
7 that, a much tighter wake, of course, from a 727.

8 MR. JACKY: Well, just for information sake,
9 is the investigation that you participated in in
10 regards to the Colorado Springs accident, was that not
11 a rotor which is just one large --

12 THE WITNESS: Yes, that is correct. We -- in
13 that accident, there was known rotor activity in the
14 area, and the model that we put together was for a
15 rotor which was anywhere from several hundred feet to
16 maybe a thousand feet across, whereas these are more on
17 the order of 4 to 16, 17 feet in diameter.

18 MR. JACKY: So, in terms of the rotor, we are

1 talking about a one large solid mass of rotating air as
2 opposed to in the wake vortex we are looking at more --
3 two smaller rotating bodies of air?

4 THE WITNESS: That is correct, two smaller
5 wakes, and they -- also, there is an interaction
6 between the two. They are rotating, one clockwise and
7 one counter-clockwise, so they tend to react one with
8 the other.

9 MR. JACKY: Could you please describe how
10 Boeing was able to model the wake vortex into the M-
11 cab, please?

12 THE WITNESS: Well, we got together with the
13 NASA people and came up with a set of parameters that
14 we used. There is a foil, if we could look at the
15 exhibit. I believe it is page 3 of Exhibit 13(j).

16 (Visual aid shown.)

17 This shows in general what the vortex model
18 looked like. You see two tight circles that represent

1 the actual core, and that, as I said, is anywhere from
2 two to about 16 feet in diameter.

3 As you can see, the influence of the vortex
4 goes far beyond the core and it just -- it dissipates
5 pretty rapidly, but it still is present for at least a
6 couple diameters away from the core.

7 You can see between the core -- the two
8 cores, that there is a down-flow and in the span of the
9 wake model that we used it is about 85 feet, as Mr.
10 Green pointed out.

11 CHAIRMAN HALL: Mr. Jacky, I think it might
12 be just put on the record at this point, if we could,
13 just -- Mr. Kerrigan, could you explain, then, to us
14 just briefly the difference between an engineering
15 simulator and a regular simulator?

16 THE WITNESS: Well, in terms of the
17 aerodynamic data set that is in the two, they are
18 generally identical. In a case of an accident where we

1 may get out of the normal flight envelope where the --
2 into an area where our simulator has ever been
3 programmed, we may have to re-program it slightly.

4 The major difference between the two in terms
5 of the model is that we have the ability to look at all
6 the bits and pieces within the aerodynamic model. All
7 the parameters that deal with airplanes are available
8 to us. We can dump them out and record them as a
9 function of time and look at them off-line.

10 But, the simulator database is identical,
11 generally, to the training simulators, and we have --
12 the motion system that we have on ours may not be
13 exactly the same, and this, as I said, is multi-
14 purpose, so the interior is not a perfect 737 model.
15 In fact, it is a -- it can be varied to simulate any of
16 the different models.

17 CHAIRMAN HALL: Now, are there many
18 engineering simulators around, or do you all have the

1 majority of them?

2 THE WITNESS: Well, in terms of what we have
3 at Boeing, we have -- we have -- several of the other
4 airplanes have their own specific engineering
5 simulators, but outside of the Boeing Company, I don't
6 know.

7 CHAIRMAN HALL: All right, thank you.

8 (Pause.)

9 MR. JACKY: Could you describe what inputs
10 you used in modeling the wake vortex specifically for
11 the preceding 727 aircraft?

12 THE WITNESS: Okay. We had -- through the
13 NASA gentleman and through our own experts, have come
14 up with some parameters that we believe that the 727
15 wake would exhibit.

16 As he mentioned, the maximum theoretical
17 circulation is about 2,400 feet squared per second and
18 the predicted dissipation for the atmospheric

1 conditions of the day were about 30 percent. On the
2 simulator, the dissipation was varied anywhere from 13
3 to 55 percent just to make sure that we bounded the
4 possibilities for the day.

5 The diameter of the core was about 4 to 16
6 feet and, as I said, the centers to the wake are about
7 85 feet apart, which is the theoretical distance that
8 they would be apart for the 727. The wake, again, was
9 generated consistent with the energy that a 727 -- the
10 rate and speed and flap of the Delta airplane would
11 generate.

12 The wakes vary -- rotate in opposite
13 directions to one another. The left wake from the rear
14 rotates clockwise, the right wake counter-clockwise.
15 For the simulation, we actually put some color to the
16 wake, as he showed with the airplanes flying through
17 with colored smoke. We on the simulator created wakes
18 and put a color to it so that we could find it when we

1 had piloted simulations.

2 The velocity distribution through the core is
3 linear and maximum at the outside radius of the core
4 and then dissipates fairly rapidly outside the core.
5 The velocity of the wakes tend to move down due to the
6 down-wash behind the wing and expect that for this --
7 about the time that the two airplanes would have -- the
8 wake of the 727 and the 737 would have come together,
9 that it would have moved down about 300 feet.

10 MR. JACKY: How are you able to put this
11 model -- or, to model this energy in the M-cab
12 simulator?

13 THE WITNESS: Well, the wake model is simply
14 a mathematical model and it is generated in the model.
15 In this simulation it is just external to the airplane
16 as a series of winds with the characteristics that we
17 have just described.

18 The -- it is totally independent of the

1 aircraft, and when the airplane flies into the wake we
2 have a -- we had to revise our model somewhat to
3 include a distributed lift model on the 737. If you
4 could put up page 4, page 4 of Exhibit 13(j)?

5 (Next visual aid shown.)

6 This -- typically when we simulate a model,
7 it is done as a point mass. We look at the center of
8 gravity of the airplane, and all the things that affect
9 that airplane are generated at that point, so that if
10 you flew into a wake you wouldn't see any effect of it
11 until the center of gravity of the airplane got to the
12 wake.

13 In order to make this happen as a wing got
14 into the wake, we went to a distributed lift model and
15 the wing basically was divided into 23 two-foot
16 segments and the vertical tail into six two-foot
17 segments. That way, each segment could be evaluated
18 individually as the wake encountered it. We also

1 modelled the horizontal tail, as you see in the
2 (inaudible).

3 As we evaluated that on the simulator, we
4 found that it tended to produce some rather unrealistic
5 tendencies, motions of the airplane. We believe that
6 is primarily because on the airplane when you hit a
7 wake, typically it will hit the wing first and that
8 will cause an interaction, or a slight change in the
9 wake before it gets back to the horizontal tail.

10 The pilots felt that what they were getting
11 out of the simulation was very reasonable in roll and
12 in yaw, but didn't feel that the pitch was correct.
13 So, subsequently we disabled that part of the model and
14 just used the roll and yaw.

15 Then the effect of the wake on each segment
16 of the wing and in the vertical tail was determined by
17 averaging the flow angle change due to the wake's flow
18 field, and then, using this change and flow angle, the

1 lift and side force could be calculated from the known
2 local lift characteristics of the wing and tail.

3 The rolling moment and yawing moment, then,
4 could be due to the wake to then be determined by
5 integrating the lift and side force along the surfaces.
6 The validity of the model was confirmed mainly at --
7 during this stage by comparing the new model to
8 maneuvers that had been flown on the previous model to
9 make sure that the distributed lift model gave the same
10 results and, also, the pilots flew it with and without
11 a wake involved to make sure that the characteristics
12 of the 737 were still correct.

13 MR. JACKY: Who did the verification of both
14 the distributed lift modelling and also of the vortex,
15 itself?

16 THE WITNESS: The simulator studies that we
17 did included a number of pilots; FAA pilots, and I
18 believe there were some NASA pilots, or NTSB people

1 that flew it, and then also some USAir pilots that
2 participated in the performance group, and Boeing
3 flight test pilots. That was the primary verification
4 at the time we flew it on the simulator.

5 MR. JACKY: What was the feeling of the
6 pilots in regard to the modelling?

7 THE WITNESS: Basically, they felt that it
8 was very significant, or very close to what they had
9 experienced in flight, that collectively they had --
10 all had had encounters with wakes at one time, or
11 another and felt that what they were seeing in the
12 simulator was very much like what they had experienced
13 in flight.

14 MR. JACKY: Now, when you were actually doing
15 the simulations of the airplane encountering the wake,
16 how did you go about setting that up and what sort of
17 primaries did you use to bound the problem?

18 THE WITNESS: Well, we -- in terms of what we

1 did on the simulator, with the pilots that were there
2 we flew well over a hundred runs on the simulator and
3 we did vary the wake size, the strength, the location
4 relative to the aircraft, and the movement of the whole
5 wake was also evaluated.

6 The pilots felt that a wake vortex with a
7 1,500 feet squared per second was probably the most
8 typical of what they had encountered in flight. In
9 that -- you know, that is about it.

10 MR. JACKY: What did the pilots feel as far
11 as -- or, what was their belief as far as the results
12 of the aircraft encountering a 1,500 wake?

13 THE WITNESS: Well, I think, again, they felt
14 that it was not an unusual wake to encounter in flight.
15 It is very difficult to get it tied directly to this
16 flight data recorder information. Every time -- as Mr.
17 Green pointed out, every time you fly through a wake
18 you get a slightly different outcome.

1 The angle at which you enter the wake is very
2 important and whether you come from above, or below,
3 and all the parameters that a wake -- can vary
4 dramatically the result that you get.

5 I think that our bottom line was that the
6 piloted simulations and some preliminary un-piloted
7 results show that a wake vortex of the size and
8 strength that we calculated for Delta 727 could cause
9 an upset of the magnitude shown on the flight data
10 recorder of USAir 427 during the initial part of the
11 upset, but could not cause a continuation of the
12 maneuver beyond the initial upset.

13 We do have a chart that shows roughly how
14 long we think the 727 was -- or, the 737 was in the
15 wake of the 727. We could show -- I believe it is
16 Exhibit 13(m).

17 (Visual aid shown.)

18 As was earlier stated, the 727 was

1 approximately 4 miles and 70 seconds ahead of USAir
2 427, and at the point where the radar paths come
3 together the 27 was about 300 feet above the 737 and
4 descending.

5 The top of this chart shows the actual radar
6 hits with symbols for the east, south and -- or, east-
7 west and north-south movements of the two aircraft as
8 recorded on the radar. It is similar to the chart you
9 have seen before. The same data charts are on both
10 charts.

11 The lines represent a kind of a probable
12 smooth path of the two aircraft through the data. The
13 chart shows that the 727 is turning onto the same
14 heading that USAir 737 will have about 70 seconds
15 later.

16 The bottom of the chart gives the estimated
17 evalu -- elevation of the wake at two different times
18 in the accident sequence based on the known elevation

1 of the 727 from the radar data and the known elevation
2 of the 737 from radar data.

3 As you can see from the -- at the elapsed
4 time of the 134 seconds, USAir 427 was at about 6,000
5 feet and the wake would have been at about 6,050 feet.
6 Five seconds later, 139 seconds, the 737 was at 5,950
7 and the wake would have been at about 5,900 feet.

8 So, they have crossed over at -- somewhere in
9 between there, and within the accuracy of the radar
10 data and as Mr. Green mentioned, all the many variables
11 in terms of the wake descending, we believe that this
12 analysis would be fairly close in that these two
13 airplanes would be in fairly close -- or, well, the
14 wake and the 737 would be in fairly close proximity for
15 about five seconds, perhaps a little bit more, and that
16 is consistent with the flight data recorder, as far as
17 the initiation of the event is concerned.

18 I do have a video of a wake encounter if --

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 MR. JACKY: Could I ask you one question --

2 THE WITNESS: Sure.

3 MR. JACKY: -- before we go to that? In
4 looking at that -- the chart, do you believe, then,
5 that the two ground tracks, as shown, would represent a
6 potential vortex encounter for USAir 427?

7 THE WITNESS: Yes, I think that is -- I think
8 that is the case. The radar, as Mr. Green pointed out,
9 is not proof positive that these two things would have
10 occurred, or would have been in the same air space at
11 the same time, but the flight data recorder traces,
12 which we will get into here in a few minutes, I think
13 definitely indicate that there is -- potentially, at
14 least -- a wake encounter at the beginning of the
15 upset.

16 MR. JACKY: Okay, and you said that you have
17 a video to show?

18 THE WITNESS: Yes, that is one of the -- part

1 of Exhibit 13(1).

2 CHAIRMAN HALL: Mr. Kerrigan, before we begin
3 with the video, would you please, if you will, describe
4 to us what -- what we are about to see and how this was
5 put together?

6 THE WITNESS: Okay, yes, I will. The video
7 depicts an arbitrary wake encounter and it doesn't
8 necessarily try to recreate the accident wake
9 encounter. However, the wake is consistent with the
10 wake expected from the Delta 727, assuming a nominal 30
11 percent dissipation of the wake.

12 In this case, the wake is level and it is
13 fixed in space. The 737 aircraft is approaching the
14 wake from the left with the autopilot on and starting
15 to turn onto the heading of the wake. The autopilot in
16 this case and the auto-throttles are both on during the
17 entire event and there is no pilot input.

18 You will see that in this case the bank angle

1 that it results is a bit more than what Mr. Green
2 indicated, but, again, there is no attempt by the pilot
3 in this case to hold the wings level.

4 CHAIRMAN HALL: If you could dim the lights
5 now and walk us through the video, we are ready.

6 THE WITNESS: As we -- as we go through this,
7 it all happens pretty fast.

8 CHAIRMAN HALL: Mr. Haueter, they need a copy
9 of the video at the desk over here.

10 (Pause.)

11 Mr. Kerrigan, I think it is important at this
12 point -- well, since we have got a moment -- to point
13 out that you participated in the performance group, and
14 this work that you are representing to us all of the
15 performance group participated in, and Exhibit 13(a) of
16 the many exhibits outlines the participants of the
17 performance group that is included.

18 Mr. Jacky who doing the questioning, Mr.

1 Steve O'Neill with the FAA, Mr. Bob McCullough with
2 USAir, Mr. Keakini Kaulia, I guess, with the Airline
3 Pilots Association. Is that -- I apologize, sir.

4 MR. KAULIA: It is Keakini Kaulia.

5 CHAIRMAN HALL: Okay, sir, I apologize to
6 you. That is the first time I have seen that, and that
7 is -- along with Mr. Kerrigan. So, although you are a
8 representative of Boeing, this represents work that all
9 of the performance group has participated in.

10 (Video presentation shown.)

11 THE WITNESS: Yes, that is correct. On this
12 video, the first thing that occurs is the right wing
13 encounters the left wake which causes a slight roll
14 left. The aircraft then moves fully into the left wake
15 causing a right roll.

16 It moves between the wakes, it moves down
17 rolling left, then moves into the right wake increasing
18 the left roll and moves to the left because of the left

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 roll, but passes below both wakes.

2 CHAIRMAN HALL: We need to get rid of these
3 lights if we are going to be able to see it, I think.

4 (Pause.)

5 THE WITNESS: Now, the maximum bank angle for
6 that particular case was about 50 degrees. Can anybody
7 see that, or should we try to run it again with less
8 lights? Is that possible?

9 CHAIRMAN HALL: Can it be seen out there all
10 right?

11 VOICES: (Inaudible.)

12 CHAIRMAN HALL: Okay, well, never mind, we
13 can look at it later.

14 THE WITNESS: Again, this wasn't an attempt
15 to try and show what would happen specifically during
16 the USAir 427 wake encounter, but it does show that a
17 wake encounter can result in a pretty significant upset
18 to the aircraft, especially with only the autopilot

1 trying to correct it.

2 However, if you notice, the autopilot was
3 able to correct it, and after leaving the influence of
4 the wake it just attempted to get the airplane back on
5 the originally selected heading.

6 MR. JACKY: Just for clarification, was the
7 data represented in the video, was that produced during
8 the aircraft performance group work simulations?

9 THE WITNESS: No, that particular one was run
10 after -- after we met last in -- it was -- just
11 represented some background work. There was no pilot
12 involved in that simulation.

13 MR. JACKY: Okay, thank you.

14 (Pause.)

15 If you would, I would like to talk about the
16 FDR data that was extracted from the flight data
17 recorder.

18 THE WITNESS: Okay, we have -- if we could

1 put up page 7 of Exhibit 13(j)?

2 (Visual aid shown.)

3 Turn it 90 degrees.

4 (Pause.)

5 Okay, this data is all from the flight data
6 recorder and it is plotted versus time. This first
7 chart shows the last 70 seconds of the flight. It
8 includes the descent to 6,000 feet in the turn from the
9 heading of 140 to about 100 degrees.

10 The parameters shown include the air speed on
11 top, the altitude, heading angle, roll angle, the
12 longitudinal acceleration, normal load factor, pitch
13 angle, N-1 which is engine revolutions per minute, and
14 control column position. There are several other
15 engine parameters that were available, but not plotted
16 and some weren't particularly significant to the
17 investigation.

18 The second chart, if you could put up the

1 page 6 of that same exhibit?

2 (Next visual aid shown.)

3 The second chart shows basically the same
4 information, but concentrates on the final 30 seconds
5 of the flight. As we move through this, the first
6 indication of anything out of the ordinary was an
7 oscillation of the air speed indicator concurrent with
8 several bumps and normal load factor.

9 I have an electronic pointer here, which may,
10 or may not work. The bumps in load factor are right in
11 that area (indicating). Oh, I am sorry, the air speed,
12 and load factor down in that area, you can see that is
13 moving around, and those parameters start to move prior
14 to the roll angle changing very much.

15 The roll angle is heading back towards zero
16 as he flies the maneuver and trying to get back on the
17 heading of 100 degrees. So, the first upset to roll is
18 actually as it rolls back toward the -- toward the

1 left.

2 This was -- the initial bumps in load factor
3 and the air speed indicator was followed shortly by the
4 roll oscillation, first back to the left and then to
5 the right and then back to the left again. The
6 aircraft continued to roll to the left.

7 It stabilized momentarily at about 70 degrees
8 of roll and then continued to roll sharply to the left.
9 During this time, the control column which was the only
10 control position recorded on the flight data recorder
11 was pulled back, reaching about a full nose up position
12 and about the same time that the bank angle reached 70
13 degrees, or slightly later than that.

14 Air speed and altitude were maintained fairly
15 constant until the roll angle exceeded 70 degrees. You
16 saw a video earlier of the accident sequence, and this
17 is a better way of visualizing that for a lot of
18 people, instead of a graph.

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 So, Boeing has also produced a video at the
2 request of the NTSB to better visualize the data. If
3 we could see that at this point, the external view?

4 (Video presentation shown.)

5 This video depicts the flight path of USAir
6 427 obtained from the flight data recorder. The
7 instruments are driven by the flight data recorder
8 information directly where it is available, and from
9 derived data in the case of a decline which is not
10 directly measured in the flight data recorder.

11 The attitude of the airplane follows the
12 pitch, roll and heading recorded on the flight data
13 recorder, but air speed and altitude follow a
14 kinematically derived data set which basically takes
15 the position error out of the data set.

16 The instruments shown which are fairly hard
17 to see are, from left, N-1 for both engines, on the
18 first gauge air speed, then altitude, attitude director

1 indicator, the ADI above, the compass below and on the
2 far right, the altimeter above, the rate of climb below
3 it.

4 At this point, he is in the turn to the left
5 trying to return to a 100 degree heading.

6 (Pause.)

7 There is a bobble in air speed and altitude
8 at that point, then the aircraft rolls off to the left.

9 (Pause.)

10 If we could just go ahead and show the --
11 there is a second video with the forward view from the
12 cockpit during the maneuver. The flight crew would
13 actually have a slightly broader field of view than
14 what we are showing, because they would have side
15 windows and be able to look out the other pilot's
16 window.

17 (Next video presentation shown.)

18 This shows the same instruments as we had

1 before.

2 (Pause.)

3 One further thing that we did do with the
4 flight data recorder information was to conduct a
5 correlation test using the cockpit voice recorder and
6 the flight data recorder together in the Boeing 737-300
7 flight simulator.

8 During the correlation tests, participating
9 pilots were provided with sound-blocking headsets and
10 were placed in the 737-300 motion-based simulator. The
11 pilots were from the various parties.

12 I think every party had any pilots that were
13 a part of the Operations Group, or the CVR Group plus
14 two or three more that participated directly at the
15 parties' selection.

16 What occurred was that a short segment of the
17 cockpit voice recorder was played through the headsets
18 while the motion-based simulator was driven through the

1 corresponding time history of the flight from the
2 flight data recorder.

3 During the test, the flight instruments and
4 the column and throttles were driven from the values
5 known from the flight data recorder and the visual
6 scene through the cockpit's front window corresponded
7 through the view that we have just seen from the
8 aircraft cockpit.

9 The wheel and rudder pedals were not driven
10 during the test, since their motion is not recorded on
11 the flight data recorder and we don't know for sure
12 what was happening there.

13 The throttle handle position is also not
14 known, but what we did -- we do know what the N-1 of
15 the airplane did, so we calculated -- back-calculated a
16 throttle position to go with that N-1, and those of you
17 who fly will understand that that isn't necessarily the
18 actual throttle position, but it was close. You can

1 move the throttles quickly and the engines can't quite
2 keep up with it, so that was not totally accurate.

3 In addition, the external view of the
4 aircraft, again, similar to what we just saw, was
5 available outside the simulator and crews waiting to
6 enter the simulator could listen through headsets to
7 the cockpit voice recording while viewing the aircraft
8 motion from an external view.

9 The response of the pilots experiencing the
10 correlation test was, in general, very positive and
11 they did feel it was an excellent tool and I think came
12 away with a very much better appreciation for the
13 rapidity of the upset experience of flight 427.

14 MR. JACKY: Mr. Kerrigan, what was the
15 objective of that test, or that effort?

16 THE WITNESS: I think the -- well, the
17 objective of the test was primarily to see if the
18 pilots could pick up anything, any sounds that they

1 might recognize.

2 There were a number of sounds that were heard
3 on the cockpit voice recorder which still haven't been
4 identified. There are some clicks and thumps which
5 didn't make sense as to what they might have come from.
6 There is no way of knowing that.

7 I think the thought here was if you put the
8 pilots in the environment that the USAir pilots were in
9 that they might possibly be able to say, "Oh, yeah, I
10 recognize that, that was . . ." -- whatever.

11 I believe that that was not the case. I
12 don't think they identified any additional sounds. One
13 of the pilots that participated in it will be available
14 as a witness later on and can address, you know, what
15 they did find.

16 MR. JACKY: Did you participate in the
17 effort?

18 THE WITNESS: No, the performance group did

1 not participate directly in the correlation tests and,
2 in fact, I personally have not yet heard the cockpit
3 voice recording, even though I have spent about 120
4 percent of my working time on this accident since it
5 happened.

6 I saw the transcript of the recorded comments
7 for the first time this morning when they were released
8 by the NTSB. In fact, while I understand that this is
9 the current NTSB policy, I believe it is vital that
10 those conducting an accident investigation have all the
11 information available to them as soon as possible in
12 the investigation to insure that all the avenues can be
13 thoroughly explored.

14 I hope that this NTSB policy can be changed
15 to allow those directly involved in the investigation
16 to have the benefit of all the information available.

17 MR. JACKY: Thank you. If you would, please,
18 I would like to direct your attention back to the plot

1 of the FDR data, which is Exhibit 13(j), page number 6,
2 please.

3 (Witness complies.)

4 Just for the record, although the exhibit
5 shown here is a Boeing plot, was the data produced from
6 this done as part of the NTSB's flight data recorder
7 group effort?

8 THE WITNESS: That is correct. We received
9 from the NTSB a tape of the flight data recorder
10 information and then processed that and produced this
11 plot directly from that. There is -- nothing has been
12 done to this data, at all. This is just the raw data.

13 MR. JACKY: Okay, thank you. In your
14 estimation, where do you believe, in terms of time, did
15 the upset first occur? What was the beginning of the
16 upset?

17 THE WITNESS: Well, the airspeed and load
18 factor traces show at about 132 and a half seconds, the

1 first movement from what we would call normal flight.
2 So, I would say at 132 and a half seconds is roughly
3 where the first effects of the wake were encountered.

4 MR. JACKY: You may have already answered
5 this question, but is there anything, or any data that
6 you see in these traces that would believe, or make you
7 believe that there was a wake vortex encounter?

8 THE WITNESS: Well, certainly the air speed
9 anomaly that is shown there is something that has been
10 visible in other wake encounters where airplanes have
11 not been as seriously upset, and also the oscillation
12 that occurs in roll where the oscillation is -- has a
13 period that is roughly the same as the Dutch roll
14 period of the airplane. You know, it would indicate
15 that something of that order has contacted the
16 airplane, impacted the airplane.

17 MR. JACKY: Could you please explain what the
18 Dutch roll oscillation is?

1 THE WITNESS: Well, the large jet transports
2 have -- with the swept wings -- have a mode that is
3 called Dutch roll, and it is basically named after the
4 Dutch ice skaters of years ago because it is a motion
5 that goes back and forth.

6 Not rapidly, it can have a period of four to
7 seven seconds, so it would make one oscillation every
8 four, or five seconds, and that mode is something that
9 is present on all airplanes, and yaw dampers are
10 installed on most large jet transports to damp out that
11 oscillation.

12 But, if the airplane is disturbed, that -- in
13 the directional sense, that will typically be the, you
14 know, more or less the mode that it will seek out. The
15 frequency will quite often be similar to that if you
16 have a lateral directional upset.

17 MR. PURVIS: Mr. Chairman?

18 CHAIRMAN HALL: Yes, John?

1 MR. PURVIS: Would it be useful for us to use
2 the laser pointer from the table to point to what he is
3 referring to on the chart while he speaks so he can
4 kind of face the panel and we could point for him? Is
5 that allowed?

6 CHAIRMAN HALL: That would be fine.

7 MR. PURVIS: All right.

8 MR. JACKY: Are there any other indications
9 in the FDR traces that would lead you to believe that
10 427 experienced the wake vortex of the preceding 727?

11 THE WITNESS: In terms of the flight data
12 recorder, itself, I think the main indications are load
13 factor, air speed and the lateral upset shown in the
14 roll maneuver.

15 As we developed and tried to extract from
16 this data the aerodynamic characteristics that caused
17 the upset, we have come up with a set of moments that
18 would be, I think, similar to what you would expect to

1 get from a wake encounter.

2 We can go on, if you like, to the -- our
3 match of this data using our back-drive simulation.

4 MR. JACKY: Well, before you do that, I have
5 a couple more questions to ask you. Now, in looking
6 through the FDR data, one of the first concerns or
7 thoughts in terms of the causation of the upset in the
8 accident was a deployment, or partial deployment of the
9 737's engines' thrust reversers.

10 Is there any indications in these traces in
11 your belief that would give indication that there was a
12 thrust reverser deployment, or a partial thrust
13 reverser deployment?

14 THE WITNESS: It is difficult to tell exactly
15 what is going on with the thrust reversers, but we do
16 have several parameters that aren't shown on this plot
17 for the engines. We have -- in addition to N-1 which
18 is shown here, engine RPM N-2 is also recorded, fuel

1 flow and temperatures.

2 I don't know if that is enough to really tell
3 whether that thrust reverser deployed, or not. The
4 system, the thrust reverser system, if one engine had
5 deployed, thrust reversers should be pulling one engine
6 back to idle fairly quickly as soon as it occurs.

7 As you can see here, if the -- if it -- if
8 the incident started way back at 132 and a half, and
9 really I think the -- an upsetting moment in addition
10 to that had to occur somewhere at about 137 seconds.
11 Up to that point, the engines are still pretty
12 continuous.

13 The N-1 is fairly -- very solid up to that
14 point, so it is obvious that at least the initiation of
15 the event -- well, it couldn't have been associated
16 with the thrust reverser.

17 MR. JACKY: The N-1 traces on that plot, do
18 they indicate that both engines would be running in

1 parallel, that one would not be divergent from the
2 other?

3 THE WITNESS: Right, both N-1 traces are
4 fairly solid up to about 138 seconds, and then they
5 advance slightly and then come back. There is a slight
6 difference between engines one and two, but it is only
7 on the order of less than half a second, and that is
8 typical of the difference between thrust as the
9 throttles are brought back. So, yes, it would indicate
10 that they are operating together.

11 MR. JACKY: Okay. If I could ask for you to
12 refer to Exhibit Number 10(a), please.

13 (Witness complies.)

14 In particular, page number 73.

15 (Pause.)

16 I believe there should be a view foil for
17 that.

18 (Visual aid shown.)

1 As a matter of explanation, this is a plot
2 produced by the NTSB of the FDR data taken from USAir
3 427 and includes the other engine parameters that were
4 not included on the Boeing plot.

5 The question I have for you is, in looking at
6 those traces do you see any sort of divergence in any
7 of the other traces -- and before I do that, let me
8 explain the traces.

9 From the top, we have normal or vertical
10 acceleration; directly below that is longitudinal
11 acceleration; below that we have a control column
12 position; and next is EGT which is exhaust gas
13 temperature; and then below that is engine fuel flow;
14 and then we have N-2 and N-1 which are measurements of
15 engine fan speeds; and below that altitude; and,
16 finally, indicated air speed.

17 Now, the plot is somewhat expanded. It goes
18 back further in time than the actual -- the accident --

1 start of the accident sequence, but the time of the
2 accident sequence is approximately 1:32, and the time
3 should be similar as to the plot that we are looking at
4 just before.

5 So, having said all that, do you see in any
6 of the EGT, or fuel flow, or any of the engine traces
7 here that would give you an indication that either of
8 the engines went divergent from the other?

9 THE WITNESS: Well, I -- again, am not an
10 engine expert, but the two engines appear to be working
11 very closely together in this plot and everything
12 appears to be happening simultaneously for both
13 engines.

14 MR. JACKY: Okay, thank you. I am going to
15 ask you to flip back to your previous exhibit, if I
16 may, please, which is exhibit 13(i), page 6, please.

17 (Witness complies.)

18 CHAIRMAN HALL: 13(j), or (i)?

1 MR. JACKY: 13(i).

2 CHAIRMAN HALL: 13(i)

3 MR. JACKY: Page 6, and there should be a
4 view foil if I could have it. It was the view foil
5 that was put up previous to the last.

6 (Discussion off the record.)

7 I am sorry, I had 13(j) before, I am sorry.

8 (Visual aid shown.)

9 I would like to refer you to the longitudinal
10 acceleration trace. At the beginning of what we -- or,
11 what you believed to be the time of the upset, or
12 the -- of the incident, do you see any indication in
13 the longitudinal acceleration trace that would lead you
14 to indicate that a thrust reverser on this airplane had
15 deployed, or partially deployed?

16 THE WITNESS: I really have a difficult time
17 answering that, because longitudinal acceleration is
18 something that is taken out of -- along the center line

1 of the airplane, as opposed to strictly a slowing down,
2 or speeding up, and I am not sure exactly what that
3 would look like if you were to deploy a thrust
4 reverser.

5 MR. JACKY: Would you expect some sort of
6 reaction in the longitudinal acceleration trace?

7 THE WITNESS: I would think there would be
8 some, yes. There should be an increased drag and
9 therefore a fairly substantial change in that
10 parameter.

11 MR. JACKY: How would that be represented on
12 the trace?

13 THE WITNESS: Well, again, the overall
14 acceleration would need to be slowed down, and that
15 would be showing up somehow in both the normal load
16 factor and the longitudinal acceleration, but, again, I
17 don't know exactly how to characterize that, I haven't
18 tried that on the simulator to see what the result

1 would be.

2 MR. JACKY: Okay, thank you. Now I would
3 like to discuss -- as part of the aircraft performance
4 group's work, there was a -- what we call the back-
5 drive of the FDR data produced, is that correct?

6 THE WITNESS: That is correct.

7 MR. JACKY: Okay, could you briefly -- or,
8 could you please describe the back-drive process and
9 what data went into this study?

10 THE WITNESS: Okay. To help determine the
11 sequence of events, during the flight of USAir 427 a
12 simulation of the 737-300 was used to try to recreate
13 the flight path.

14 This was accomplished using a mathematical
15 pilot to fly the simulator over the same flight path
16 and attitudes of USAir 427. The mathematical pilot in
17 this case used aerodynamic coefficients to recreate the
18 flight path, and results in the match that is shown

1 in -- on page 10 of Exhibit 13(j)?

2 (Next visual aid shown.)

3 The dash line in this case is the simulator
4 data, the solid line is the flight data recorder
5 information and the long dashes with several small ones
6 interspersed is the -- some initially derived data for
7 air speed and altitude which, again, takes care of the
8 position errors, or the indicators on the airplane.

9 The aerodynamic coefficients, the lift, the
10 drag, the rolling moment, yawing moment and pitching
11 moments which produced this match are shown in another
12 chart. It should be page 12 of Exhibit 13(i).

13 (Pause.)

14 MR. JACKY: Did you mean page 12 of 13(j)?

15 THE WITNESS: I believe it was (i), wasn't
16 it?

17 VOICE: (Inaudible.)

18 THE WITNESS: Yeah, okay, that's it.

1 (Visual aid shown.)

2 This shows the -- it shows the aerodynamic
3 coefficients along that that it takes to create the
4 match that you just saw. The angle of attack and side
5 slip angles that result are also shown.

6 You notice that there is a fair amount of
7 scatter in some of these coefficients, particularly in
8 the moment coefficients, and this is -- this is caused
9 by the tight gains that we put into our mathematical
10 pilot to try and match the flight path of the accident
11 airplane.

12 They will not significantly effect the match.
13 We could fare through those and do quite well in
14 matching that time history. These coefficients
15 represent the amount of aerodynamic input required to
16 produce the match, and they could come from any of
17 several sources.

18 They could be from the flight controls other

1 than the elevator which we do know from the column and
2 the flight data recorder, they could be from outside
3 sources such as the wake of a 727, or any other
4 atmospheric disturbances, or they might possibly be
5 from any structural deformation that might have been
6 present on the airplane if something actually had
7 failed.

8 The first coefficient to move substantially
9 is the rolling moment, and we believe that that was
10 probably caused by the 727 wake. Are we hitting that
11 with the --

12 About a second later the yawing moment
13 changes substantially which, again, may be caused by
14 the 727 wake. Knowing that there is a wake in the
15 area, it is not easy to break out the -- what is wake
16 and what is flight controls.

17 So, this -- that part of it could have been
18 caused by the vertical fin of the airplane impacting

1 the wake and, of course, the wake -- the radar data
2 does show that the 737 was in the vicinity of that wake
3 for about five seconds, and that first oscillation and
4 roll and yaw lasts for about that long, five or six
5 seconds.

6 The coefficients which persist beyond that
7 time are most likely not caused by the wake, because
8 the airplane would have departed the area where the
9 wake was likely to have been. That would leave the
10 flight controls as potential causes, structural
11 deformation, or by atmospheric disturbances other than
12 the wake.

13 To better understand the magnitude of these
14 aerodynamic coefficients which I am sure don't mean too
15 much to most of you, we have converted them into
16 equivalent wheel and rudder angles. I believe that is
17 chart page 12 in 13(i).

18 (Next visual aid shown.)

1 These data show that once the 737 exited what
2 we believe was the 727 wake, that a rolling moment
3 equivalent to about 50 to 60 of wheel to the right was
4 being applied to the 737 and that a yawing moment
5 roughly equivalent to full rudder was being applied in
6 a direction to roll the aircraft to the left.

7 Since the aircraft was rolling to the left
8 during this period of time the yawing moment was
9 clearly the cause of the left roll. That -- what
10 occurs there is that when the yaw -- yawing moment acts
11 on the airplane it creates a side-slip, and the side-
12 slip would be to the -- cause the airplane nose to go
13 left which causes the right wing of the airplane to
14 sort of lead the airplane, and that causes more lift on
15 the right wing than on the left wing and that would
16 cause a left roll.

17 The source of the yawing moment is not
18 available from the flight data recorder. We have done

1 a fair amount of thinking about this, of course, and --
2 of course -- and the weather in the area was such that
3 it is not reasonable to believe that any turbulence was
4 the cause of the yawing moment.

5 We can tell from the magnitude, the large
6 magnitude of the yawing moment, that it would require
7 that any aerodynamic cause would have had to have a
8 large moment arm. That means it would have either had
9 to been way at the back of the airplane, or out on the
10 wing tip in order to create a force that would yaw the
11 airplane that amount.

12 That could, of course, be caused by the
13 rudder itself, or by structural deformation on the
14 outboard portion of the wing, and originally we did
15 look at a large thrust of symmetry. These three
16 scenarios have been looked at in some detail.

17 The thrust of symmetry caused by an
18 inadvertent thrust reverser was one thing we looked at,

1 that the yawing moment was caused by deformation of the
2 number one leading edge slat is something that we have
3 looked at, and that it was caused by rudder input.

4 The engines were targeted early in the
5 investigation because of some of the apparent
6 structural anomalies which were found in the wreckage
7 which could have indicated a thrust reverser
8 deployment.

9 However, the engines were pretty thoroughly
10 instrumented, as we have already discussed, and we
11 really don't believe that the thrust reversers were a
12 part of this accident. So, we are basically, I think,
13 ready to eliminate the thrust reverser as potentially
14 having caused the accident.

15 The number one slat had also some structural
16 damage in the form of a fractured main track, which
17 could possibly be consistent with a deformed slat in
18 in-flight. The slat could have been damaged by a bird

1 strike in the air, or it could have been damaged by
2 contact with the ground.

3 We are still trying to determine what the
4 deformation of the slat would have been had the damage
5 occurred in flight, and once that deformation has been
6 determined we will try to determine the aerodynamic
7 affects of the configuration.

8 MR. JACKY: Could I interrupt you for just
9 one second?

10 THE WITNESS: Sure.

11 MR. JACKY: When you are talking about the
12 slat, could you please define where on the airplane
13 that could be found?

14 THE WITNESS: Okay, the number one leading
15 edge slat is the most outboard slat on the left wing of
16 the airplane. The slat -- I don't have a slide, or
17 anything, but the left -- the slats are the little
18 airfoil shapes that come out on the leading edge of the

1 wing during take-off and landing.

2 They are out -- they generally form a slight
3 gap with the wing, and it is the most outboard one of
4 these that have a main track that was found to be
5 fractured, and we do know that --

6 CHAIRMAN HALL: Mr. Kerrigan, also, for
7 clarification, when you are saying "we" in these
8 conclusions, is this your opinion? Is this what we are
9 getting?

10 THE WITNESS: Well, it is, I think, the
11 opinion generally of the performance group. Again, I
12 am here myself. Mr. Jacky can correct me if I say
13 something he doesn't agree with.

14 Again, this fracture on the slat could very
15 well have been caused during the impact with the
16 ground, but there was some speculation that it could
17 have occurred in flight, although I don't believe there
18 were any bird remains found. There was a section of

1 the slat just ahead of the broken part which I believe
2 has not been recovered.

3 Once we have determined what the deformation
4 of that would have been -- and that is not an easy task
5 because the loads that would act on that wing on the
6 slat are pretty well known when it is in its normal
7 position. When it gets out of its normal position, we
8 don't know what the loads are.

9 If it had that failure, it would be -- it is
10 a fairly difficult task to define what the final
11 position of that slat would be. We did have an early
12 cut at a change to the shape and we took that in to the
13 University of Washington wind tunnel and tested it, and
14 that itself did not cause enough of a yawing moment to
15 be a factor in the accident, but we are still -- that
16 still is an open item in our minds.

17 The other possible cause of the yawing moment
18 is the rudder.

1 MR. JACKY: Wait, before you go too far on
2 that, could I ask you a couple of follow up questions
3 on that, please?

4 THE WITNESS: Sure.

5 MR. JACKY: You are describing the leading
6 edge slat that may have -- in your mind have become
7 partially deployed, or fractured. If that were the
8 case, what do you believe would be the result of the --
9 or, the aerodynamic result of that occurrence?

10 THE WITNESS: Well, again, we haven't -- we
11 can't specifically say, until we can define where that
12 slat would have departed to, if it -- if it had -- if
13 that main track had become disconnected in flight.

14 The slat is held on by two main tracks, one
15 on -- basically on either end, not out all the way to
16 the end, but fairly far out on the slat. There are
17 several auxiliary tracks that position it and an
18 actuator that holds onto the slat.

1 Once you disconnect one of the main tracks,
2 which is one of the main structural members that holds
3 the slat on, the slat tends to -- will twist in some
4 way and may well leave the airplane if it were to get
5 twisted too much.

6 As it moves up in the air flow, the air loads
7 on it get to be very large and eventually it might
8 depart the airplane. In this case we know that the
9 slat didn't depart the airplane, but how far up into
10 the flow the slat goes we can't determine and, not
11 knowing that, it is very difficult to determine what
12 the aerodynamic effects of that would be.

13 We would expect that if it significantly got
14 into the flow -- these are fairly big pieces. I would
15 say 18 inches in cord and probably 10 feet long. If
16 that gets out in the flow in some unusual attitude, it
17 could give you a fairly big yawing moment.

18 It quite often gives a -- would give a fairly

1 big lift along with it, and drag and rolling moment,
2 but until we can define that configuration, we really
3 can't evaluate it.

4 MR. JACKY: You said that you performed these
5 tests in a wind tunnel at the University of Washington?

6 THE WITNESS: That's correct.

7 MR. JACKY: Can you characterize at all the
8 results of that wind tunnel testing?

9 THE WITNESS: Well, the test that we ran was
10 on a slat that had only lifted about six inches full
11 scale, and that resulted in a fairly small yawing
12 moment and small lift loss to the slat.

13 MR. JACKY: Just for definition -- excuse
14 me -- to which direction did the roll and did the
15 yaw --

16 THE WITNESS: The rolling moment, if it would
17 have been to the left, and the yawing moment also to
18 the -- pulled the nose to the left, in the right

1 direction to cause an upset.

2 MR. JACKY: Okay, and if the flight crew were
3 to try and correct that, how would they go about doing
4 that, in your estimation?

5 THE WITNESS: Well, the -- the proper
6 movement if that were to occur would be primarily a
7 roll upset, perhaps. Again, it depends on whether it
8 is a roll upset, or a yawing moment upset.

9 But, if it were a roll upset the pilot would
10 certainly put in wheel in the opposite direction to try
11 to keep the wings level, and if it is a yaw upset that,
12 also, would eventually result -- fairly quickly result
13 in a roll and, again, the common -- or, the best
14 approach would be to put wheel in to try to stop that
15 from occurring, to stop the roll.

16 MR. JACKY: Would it be correct to say that
17 that type of wheel and rudder input would be to the
18 right?

1 THE WITNESS: Yes.

2 MR. JACKY: Right. Now, I believe we may
3 have testimony tomorrow or later on regarding this, but
4 are you aware of any instance in which a slat of this
5 type had become disconnected from a 737?

6 THE WITNESS: I don't personally know of any
7 occasions where this has occurred directly. I have not
8 worked on any incidents where a slat has come
9 disconnected on one end.

10 MR. JACKY: Thank you.

11 THE WITNESS: As we were saying, the third
12 possible cause of this yawing moment is the rudder.
13 The rudder is capable of causing the yawing moment
14 required to sustain the maneuver. The match that we
15 showed indicates that.

16 If the yawing -- if the rudder is the cause
17 of the moment, the yawing moment, there is nothing in
18 the flight data recorder that would tell us whether

1 that rudder resulted from an un-command -- or, a
2 commanded input from the pilot, or an un-commanded
3 input from the rudder system.

4 MR. JACKY: The maximum amount of that rudder
5 input would be?

6 THE WITNESS: Our analysis showed -- and in
7 that chart you can see that it takes nearly full rudder
8 to sustain the maneuver and, in fact, we will also be
9 hearing of a kinematic study that was also done which
10 indicates a slightly larger rudder than did the
11 simulator exercise.

12 MR. JACKY: Okay, and on the trace there is
13 some words that say "projected blow-down angle." Could
14 you please explain that for us?

15 THE WITNESS: Okay, yeah, the blow-down angle
16 on the rudder is determined by the amount of hydraulic
17 pressure that is available to the rudder control
18 system. The 737 has 3,000 pounds per square inch of

1 pressure available and it works through a piston which
2 is -- that provides a certain amount of force to the
3 rudder system.

4 The aerodynamics of the situation are such
5 that the hinge moments of the rudder will tend to
6 produce an aerodynamic force, and the blow-down angle
7 is basically the aerodynamics working against the
8 hydraulic forces.

9 The rudders that are shown here, the rudder
10 angles for blow-down, is showing that match in
11 hydraulic pressure forces with the aerodynamic forces.
12 It changes as a function of side-slip angle and air
13 speed. That is why it is moving around as much as it
14 is.

15 MR. JACKY: Can you characterize, please, the
16 equivalent wheel position?

17 THE WITNESS: The equivalent wheel position,
18 as you can see, the initial part of the maneuver, the

1 wheel goes actually -- if you ignore the one sharp
2 spike, the wheel goes to about -- is it 50 degrees, or
3 a little more?

4 The next peak goes up to about 60 degrees of
5 wheel in the opposite direction, then back down to
6 minus 40 degrees of wheel, and that is not inconsistent
7 with encountering a wake with a wake that would be
8 equivalent to that kind of a wheel input.

9 Then, as the wheel -- after the maneuver is
10 fairly well entered, it goes up to about 60 -- 50 to 60
11 degrees of wheel. A 737 wheel will go all the way to
12 107 degrees, and in most power-on flights it reaches
13 all of its lateral control capability of about 87
14 degrees. So, that is about three quarters of the
15 wheel, three quarters of the lateral control that is
16 being used there.

17 Then, later in the maneuver, obviously the
18 wheel goes very erratic and at that point we are

1 getting into some of the computational problems that I
2 alluded to earlier.

3 MR. JACKY: Could the data that is indicated
4 here, could that be characterized as saying that the
5 flight path could be produced by actions inside the
6 cockpit by the pilots?

7 THE WITNESS: Well, certainly the -- you
8 know, if you look at everything that is there, the
9 maneuver could be set up on the airplane by the
10 controls. I mean, we have shown that in the simulator.
11 The airplanes' control inputs are sufficient to run you
12 through this kind of a maneuver, that is true. That is
13 not necessarily, you know, what happened.

14 We believe the early part of this is wake,
15 and it is difficult to know what part of that is wake
16 and which part is flight controls.

17 MR. JACKY: In the back-drive of this data
18 you came up with an equivalent rudder to compensate for

1 the yaw moment coefficient, is that correct?

2 THE WITNESS: Yes.

3 MR. JACKY: To your knowledge, is there any
4 other system, or control surface on the aircraft that
5 could produce the type of yaw that is seen through this
6 back-drive?

7 THE WITNESS: Certainly not in its normal
8 mode of operation. The slats and wheel and everything
9 else don't normally produce much yawing moment, and the
10 only -- the only situation that might is if, again, the
11 slat or something on the outboard end of the wing got
12 up into the flow. That is a possibility.

13 MR. JACKY: For the type of yawing moment
14 that is indicated here, do you believe that the yaw
15 moment could have been compensated by a wheel in the
16 opposite direction?

17 THE WITNESS: The wheel that has been
18 calculated here shows that it is about three-quarters

1 of what is available on the airplane and, again, we
2 don't know specifically where all these parameters, or
3 where all the rolling moment and the yawing moment is
4 coming from.

5 There should have been more lateral control
6 available during the early portions of the encounter.
7 We have done some flying of the airplane in the past
8 where we have flown what we call steady side-slips with
9 full rudder, and at this flight condition the
10 capability -- the lateral -- capability of the lateral
11 control system on the airplane should be able to just
12 balance full rudder, but it takes nearly full wheel to
13 do it.

14 MR. JACKY: Are there any limitations to this
15 process as far as in the firm -- I guess in the
16 firmness of the data if we look -- or, if we hold back
17 the moments a certain amount of time? Does that effect
18 the bottom line answer as far as the equivalent control

1 surface positions?

2 THE WITNESS: I am not sure I understand your
3 question.

4 MR. JACKY: Let me approach it this way. The
5 timing of the FDR data is exact enough that it would
6 definitively indicate the control surfaces. There is
7 no gray areas in terms of the air range on the output
8 of the control surfaces, or the results of the back-
9 drive?

10 THE WITNESS: Oh, certainly I don't mean to
11 indicate that this is a precise science. The flight
12 data recorder parameters that are measured are measured
13 fairly infrequently on the airplane. A heading, for
14 example, is only recorded once every second.

15 In trying to back-drive through this kind of
16 a time history, there certainly are -- you know, there
17 is room for some error. I think in testimony tomorrow
18 you will hear from our -- of a kinematic study that was

1 also done, and it does show slightly different results
2 than what we see here. So, yeah, there is -- you
3 certainly can't call this a precise science. There
4 is -- there are a lot of unknowns in this scenario.

5 MR. JACKY: What would help you define the
6 model to a better degree? Do you feel there is more --
7 if more effort was put into this effort, or the back-
8 drive that you could further refine the data?

9 THE WITNESS: Well, we are still pursuing it
10 vigorously. We have -- we are working in a background
11 mode in the simulator at this point in time. We are
12 trying to work with the model of the wake to get a
13 better feel of what portion of this might have been
14 caused by the wake, as opposed to by control inputs.

15 We are working with the simulator match that
16 we have, which is, you know, a fairly good match of the
17 flight data recorder, trying to figure out what the
18 autopilot would have done, because we believe the

1 autopilot was connected early on in the flight, and
2 also whether the auto-throttles could have caused the
3 throttle movement that we are seeing here, or whether
4 that is a manual input.

5 So, we are trying -- we are still working
6 very hard on trying to come up with a better story as
7 to what is occurring, what is causing the various
8 parameters that we see.

9 (Pause.)

10 MR. JACKY: I have no further questions at
11 this time.

12 CHAIRMAN HALL: Are you going to discuss
13 flight data recorders, or are we going to get into
14 that, at all?

15 MR. JACKY: We are hoping to save that for
16 Mr. Kerrigan the next time that he -- when he is re-
17 called for his testimony.

18 CHAIRMAN HALL: But, we will get into that

1 the next time he is up here, the expanded parameters
2 and what it would --

3 MR. JACKY: Yes, sir, definitely.

4 CHAIRMAN HALL: All right, which of the
5 parties have questions? If you would, signify by
6 raising your hand.

7 (Show of hands.)

8 I see three, and I will start with Mr. Donner
9 with the Federal Aviation Administration.

10 MR. DONNER: Thank you, sir. Mr. Kerrigan,
11 just one small question, probably a nit-picking detail,
12 but earlier in your testimony you mentioned that as the
13 airplane entered the maneuver, the departure from
14 control flight, that the flight data recorder indicated
15 that the control column was pulled back.

16 Does the flight data recorder indicate
17 pressures on the control column, or merely position of
18 the control column?

1 THE WITNESS: It -- just strictly the
2 position, that is correct.

3 MR. DONNER: Okay, thank you. That is all I
4 have, sir.

5 CHAIRMAN HALL: Thank you, Mr. Donner.
6 Captain LeGrow with the Airline Pilots Association?

7 MR. LEGROW: Thank you, Mr. Chairman. Good
8 afternoon, Mr. Kerrigan. I have just a couple of
9 questions. First of all, the -- this graph here, this
10 Exhibit 13(i), page 12, the equivalent wheel position
11 that is plotted here, is this a derived value, or is
12 this a --

13 THE WITNESS: No, it is a derived value. The
14 wheel position and the lateral control system is not
15 recorded on the flight data recorder.

16 MR. LEGROW: So, is it a precise indication
17 of the wheel position?

18 THE WITNESS: No, not at all. It is an

1 estimate based on the simulator match that we managed
2 to put together.

3 MR. LEGROW: Therefore, it is possible that
4 full deflection of the wheel was used?

5 THE WITNESS: That is possible. I don't know
6 that we can determine precisely whether that was the
7 case, or not.

8 MR. LEGROW: On the wake vortex video that
9 you showed us early in your presentation, I believe
10 that you testified in a question from Mr. Jacky that
11 the performance group did not participate in the making
12 of that video, is that correct?

13 THE WITNESS: That is correct.

14 MR. LEGROW: Did the performance group -- was
15 the performance group involved in assembling the data?
16 Did they all agree on the data that was used for the
17 assemblance of that video?

18 THE WITNESS: Well, the wake that was used

1 and the data that was used to set up the 737 was all
2 part -- it was the same as what we had used in the
3 performance group.

4 MR. LEGROW: I am referring to the specific
5 data that was used for that particular video.

6 THE WITNESS: No, the video --

7 MR. LEGROW: Was that -- I am sorry.

8 THE WITNESS: The video was not done. It was
9 out -- the NTSB requested that we put together a video
10 of a wake encounter and we did so, but we did not use
11 any -- the performance group did not specifically
12 participate in that.

13 MR. LEGROW: Thank you, Mr. Chairman. I have
14 no further questions.

15 CHAIRMAN HALL: Thank you, Captain. Mr.
16 McGrew with Boeing?

17 MR. MCGREW: Mr. Kerrigan -- are we on?

18 CHAIRMAN HALL: Is Boeing's microphone on,

1 please?

2 MR. MCGREW: Yes, we have it. Mr. Kerrigan,
3 I wonder if we might go into a little more detail on
4 the simulator and how it is used in the design process
5 and the accident investigation process.

6 Would you spend a minute on the parameter
7 changes that are capable beyond just the data set?

8 THE WITNESS: The simulator is, again,
9 developed very early in the process.

10 CHAIRMAN HALL: And if you could give us in
11 that how many hours it takes to recreate one of these.

12 THE WITNESS: To recreate --

13 CHAIRMAN HALL: Basically, generally, you
14 know, what -- I assume you don't do it alone, right?

15 THE WITNESS: That is correct. I have,
16 including myself, seven people in my group in Stability
17 and Control, and since the accident we basically have
18 been working, all seven of us, 100 percent plus

1 overtime on this exercise, so we have somewhere around
2 6,000 hours just in my group pursuing this accident
3 investigation.

4 As far as the simulator is concerned, in the
5 development, once it is developed, before -- it is
6 developed before the airplane ever flies. It would be
7 based on wind tunnel data, and in the case of the 737-
8 300, based on our 737-200 experience in simulator
9 development.

10 It is used for the certification to some
11 extent and used by Boeing pilots in the design of the
12 airplane. It is used to ferret out any problems that
13 might exist in the flight control systems.

14 In the accident investigation, the simulator
15 is used -- the piloted simulation is used primarily
16 when we want to bring a Boeing pilot, or a USAir pilot,
17 or anybody else in to evaluate any parameters that
18 occur in flight. We can try to recreate with the pilot

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 in the loop the accident scenario.

2 It is often difficult to do because of the
3 many variables that are involved in an accident. We
4 also use it in a background sense that we can with a
5 math pilot drive the simulator through any number of
6 runs to try to recreate what we see in a flight data
7 recorder.

8 We can make, then, small variations on top of
9 that to try to determine exactly what might have caused
10 the upset, or accident that we are investigating.

11 MR. MCGREW: Thank you, Mr. Kerrigan. Would
12 it also be correct to say that since this is a motion-
13 based simulator that the occupants feel the motion
14 actually as though they were in a real, moving
15 aircraft?

16 THE WITNESS: Well, the simulator is
17 definitely motion-based and it -- like all simulators,
18 it has a fairly limited motion system, but there is an

1 indication of bank angle and heading and pitch, heave.
2 You can feel the load factor when it occurs. If it is
3 a small step, it can't sustain load factor for any
4 length of time.

5 MR. MCGREW: Thank you, Mr. Kerrigan. We
6 have no further questions, Mr. Chairman.

7 CHAIRMAN HALL: Thank you very much. Mr.
8 Marx?

9 (No response.)

10 No questions. Mr. Clark?

11 MR. CLARK: Mr. Kerrigan, referring to
12 Exhibit 3(i), page 12 that is up there now, can you
13 point out --

14 CHAIRMAN HALL: What is the exhibit?

15 MR. CLARK: I said 3, I meant 13.

16 CHAIRMAN HALL: 3 -- 13(i).

17 MR. CLARK: I am sorry. Page 12. Can you
18 point out on that graph where the match of the wake

1 vortex modeling ends?

2 THE WITNESS: Where the match of the --

3 MR. CLARK: You indicated that for the
4 initial portion you felt that you could be modeling the
5 wake vortex encounter, and then at some point indicated
6 that you were no longer modeling that.

7 Can you point out on that chart at what
8 point, or length of time at the bottom where you think
9 the transition may have occurred?

10 THE WITNESS: Okay. Let's see if this is
11 working. Our feeling is that the wake vortex is
12 significant in this loop here. It is difficult to tell
13 exactly where the wake vortex would be stopping and a
14 control input, or some other input would take over.

15 I think in everything that we have seen in
16 the simulator in the middle of this wake vortex
17 encounter it would -- the control input would have to
18 come in right in the middle of the encounter.

1 If you look at the yawing moment, which is
2 the lower part of the chart, there is a fairly sharp
3 bump right there (indicating) which I would
4 characterize as the vertical tail getting into the
5 wake.

6 There is also, then, a fairly steep rise in
7 this region (indicating). It is difficult to know
8 exactly where -- what is wake and what would be
9 whatever else is upsetting the airplane. The wake
10 could be causing part of that, as well.

11 But, there is, you know -- the amount of time
12 that we are in the vicinity of the wake is on the order
13 of five, or six seconds. So, it would be from the
14 initiation of the -- that rolling moment to five, or
15 six seconds later.

16 MR. CLARK: Would that be in the 138-second
17 to 140-second time range?

18 THE WITNESS: Yes, that looks to be about

1 right.

2 MR. CLARK: Would you describe the equivalent
3 rudder motion that produced the best match of the FDR
4 data? Give us a brief description of the events going
5 on.

6 THE WITNESS: Well, I guess the -- again, not
7 knowing exactly what is causing the movement, whether
8 it is rudder, or some other structural deformation, the
9 rate of the change there is on the order of about five
10 degrees a second.

11 Again, there is a lot of smaller motions
12 superimposed on top of it, but in terms of equivalent
13 rudder, it is on the order of four to six degrees per
14 second of rate, rudder rate, equivalent rudder rate
15 that would be involved and, again, it goes to very near
16 full -- equivalent to full rudder deflection.

17 MR. CLARK: Basically, if we had a rudder
18 moving at about five degrees per second, we could

1 expect a reasonable match of the heading data?

2 THE WITNESS: That is correct, assuming,
3 again, that the lateral input is equivalent to what we
4 have shown.

5 MR. CLARK: In your modeling up there, how
6 long did that rudder deflection, or the equivalent
7 rudder deflection remain in place?

8 THE WITNESS: In this case with the
9 simulator, it is fairly difficult to tell. It -- if
10 you look late in the maneuver it appears that the
11 rudder goes well beyond its bear-down capability.
12 However, when we get to the kinematic solution to the
13 flight data recorder, that trace comes down
14 considerably.

15 The simulator -- I should have mentioned
16 this -- the simulator in the high side-slip angle, high
17 angle of attack area, is -- has not ever been tested in
18 flight, nor did we have any appreciable amount of data

1 in that area.

2 When we went to the University of Washington
3 wind tunnel we did some additional testing which
4 attained data in that high angle of attack, high side-
5 slip angle data area, and we read the -- are revising
6 our simulator to include that data set.

7 Now, that doesn't happen until -- the high
8 side-slip doesn't happen until the rudder gets fully
9 in, and the high angle of attack doesn't occur until
10 the column is nearly fully in, and the stick shaker
11 goes off somewhere in the middle of that exercise.

12 MR. CLARK: Would you be fairly comfortable
13 with your data up to the time of about 148 seconds?
14 That seems to where we are at, the blow-down limit. Is
15 that where you would start questioning the fidelity of
16 the simulator?

17 THE WITNESS: Right. I think -- I don't
18 remember the time in which the stick shaker went off.

1 Yeah, actually the stick shaker went off, I think, at
2 145 seconds, so we are starting to get into the high
3 angle of attack area there that -- where the data will
4 have some -- loses some of its validity until we
5 implement our additional data.

6 Again, the kinematic study that we will see
7 tomorrow is not dependent on the database of the
8 simulator, so that will be more to the point.

9 CHAIRMAN HALL: Well, the question, I
10 believe, is how long did the rudder deflection remain
11 in place, and you are saying -- can you either answer
12 that, or not answer that? That is what I am --

13 THE WITNESS: Well, I think we can answer
14 that. Again, the kinematic study will show that
15 rudder -- probably, if it was rudder -- remained in
16 place until -- almost until impact.

17 CHAIRMAN HALL: Okay, and how long was that,
18 roughly?

1 THE WITNESS: Impact was 160 seconds.

2 CHAIRMAN HALL: Okay.

3 THE WITNESS: Yes, so it started at 140, or
4 thereabouts, about 20 seconds.

5 MR. CLARK: So, the simulation to this point,
6 whatever started causing this, whether it were rudder,
7 or pilot input, or some external factor, or slats,
8 essentially lasted the duration of the upset?

9 THE WITNESS: That is correct.

10 MR. CLARK: For what you simulated so far?

11 THE WITNESS: Yes, that is correct.

12 MR. CLARK: In the modelling that you have
13 completed, did you get any match of the heading data
14 with the vortex encounter?

15 THE WITNESS: The vortex encounter data that
16 we have run so far really hasn't had any -- there
17 haven't been many results that we feel are very final.
18 I certainly don't have anything with me that would

1 support that.

2 I think that if the rudder -- if the fin
3 actually gets into the wake, I think there is a
4 possibility that that sharp break in yawing moment
5 could be caused by that impact with the vertical.

6 The sharp in this particular plot when you
7 look at the sharp equivalent rudder input that occurs
8 early, that appears to be very necessary to the head --
9 rate of change of heading that occurred on the
10 airplane.

11 You see the heading make a very rapid
12 movement, and that sudden sharp little input to the
13 rudder is what causes that to occur and, yes, that may
14 very well be a function of the wake.

15 MR. CLARK: Have you found any other failure
16 modes that could produce a match of the heading data?

17 THE WITNESS: Structural failure modes of
18 other systems than the rudder?

1 MR. CLARK: Systems, or structure.

2 THE WITNESS: Well, again, we haven't found
3 anything at this point that would cause that directly.
4 The only item that I think is still open at all is the
5 leading edge slat.

6 MR. CLARK: Okay. You indicated with the
7 leading edge slat that there is not enough data
8 available as of yet to completely rule that out, enough
9 aerodynamic data to show that you can, or cannot get a
10 match of the FDR data.

11 THE WITNESS: That is correct. We haven't
12 looked at that in the wind tunnel at this point.

13 MR. CLARK: Would it be reasonable to assume
14 a worst case condition and put the slat in the worst
15 possible condition and test that in the wind tunnel and
16 then see if that is possible?

17 THE WITNESS: Well, the slat, as I mentioned,
18 is a fairly large piece of metal, and if you put it in

1 its absolute worst position and made it like a big door
2 out in front of the wing it would cause some pretty
3 large yawing moments, I think yawing moments big enough
4 to cause this.

5 It may have -- may well have other
6 characteristics like a lift loss and increased drag
7 which would not fit, but that -- there is some wind
8 tunnel data available on other configurations that made
9 us interested in this to begin with that showed fairly
10 large moments, but we need a pretty specific set of
11 data. We need a yawing moment without too much rolling
12 moment, et cetera.

13 MR. CLARK: If you had a slat in that
14 position creating those large moments, or large lift
15 losses, would you describe the forces that would be on
16 the slat, the structural forces that it would have to
17 withstand?

18 THE WITNESS: The structural forces that it

1 could withstand?

2 MR. CLARK: That it would have to to produce
3 those large yawing moments.

4 THE WITNESS: Well, obviously the -- as it
5 gets out in front of the wing it will undergo some
6 fairly large -- large forces, and from a structural
7 standpoint, you know, our structures people have looked
8 at it and they agree that at some point it is going to
9 leave the airplane.

10 But, the actual loads that exist with the
11 slat extended in some odd position are really not
12 known. It is not something we have tested, obviously.
13 There are safeguards on the airplane that prevent the
14 slat from getting into some of those positions.

15 MR. CLARK: But, if we were to estimate those
16 loads that it would take for the slat to leave the
17 airplane, those would be the maximum loads that could
18 effect the yawing moment. Is that a fair statement?

1 THE WITNESS: That is possible, yeah.

2 MR. CLARK: Earlier you were talking about
3 background simulation. Would you define what that is?

4 THE WITNESS: Well, basically, when we run a
5 simulation we could either have it -- what we call
6 foreground that would be with a pilot in the loop. We
7 would have a cab and actually fly pilots through some
8 maneuver.

9 Background, we could just sit down at a
10 computer console and input any kind of a pilot -- any
11 kind of an input that a pilot can make, we can make
12 mathematically. So, we refer to that as a background
13 simulation.

14 MR. CLARK: Would those simulations be more
15 repeatable than a pilot in the loop?

16 THE WITNESS: Yes. Obviously when you put a
17 pilot in the loop you never know what he is going to
18 do, precisely, and he won't do it the same twice. He

1 is going to react to whatever upsets the airplane.

2 In background we can fly into the same wake,
3 or the same set of circumstances a number of times
4 making slight variations and do a better evaluation in
5 that manner.

6 MR. CLARK: At the start of the hearing we
7 heard Mr. Haueter describe a -- that there had been
8 over 200 simulator runs. Were those background, or
9 foreground?

10 THE WITNESS: No, that would be simply the
11 foreground runs with pilots in the loop. We probably
12 have run maybe ten times that many in background.

13 MR. CLARK: 2,000?

14 THE WITNESS: Perhaps. I haven't tried to
15 keep track of them.

16 MR. CLARK: When you have made those large
17 number of background runs, have you explored -- how
18 much have you explored in the area of impingement

1 angle, or encounter angles, both laterally and
2 vertically?

3 THE WITNESS: With the wake?

4 MR. CLARK: Yes.

5 THE WITNESS: That has occurred to some
6 extent and, again, it is not a study that we are -- we
7 have completed. We have done some work along those
8 lines and have re -- you know, have gotten some fairly
9 good results with getting the roll to match fairly well
10 with the flight data recorder.

11 Again, in the middle of that encounter you do
12 have to put in an equivalent rudder yawing moment to
13 sustain the maneuver beyond the first few seconds.

14 MR. CLARK: Okay. Has Boeing conducted any
15 flight tests related to a yaw damper, or rudder
16 (inaudible)?

17 THE WITNESS: We have not done any real
18 formal testing. We have done a test where we have

1 flown the airplane up to some fairly large bank angles
2 and basically put in some rudder in a flight condition
3 where we had about 45 degrees of bank, and put in
4 rudder in addition to that. The airplane rolled over
5 to something a little beyond 90 degrees of bank and
6 then quickly recovered back to wings level flight.

7 MR. CLARK: How many of those tests have you
8 done?

9 THE WITNESS: Basically, I think on two
10 different occasions it has been -- been tried on --
11 in -- several times. In each case, the maneuver was
12 conducted.

13 MR. CLARK: Did you record any data on those?

14 THE WITNESS: There is some data available,
15 yes.

16 MR. CLARK: From where? From what source?

17 THE WITNESS: Just from the flight data
18 recorder. We have not done this on any instrumented

1 airplanes.

2 MR. CLARK: How many parameters are on those
3 flight data recorders?

4 THE WITNESS: I don't know precisely, but it
5 was -- you know, it is a recent delivered -- recently
6 delivered airplane, so it has got at least the minimum
7 required by the FAA. So, it is probably a -- I think
8 the current -- it is on the order of 60 parameters.

9 MR. CLARK: Has any of that data matched the
10 data that we see from the Pittsburgh accident?

11 THE WITNESS: Well, again, this was a very
12 controlled flight test. The angle of attack was held
13 very constant. I mean, it wasn't -- there was no
14 attempt to pull the nose up to try and match to get
15 stick shaker and what not. So, there is really -- it
16 is really not comparable with the flight data recorder
17 from USAir.

18 (Pause.)

1 MR. CLARK: If you would refer to Exhibit
2 13(j), page 8, please?

3 (Witness complies.)

4 THE WITNESS: Okay.

5 MR. CLARK: Let's see.

6 (Visual aid shown.)

7 On this chart there is a tag, "define
8 predicted stall warning." Would you describe the
9 source of that information?

10 THE WITNESS: Well, this, again, is a chart
11 that comes from a kinematically produced data set which
12 will be addressed fully tomorrow, but the predicted
13 leading edge slat, or leading edge auto slat extension
14 and the predicted stall warning come from that
15 kinematically derived data set.

16 MR. CLARK: Does that agree with the point we
17 correlate the stick shaker --

18 THE WITNESS: From the CVR?

1 MR. CLARK: -- from the CVR to our FDR data?

2 THE WITNESS: It is within a half a second,
3 or so, I believe.

4 MR. CLARK: Um-hum. Have you analyzed the
5 data for the controllability in the area that the stick
6 shaker sounded, or the stall warning? Those are one in
7 the same, I assume.

8 THE WITNESS: Well, during some of the
9 simulator testing that was done with pilots in the
10 loop, full rudder was put into the simulator and the
11 amount of control wheel required to maintain wings
12 level flight was evaluated.

13 Basically, when the airplane is slowed down
14 significantly and approaching stick shaker, the rudder
15 is able to overpower the lateral control system in the
16 airplane. If the speed is made -- is high relative to
17 normal -- or, normal or higher, then lateral control is
18 able to overpower the rudder.

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 This is, I think, fairly typical of all
2 aircraft in that the lateral control comes from devices
3 on the wing, ailerons and spoilers, and as the airplane
4 gets to higher and higher angles of attack, especially
5 in the stall region, those devices become pretty
6 ineffective because the wing in the area of the device
7 is already stalled.

8 So, the lateral control capability of the
9 airplane deteriorates very much as you get up close to
10 stall angles of attack, whereas the rudder is affected
11 somewhat, but not nearly as much.

12 MR. CLARK: It is not unusual to lose roll
13 control in a stall condition?

14 THE WITNESS: Correct.

15 MR. CLARK: In a swept wing airplane.

16 THE WITNESS: Right.

17 MR. CLARK: Then, if you would look at the
18 dotted line -- or, the dashed line that runs through

1 the roll angle data, if you move up the line about a
2 third of the way up the graph it appears that the roll
3 angle quit changing for a small period of time at about
4 the time the stick shaker activated, right in that area
5 (indicating), and then the roll took off.

6 Is that consistent with a high angle of
7 attack, flow separation, loss of roll control?

8 THE WITNESS: I would guess that that is
9 probably what happened there.

10 MR. CLARK: If we were to go back on this
11 chart and from the modelling you have done -- I assume
12 the timing is consistent throughout your charts and
13 graphs. The time you described as being out of the
14 effect of the wake is between 138 and 140 seconds?

15 THE WITNESS: Right, yes.

16 MR. CLARK: Earlier, and then we see a marked
17 increase in roll rate at about 145 seconds. That gives
18 us roughly a five, or six second time frame that --

1 from being out of the wake until we have a change in
2 the state of control?

3 THE WITNESS: Yes.

4 (Pause.)

5 MR. CLARK: Earlier, Mr. Jacky asked you
6 about the effects of a thrust reverser deployment, and
7 are you familiar with the data, the circumstances of
8 the 767 thrust reverser deployment with the Louda (sic)
9 airplane?

10 THE WITNESS: To a limited extent.

11 MR. CLARK: Are you familiar with the various
12 signatures that were present on longitudinal
13 acceleration, vertical?

14 THE WITNESS: No, not --

15 MR. CLARK: All right, let me back up there,
16 that's not fair. There were no -- the flight data
17 recorder was destroyed on that. In the simulations
18 that went with that investigation, are you familiar

1 with the data from those?

2 THE WITNESS: No, I have not been involved in
3 that directly.

4 MR. CLARK: A little bit earlier we talked
5 about two -- well, I don't want to mischaracterize the
6 word you used. I think it was something on the order
7 of informal flight tests, the two flight tests, or
8 flight demonstrations of large bank angles and rudder
9 input. Whose airplanes were those?

10 THE WITNESS: I don't remember the specific
11 airline, but it was -- it was done on a B-1 -- a Boeing
12 flight test, pre-delivery to a customer.

13 MR. CLARK: Okay. I have no further
14 questions.

15 CHAIRMAN HALL: You mentioned that testing is
16 continuing?

17 THE WITNESS: Well, certainly on the
18 simulator we are continuing to do a lot of background

1 work to try and further improve the match and determine
2 what characteristics the autopilot and what not would
3 have had.

4 CHAIRMAN HALL: Well, you had mentioned there
5 were some specific things you all were trying to do.
6 What time line do you think it will take you to
7 accomplish those things, generally?

8 THE WITNESS: We are, I think, to the point
9 where we will within the next couple of months have
10 many of those things pulled together much more so than
11 we do right now.

12 CHAIRMAN HALL: Okay, thank you. Mr.
13 Schleede?

14 MR. SCHLEEDE: Thank you, Mr. Chairman. I
15 would like to ask one more question in the area of the
16 thrust reverser. I want to make sure I understand.

17 From your expertise in aerodynamics and
18 flight dynamics, do the data that we have, the

1 aeronautical data that we have, support, or refute a
2 thrust reverser deployment on the left side?

3 THE WITNESS: It is difficult to really pin
4 that down, I think. The aerodynamics -- one thing that
5 is missing in the signature of the load factor is
6 buffet.

7 I understand from looking at past data that
8 we have seen on test airplanes that the load factor
9 when a thrust reverser is extended has a lot of buffet
10 associated with it, and we don't see that signature in
11 here.

12 Aerodynamically what we get out of that is a
13 very large yawing moment. That is what we would
14 expect. We are not in particularly high speed flight
15 here, we are not at high mach numbers.

16 We are at fairly low speed, so the
17 characteristic is not nearly as dramatic as it was in
18 the case of the 767 where he was at cruise when that

1 occurred, I understand. So, you wouldn't expect to see
2 as violent an upset as they might have experienced.

3 MR. SCHLEEDE: Okay, well, I just want to go
4 back, because I know the Chairman asked you at one
5 point when you said -- you used the phrase "we have
6 eliminated" the thrust reverser, and he had you clarify
7 that, who the we was, whether that was you, or Boeing,
8 or the aircraft performance crew.

9 THE WITNESS: Well, I think overall, you
10 know, it has been a collection of information that has
11 led us to not believe that the thrust reverser is
12 involved, and I guess the "we" is maybe Boeing, but I
13 think the performance group also believes that. We
14 haven't spent a lot of time on that.

15 MR. SCHLEEDE: I just want to narrow that
16 down to your particular area of expertise in what we
17 have called you here for. Do you see data that lets
18 you refute it, or is it inconclusive from your --

1 THE WITNESS: Well, again, I think from a
2 load factor standpoint I don't believe that the thrust
3 reverser was involved.

4 MR. SCHLEEDE: Okay, thank you. One other
5 area, and I know we are going to see you again during
6 the hearing, so maybe I will have to come back to it,
7 but understanding these documents like 13(i), we have
8 been referring to several charts and graphs.

9 I want to talk particularly about what you
10 said the equivalent rudder angle and equivalent rate of
11 rudder travel that would be derived from this chart. I
12 think I wrote down that you thought it was five --
13 averaged five degrees per second?

14 THE WITNESS: Approximately. It is moving
15 around a fair amount. We had a lot of noise.

16 MR. SCHLEEDE: A lot of noise?

17 THE WITNESS: Well, a lot of computational
18 things. It is not a nice, smooth trace that you can

1 put a straight edge on, and if you have ten people do
2 it you will get ten slightly different answers, I am
3 sure.

4 MR. SCHLEEDE: Well, that is kind of what I
5 was driving at. What kind of confidence level can we
6 put in looking at a chart like this? How confident can
7 we be that we are within some reasonable tolerance of,
8 you know, five --

9 I have heard three and a half degrees per
10 second maybe two weeks ago, and I have heard two and a
11 half degrees per second, depending on where I look at
12 it. Here, I can get it down to two degrees per second.

13 THE WITNESS: Yes, it is difficult to pin
14 down exactly and, again, we don't know for certain what
15 is coming from rudder and what would be coming from
16 wake, so it is very difficult to pin down a rate
17 specifically out of that data.

18 MR. SCHLEEDE: Is one of the values -- I

1 think you mentioned this, that the critical value that
2 we do have available here is heading? The sample, once
3 per second?

4 THE WITNESS: That is correct.

5 MR. SCHLEEDE: Is that a major player in
6 driving these?

7 THE WITNESS: Yes, it certainly is the major
8 indication of yawing moment on the airplane. The yaw
9 acceleration would be derived from heading rate.

10 MR. SCHLEEDE: Since it is sample once per
11 second, is there a possibility that we are missing some
12 step inputs, some instantaneous inputs here, or are
13 we --

14 THE WITNESS: Well --

15 MR. SCHLEEDE: -- smoothing this too much?

16 THE WITNESS: I think if you get a step input
17 you see a very rapid change in heading, and you would
18 pick it up even in one second, particularly if it went

1 in and stayed in. You would pick that up pretty
2 quickly.

3 Again, we don't know exactly what the wake is
4 doing to this thing, if the vertical tail is getting
5 into the wake just one time, or if it is passing
6 through the wake twice. That is something that we
7 would hope to be able to narrow down a little bit in
8 our further studies, but at this point I really can't
9 say precisely what the situation is.

10 MR. SCHLEEDE: I don't know if you covered
11 this, or if it is going to be in your next phase of
12 testimony; rate of rudder trim, what is its -- has it
13 been considered as one of the possible inputs to this?

14 THE WITNESS: We evaluated that early on in
15 the -- in the simulator, and I think we will probably
16 talk about it tomorrow, but the rudder rate is -- trim
17 rate is about a half a degree per second on the
18 airplane. It would take a substantial amount of time

1 for that to drive the rudder over to its 14-degree
2 limit.

3 MR. SCHLEEDE: Okay, thank you very much, Mr.
4 Kerrigan.

5 CHAIRMAN HALL: Mr. Laynor?

6 MR. LAYNOR: Just a couple, Mr. Kerrigan.
7 Early on in your answers to Mr. Jacky you described the
8 distributed lift modelling that he used and, as I
9 understood it, that was used to simulate the effects of
10 a wake vortex, or a vortex on the body of the aircraft.

11 THE WITNESS: Yes, it was designed so that we
12 could evaluate the effects of the wake, or -- even if
13 it only hit a small portion of the wing.

14 MR. LAYNOR: I was wondering if any
15 consideration was given to the difference in the
16 pressure distribution over the fuselage for different
17 angular increase?

18 THE WITNESS: No, at this point the model

1 that we put together did not include any body effects.

2 MR. LAYNOR: Do you think that they might be
3 significant?

4 THE WITNESS: I don't believe that they would
5 be of the same order of magnitude as the -- either the
6 wing, or the vertical tail. So, I would think they
7 would not be -- they would be a second order affect.

8 MR. LAYNOR: I kind of would like to sometime
9 later in the investigation pursue that a little
10 further, perhaps. Mr. Clark asked you what range of
11 impingement or entries were examined, and I don't know
12 whether you answered that with any indication --

13 THE WITNESS: Yeah, I didn't necessarily
14 answer it specifically. We did look at various
15 penetrations, but it was generally in conjunction with
16 piloted simulations, so we may have set him up with
17 a -- like a 20-degree intercept angle, but then had him
18 roll out onto the heading of the wake as he approached

1 it. So, I don't have a specific parameter set that I
2 can refer to.

3 I think we felt that the primary upset was
4 lateral and that we were going to maximize that if he
5 approached it almost tangentially, and that is pretty
6 much what the radar data was indicating, so that was
7 the primary thrust of things.

8 MR. LAYNOR: Well, I think we both recognize
9 that radar data leaves some tolerances, and I believe
10 we could perhaps go further than that. I think you
11 might have mentioned this already, but in the autopilot
12 encounters, was the autopilot programmed to logically
13 be following a course intersect as the accident
14 airplane was?

15 THE WITNESS: For the video that we showed
16 where we were looking at the autopilot only acting in
17 that case, the autopilot was about to roll the airplane
18 out onto the heading of the wake as it impacted the

1 wake.

2 MR. LAYNOR: So, you believe we reproduced a
3 case where an aircraft on autopilot enters a vortex
4 encounter with the autopilot attempting to roll it out,
5 or if the vortex results in an overshoot of the course,
6 bring it back?

7 THE WITNESS: That was the case that we
8 simulated, yes. Again, that wasn't part of any
9 parametric study that we were doing. It was merely
10 trying to get a representative encounter.

11 MR. LAYNOR: How much engineering data were
12 recorded during those 200 -- or, 2,000 autopilot runs?

13 THE WITNESS: Well, we have -- it can vary
14 from case to case, but we typically would have perhaps
15 a hundred parameters recorded during the simulator
16 runs, on that order. We can actually, you know, record
17 many more than that, but that -- those are the ones
18 that are typically of interest.

1 MR. LAYNOR: Have they been examined to the
2 extent necessary to determine which ones most closely
3 represent the first four or five seconds of this
4 encounter?

5 THE WITNESS: Again, we haven't
6 parametrically studied the wake encounters to that
7 extent. We are in the process of doing that and we
8 will, but right now we haven't -- just -- we are not
9 there yet.

10 MR. LAYNOR: Okay, one final question, and
11 you might get to this tomorrow, but in a wake vortex
12 encounter what effect would you -- how active do you
13 think the yaw damper would be?

14 THE WITNESS: I am sorry, I didn't hear the
15 last part.

16 MR. LAYNOR: I am wondering how you think the
17 yaw damper on the aircraft would react during a wake
18 vortex encounter.

1 THE WITNESS: Well, again, the -- it depends
2 on the encounter. If the airplane simply is roll
3 upset, then the yaw damper would not probably have a
4 large input. If it -- if the vertical tail impinges
5 into the wake and it gives you a fairly large and
6 significant yaw upset, then I would say the yaw damper
7 might well go to its authority limit and it -- you
8 know, it can be anywhere in between those two.

9 If they airplane is rolled significantly and
10 then as it kicks out it has a fairly rapid rate of
11 change of yaw heading, the yaw damper would certainly
12 be trying to encounter that initially.

13 MR. LAYNOR: Okay. All right, thank you, Mr.
14 Kerrigan.

15 CHAIRMAN HALL: Mr. Kerrigan, first let me
16 say I think you have been up here for about two hours
17 and 15 minutes, if the Chairman's watch is correct, and
18 we appreciate the time that you have spent and look

1 forward to your return.

2 I will just try to ask you when we get back
3 in -- when you do return and we talk about kinetic
4 modelling -- is that correct?

5 THE WITNESS: Actually --

6 CHAIRMAN HALL: Kinematic.

7 THE WITNESS: Yeah, Mr. Dellicker will be
8 discussing the kinematic --

9 CHAIRMAN HALL: Okay, well, he will give us a
10 description of that. I would appreciate it. I assume
11 you are saying -- it is my understanding that what we
12 are seeing on these charts and graphs could have
13 basically most likely happened from some type of rudder
14 input, or maybe some structural deformation of the
15 wing -- of the slat, maybe?

16 THE WITNESS: That is correct.

17 CHAIRMAN HALL: And that the rudder moved and
18 we are not sure whether it was a commanded or an un-

1 commanded input?

2 THE WITNESS: That is correct.

3 CHAIRMAN HALL: Because we don't have
4 information on the flight data recorder that would
5 reflect that?

6 THE WITNESS: That is correct.

7 CHAIRMAN HALL: And you are going to come
8 back, or someone is going to come back and we are going
9 to talk about the flight data recorders that are
10 currently available on these aircraft and what might be
11 available?

12 THE WITNESS: Right.

13 CHAIRMAN HALL: All right. Well, thank you
14 very, very much. You have been very helpful and very
15 patient, and I thank you and also thank the six, or
16 seven people you have identified that you worked with
17 that have assisted us, and we appreciate your continued
18 assistance in the work that you are going to continue

1 to do in this effort in the next couple of months.

2 (Witness excused.)

3 We are going to go on to call one more
4 witness today. However, before we do that we will take
5 a 20 minute break and we will reconvene here at 5:50,
6 or ten of 6:00. Off the record.

7 (Whereupon, a brief recess was taken.)

8 CHAIRMAN HALL: On the record. We will
9 reconvene this proceeding. I have an announcement that
10 I would like to make for the benefit of those -- the
11 parties and the individuals who are interested in
12 following these proceedings.

13 The second day of this hearing will begin in
14 this room tomorrow morning promptly at 8:30 a.m., 8:30
15 a.m. A number of people have inquired as to the time
16 that this proceeding will begin tomorrow. This
17 proceeding will begin tomorrow at 8:30 a.m. So, if you
18 would please assist me in being sure that everyone gets

1 that information that would be greatly appreciated.

2 The next witness that we will call for this
3 hearing is Mr. Brian Johnson. He is a Boeing 737
4 structure specialist with the Boeing Commercial
5 Airplane Group in Seattle, Washington. If Mr. Johnson
6 could come forward, please?

7 (Witness complies.)

8 Mr. Schleede, if you could begin the
9 questioning?

10 (Witness testimony continues on next page.)

11

12

13

14

15

16

17

18

1

2

3

4

5

6

7

8

9

10

11

12 BRIAN JOHNSON, BOEING 737 STRUCTURE SPECIALIST, BOEING

13 COMMERCIAL AIRPLANE GROUP, SEATTLE, WASHINGTON

14 Whereupon,

15 BRIAN JOHNSON,

16 was called as a witness by and on behalf of NTSB, and,

17 after having been duly sworn, was examined and

18 testified on his oath as follows:

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 MR. SCHLEEDE: Mr. Johnson, could I have your
2 full name and business address for our record, please?

3 THE WITNESS: My name is Brian E. Johnson.
4 Business address, Boeing Commercial Airplane Group,
5 P.O. Box 3707, Seattle, Washington 98124.

6 MR. SCHLEEDE: In what position are you
7 employed at Boeing?

8 THE WITNESS: Lead structural engineer.

9 MR. SCHLEEDE: How long have you worked for
10 Boeing?

11 THE WITNESS: I have been employed in that
12 capacity as structural engineer for 11 years. For the
13 last nine years I have worked on this model, 737.

14 MR. SCHLEEDE: Give us a brief description of
15 your education and background that qualifies you for
16 your present job.

17 THE WITNESS: I have a degree in engineering
18 with major and structural engineering from the

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 University of Washington. As I stated, I have got 11
2 years practical experience on air frame structural
3 analysis.

4 I am also an FAA designated engineering rep,
5 more commonly referred to as DER, and I am a licensed
6 professional engineer in the State of Washington.

7 MR. SCHLEEDE: Thank you. Ms. Keegan will
8 proceed.

9 MS. KEEGAN: Good afternoon, Mr. Johnson.

10 THE WITNESS: Ms. Keegan.

11 MS. KEEGAN: What was your position on this
12 investigation?

13 THE WITNESS: My position was as a member of
14 the NTSB Structures Group. I was sent at the request
15 of the Air Safety Group at Boeing to assist the NTSB.

16 MS. KEEGAN: What other aircraft accident
17 investigations have you participated in?

18 THE WITNESS: One other. I was involved in

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 KOPA flight 201 in Panama in June, 1992.

2 MS. KEEGAN: What aircraft was that?

3 THE WITNESS: That was also a Boeing 737.

4 MS. KEEGAN: What was your position in that
5 investigation?

6 THE WITNESS: On that investigation I was
7 sent as a Boeing representative, again at the request
8 of the Air Safety Group, to assist the NTSB in their
9 investigation.

10 MS. KEEGAN: Have you ever been involved in
11 another wreckage reconstruction?

12 THE WITNESS: At KOPA there was a limited
13 reconstruction that I was involved in. Yes, I have
14 been.

15 MS. KEEGAN: Can you describe any parallels
16 of that reconstruction investigation with this
17 reconstruction investigation?

18 THE WITNESS: I feel the direction and flavor

1 of each investigation is somewhat unique. I can't
2 really describe any parallels between KOPA and flight
3 427.

4 MS. KEEGAN: When you say "unique", can you
5 give us a little more detail?

6 THE WITNESS: Well, KOPA was very
7 challenging. On the contrary, we had a lot of
8 assistance here on flight 427 by USAir, their
9 facilities, the presence of a hangar, engineering
10 drawings, things like that.

11 All of these conveniences that made my job as
12 a structures member much easier here on 427 were not
13 present on KOPA, so it did handicap the process a bit.

14 MS. KEEGAN: How was flight 427 wreckage
15 reconstruction reconstructed and oriented?

16 THE WITNESS: Well, the concept of
17 reconstruction, I will clarify. When I say
18 reconstruction -- and I will say this over and over.

1 It simply refers to positioning the wreckage pieces in
2 their correct airplane location.

3 By doing that, you serve to document the
4 structure, you serve to organize the structure, so it
5 is really a fundamental starting point. The
6 orientation -- to answer your question, Ms. Keegan, the
7 orientation that was selected was essentially a
8 conventional layout, a standard engineering convention.

9 The forward portion of the airplane, or nose
10 portion of the airplane, was positioned to the left as
11 you entered the hangar. The tail section, or referred
12 to as the empennage area, was positioned to the right.

13 On the far side of the wreckage was the right
14 wing, on the near side the left wing. So, you have got
15 essentially the same perspective as an engineering
16 drawing.

17 MS. KEEGAN: What was the purpose of the
18 reconstruction?

1 THE WITNESS: Well, as I have stated, it
2 serves to document the structure, it serves to organize
3 the structure and it really gives you a good beginning
4 point to commence other detailed inspections of the
5 structure.

6 MS. KEEGAN: More specifically, what was the
7 purpose of the reconstruction of areas such as the
8 forward pressure bulkhead, the slats, the floor beams?

9 THE WITNESS: Well, let me answer that
10 question in order. We can look at areas like the
11 forward pressure bulkhead. That reconstruction effort
12 came on after the initial full scale reconstruction
13 effort of the major air frame.

14 The forward pressure bulkhead, we did a two-
15 dimensional reconstruction of that. The direction of
16 the investigation, or reason for doing that
17 reconstruction was to investigate possibility of bird
18 strike to that bulkhead.

1 MS. KEEGAN: Then, the reason for the
2 reconstruction of the floor beams?

3 THE WITNESS: Again, floor beam
4 reconstruction was another specific effort that we
5 undertook after the major air frame had been laid out
6 and two-dimensionally reconstructed. The purpose of
7 the floor beam reconstruction really centered over the
8 systems group.

9 The floor beams, the web of the floor beams,
10 have cut-outs in them for the control cables. You have
11 a floor beam approximately ever 20 inches on the
12 fuselage. So, we have a fair amount of structure that
13 is, so to speak, surrounding, or housing the control
14 cables, and there was, again, another direction in the
15 investigation to fully understand that structure around
16 the control cables, and that would mean a floor beam
17 reconstruction.

18 MS. KEEGAN: Mr. Johnson, did you observe any

1 evidence of structural fatigue, or failure prior to
2 impact during the wreckage reconstruction and
3 examination?

4 THE WITNESS: Evidence of structural fatigue,
5 no, I did not observe any evidence of structural
6 fatigue.

7 MS. KEEGAN: Did you observe any evidence of
8 a failure prior to impact of the structure, or any
9 areas of the structure?

10 THE WITNESS: No, I did not observe any
11 evidence of an in-flight type of failure, catastrophic
12 failure, no, I did not.

13 MS. KEEGAN: I would like to refer you to
14 Exhibit 7(d), page 1, specifically.

15 (Witness complies.)

16 What were the results of the examination of
17 the slats and, specifically, the number one outboard
18 slat track?

1 THE WITNESS: Well, as -- as the exhibit
2 states, the slat was submitted for a metallurgical
3 examination, an NTSB metallurgical examination, and
4 using visual means the NTSB metallurgist could
5 determine that that slat outboard main track had failed
6 due to an overload condition. This was in contrast to
7 a fatigue-type failure.

8 MS. KEEGAN: Are you aware of why the
9 structures group was specifically interested in
10 examining the slats?

11 THE WITNESS: Well, the slats -- and this
12 gets back to one of the earlier questions -- there was
13 a reconstruction effort undertaken on the slats, the
14 concern being that there may have been a bird strike to
15 a slat, and the reconstruction was really centered on
16 that direction again in the investigation.

17 MS. KEEGAN: How was the examination of the
18 slat -- how were the slats examined for any evidence of

1 bird debris?

2 THE WITNESS: Well, let me start off by
3 saying I am not an expert in the technique that was
4 employed for looking for bird debris, or bird fluids.
5 The method is called black light inspection.

6 Simply, it entails a light, an ultraviolet
7 light of a given wave length that makes it invisible to
8 the human eye. Hence, the name black light. When this
9 ultraviolet light is shown on bird debris, or some
10 fluids, the debris or fluid will absorb and react to
11 the light and give an indication, a visible indication,
12 which is termed fluorescing. So, that was the method
13 that was employed.

14 MS. KEEGAN: I would like to refer you to
15 Exhibit 7(g).

16 (Witness complies.)

17 The Armed Forces of Pathology examination of
18 the debris that was removed from the number one slat,

1 could you describe what the examination revealed?

2 THE WITNESS: Well, I will back up one step
3 and say the reason for the Exhibit 7(g), there was a
4 mild indication of bird strike using the aforementioned
5 black light method. As a follow-up procedure, the
6 Armed Forces Institute of Pathology in Exhibit 7(g)
7 performed three additional inspections for evidence of
8 bird strike.

9 Exhibit 7(g) goes into detail on each of
10 those three methods and concludes by saying that in
11 each of the three methods there was no evidence of bird
12 strike.

13 MS. KEEGAN: I am sorry, can you say that
14 again? Did you say that -- what was the --

15 THE WITNESS: Yeah, let me back up.

16 MS. KEEGAN: What was the conclusion of the
17 examination of the debris from the slat?

18 THE WITNESS: The conclusion from Exhibit

1 7(g) was that there was no evidence of bird strike, and
2 they utilized three different inspection methods to try
3 and find evidence of bird strike.

4 MS. KEEGAN: Are you aware of the history of
5 the Boeing 737 -- any history of an outboard slat
6 failure in flight?

7 THE WITNESS: To the best of my knowledge, I
8 am -- well, before I answer the question, let me see if
9 I understand the question. When you say "failure of a
10 slat," slat separation from the wing?

11 MS. KEEGAN: That is correct, the slat
12 separation, or --

13 THE WITNESS: No, to my knowledge there has
14 not been a case of a slat separating from a wing in
15 flight.

16 MS. KEEGAN: Mr. Kerrigan previously
17 mentioned that there was a section of the slat missing.
18 Are you aware of any such section, and has that concern

1 been brought to the attention of the investigation?

2 THE WITNESS: On slat one there is a portion
3 of slat that is gouged and severely dented. It is
4 adjacent to a slat rib. Oftentimes it is not uncommon
5 to see structure adjacent to a stiffening member such
6 as a rib exhibit more deformation.

7 There are small pieces of the slat that are
8 not attached to the slat, but it is essentially a v-
9 shaped gouge, a very deep gouge, and most of the slat
10 structure is there, it is just that it has been
11 deformed quite a bit.

12 MS. KEEGAN: What were the difficulties, or
13 obstacles in accomplishing 100 percent reconstruction?

14 THE WITNESS: Well, as stated in Exhibit
15 7(a), the major obstacle was the fragmentation of the
16 structure. We found that we were looking at pieces
17 that were more simply too destroyed to try and locate
18 their correct airplane location. So, really the

1 fragmentation of the air frame was the major obstacle.

2 I would like to mention that in some areas
3 there was relatively high percentage of reconstruction.
4 Overall, we probably ranged around the 50 percent
5 level.

6 MS. KEEGAN: When you say "high percentage of
7 reconstruction," what area are you referring to and how
8 high?

9 THE WITNESS: Okay, what I am referring to is
10 just the percentage of structure that comprises the un-
11 deformed structure that we are able to identify and
12 place.

13 In general, as you went aft along the
14 airplane we found more structure, more identifiable
15 structure, and the actual percent of reconstruction in
16 some of those local areas were well in excess of 50
17 percent.

18 On the contrary, as you go forward, we found

1 it difficult in some places to reconstruct pieces
2 because of the fragmentation, and the percent of
3 reconstruction was much, much less than 50 percent.

4 MS. KEEGAN: Are you aware of any evidence of
5 pre-impact fire, or explosion during the -- found
6 during the examination of the wreckage?

7 THE WITNESS: Well, again, I will qualify my
8 answer by stating I am not a flammability, or an
9 explosion expert. However, I will go on to say that I
10 did not see any evidence that would suggest that.

11 MS. KEEGAN: What do you base your --

12 THE WITNESS: Well, let me clarify. With
13 regards to a fire, what we found as we progressed
14 through this reconstruction process is that we would --
15 we would find a fire-damaged piece of structure and we
16 would identify and place the matching adjacent
17 structure to that fire-damaged piece, and oftentimes
18 there would be no transitioning of fire damage. It was

1 apparent that this fire-damaged piece had occurred at a
2 separate location, presumably from impact.

3 MS. KEEGAN: Did you observe any evidence of
4 depressurization?

5 THE WITNESS: Well, the idea of
6 depressurization is -- really infers that there was a
7 penetration, or some type of a failure of the pressured
8 shell. You know, the fuselage is pressurized.

9 So, to answer that question, I will refer to
10 the issues of penetration of the pressured shell, or
11 structural failure. I found no indication of either
12 one of those events.

13 MS. KEEGAN: What were the results of the
14 examination and reconstruction of the cargo doors?

15 THE WITNESS: The cargo door reconstruction
16 showed a couple of things. First of all, we found
17 pieces of both cargo doors, the forward cargo door and
18 the aft cargo door.

1 CHAIRMAN HALL: Could you describe for us how
2 many cargo doors there are and the approximate size of
3 the cargo doors?

4 THE WITNESS: The cargo doors are in two
5 positions. There are two cargo doors. We are talking
6 about lower load cargo doors. There is one in the
7 forward position around body station 400 which is, you
8 know, a few feet aft of the forward service door.

9 There is an aft cargo door which is, again,
10 some feet forward of the aft service door, roughly body
11 station 800. The dimensions of the cargo door, again,
12 roughly we are talking a three-foot type dimension, 30-
13 inch, 40-inch type rectangular dimension.

14 As I was saying, the reconstruction of the
15 cargo doors yielded a couple of points. We found
16 pieces of both cargo doors, forward and aft, and we
17 also found evidence that suggested these cargo doors
18 were closed on impact. In fact, I can say these cargo

1 doors were, indeed, closed on impact.

2 MS. KEEGAN: Where do you base your
3 conclusion? What evidence do you base your conclusion
4 on for that?

5 THE WITNESS: Okay, let me explain. I will
6 start off with the forward cargo door. We located a
7 couple of key components at the door. The first one
8 was a device called a snubber. It is similar to a
9 shock, or a damper is probably the best way to describe
10 it. It controls the door and gives it some
11 controllability.

12 That piece was found in the extended
13 position. The extended position is the normal door
14 closed position. On the forward cargo door we also
15 found a latch fitting on the door, and we found the
16 mating latch fitting on the fuselage frame.

17 On these two fittings you could see a
18 consistent set of marks, or gouging where the door

1 latch fitting had gouged and then loaded the fuselage
2 fitting, and vice versa. Again, this indicates that
3 there was an engagement on impact -- excuse me -- on
4 impact, which would imply door closed position.

5 With regards to the aft cargo door, we found
6 some of that same evidence; the snubber in the extended
7 position, the -- we found a fuselage door fitting that
8 had imprints from the actual door fitting, so we have
9 two parts that mate together and we could see where one
10 had actually imprinted on the other one on impact.

11 Also, on the aft cargo door we found the
12 handle for the door in the recessed closed position
13 and, not only that, but it did exhibit some consistent
14 deformation with the surrounding structure indicating
15 the door closed position.

16 MS. KEEGAN: I think you have covered it all
17 pretty thoroughly, but let me just ask this question.

18 THE WITNESS: Yeah.

1 MS. KEEGAN: Did you observe any evidence
2 that the cargo door, or other airplane structure had
3 failed prior to impact?

4 THE WITNESS: No, no, I did not observe any
5 evidence of that.

6 MS. KEEGAN: Are you aware of the ground and
7 aerial searches conducted during the on-site
8 investigation?

9 THE WITNESS: I am aware they were carried
10 out. I did not participate in either the ground, or
11 the aerial search, but I was on-site during that time
12 and am aware of the activity.

13 MS. KEEGAN: I would like to refer you to
14 exhibit 7(c), the accident site and search location.
15 Can you describe, or explain why the ground search
16 aerial search was conducted and what were the results
17 of the ground search?

18 THE WITNESS: The ground search was performed

1 mainly because early in the reconstruction there was
2 some -- some notable missings from the reconstruction
3 effort. Early on, after about two days of in the
4 hangar doing the work, I realized we weren't finding
5 much of the forward cargo door, and there was some
6 other structure that was missing, as well.

7 So, that was really the reason behind doing
8 this search, was to find any structure that might have
9 fallen off the aircraft prior to impact, and I would
10 like to point out that later in the reconstruction as
11 it progressed we found pieces of all the doors,
12 including that forward cargo door.

13 The search, both the ground search and aerial
14 search, did not find any structure from flight 427.

15 MS. KEEGAN: What is the history of in-flight
16 complications, or failures of the same type cargo door,
17 or the cargo doors on the Boeing 737?

18 THE WITNESS: Well, let me begin by saying a

1 bit about the design of the door. These are inward
2 opening cargo doors. They are commonly referred to as
3 a plug-type door. We have no in-flight service of a
4 failure of this type of door.

5 It is a reliable design, simply stated. The
6 door is larger than the opening. It is held in place
7 by internal pressure.

8 MS. KEEGAN: So, are you aware of any prior
9 history of in-flight failures of the cargo doors where
10 they opened, or --

11 THE WITNESS: No, I am not.

12 MS. KEEGAN: -- separated in flight?

13 THE WITNESS: I am not aware of any in-flight
14 failure to cargo doors.

15 MS. KEEGAN: Okay. I would like to go back
16 to when I was speaking about the reconstruction of the
17 forward pressure bulkhead. Can you please describe the
18 historical basis for the concerns of a bird strike to

1 the forward pressure bulkhead?

2 THE WITNESS: Historically, if we go back and
3 look at service data, on rare occasions there have been
4 birds that have struck that bulkhead. Let me clarify
5 where this bulkhead is. It is located just behind the
6 radome, which is the nose section of the airplane.

7 There have been cases where a bird has
8 penetrated the radome and struck the bulkhead, and
9 there have been even rarer cases where a bird has
10 penetrated the forward pressure bulkhead.

11 MS. KEEGAN: What were the results of the
12 black light examination of the forward -- reconstructed
13 forward pressure bulkhead?

14 THE WITNESS: The results were negative for
15 evidence of bird strike on that bulkhead.

16 MS. KEEGAN: What is the history of in-flight
17 complications, or failures regarding a bird strike to
18 the forward pressure bulkhead on a Boeing 737?

1 THE WITNESS: There have been some rare cases
2 where a bird has struck that bulkhead. In all cases
3 the airplane has been able to land safely. There have,
4 to my knowledge, been no accidents, or incidents
5 resulting from that.

6 MS. KEEGAN: Do you recall what the
7 approximate percentage of the forward pressure bulkhead
8 was reconstructed?

9 THE WITNESS: We completed the effort with
10 about 40 percent of the bulkhead reconstructed. That
11 was based on a percentage of the surface area of the
12 bulkhead.

13 MS. KEEGAN: Do you recall what other
14 airplane structure was examined for bird debris and
15 what the results were?

16 THE WITNESS: In addition to the forward
17 pressure bulkhead and the slat structure that I
18 mentioned previously, we also looked at the radome

1 which is essentially the nose in front of the pressure
2 bulkhead.

3 In addition, some of the cockpit components
4 were inspected, the left-hand wing was inspected, the
5 leading edge. They also inspected the left-hand wing
6 spoilers. The leading edge of the horizontal
7 stabilizer was inspected, as well as the leading edge
8 of the vertical stabilizer.

9 MS. KEEGAN: What were the results of those
10 examinations?

11 THE WITNESS: In all cases the results were
12 negative for bird strike.

13 (Pause.)

14 MS. KEEGAN: Were there any structural --
15 other structural concerns regarding flight 427?

16 THE WITNESS: I don't have any other
17 structural concerns with flight 427. I feel the team
18 kept an open mind. We looked at everything and I don't

1 feel I have any other concerns about flight 427's
2 structural investigation.

3 MS. KEEGAN: What are your feelings regarding
4 the reconstruction of the floor beams and the potential
5 for an in-flight failure of the floor beams?

6 THE WITNESS: My feeling with regard to that
7 is that if we go back and look at our service
8 experience, we will find that we have never had that
9 failure scenario where a floor beam had suddenly
10 collapsed and put an input into a control cable. It
11 simply isn't a failure mechanism that we have ever
12 seen.

13 MS. KEEGAN: So, are you saying there is no
14 history of any in-flight failure of the floor beams?

15 THE WITNESS: I am saying, to my knowledge
16 there is no history of a catastrophic failure of a
17 floor beam that would involve several inches of
18 deflection and input to a control cable.

1 MS. KEEGAN: Are you satisfied that the areas
2 that the Structures Group covered in the re-examination
3 and reconstruction of flight 427 were adequately
4 reconstructed and investigated?

5 THE WITNESS: I feel the reconstruction
6 effort was adequately inspected, yes. We spent a very
7 long time reconstructing the airplane, and I think we
8 have looked into all possible leads. I cannot think of
9 any other piece of structure on the airplane that I
10 would recommend a reconstruction on at this phase.

11 MS. KEEGAN: Are you aware that these same
12 views were expressed during the reconstruction by the
13 members of the structures team?

14 THE WITNESS: Yeah, I -- I can speak on their
15 behalf that we openly expressed our views and our
16 opinions towards the direction of the investigation and
17 we, especially the Boeing representatives, feel that we
18 did a very thorough job on the reconstruction, and I

1 can't -- I can't really foresee any other structure to
2 further reconstruct.

3 MS. KEEGAN: Are you aware of a history, or
4 an event of a partial failure of a slat on the Boeing
5 737?

6 THE WITNESS: Getting back to the issue of a
7 bird striking slats, the typical damage resulting from
8 such an event would be a denting of the slat structure
9 leading edge structure. In rare cases you might get
10 some tearing of the leading edge structure, but that is
11 in general the extent of the damage, at least to my
12 knowledge, from bird strike on slats.

13 MS. KEEGAN: Thank you very much, Mr.
14 Johnson. I have no further questions at this time.

15 CHAIRMAN HALL: Thank you, Ms. Keegan. Do
16 any of the parties have questions for this witness?

17 (No response.)

18 Seeing no questions from the parties, I will

1 go to Mr. Marx.

2 MR. MARX: No questions.

3 CHAIRMAN HALL: Mr. Clark?

4 (Pause.)

5 MR. CLARK: Mr. Johnson, do you know what the
6 pressurization would be on the airplane at 6,000 foot,
7 just prior to the upset, or the pressure differential?

8 THE WITNESS: I don't know the exact value.
9 I would estimate it at probably around one PSI.

10 MR. CLARK: Okay. Earlier today there were
11 questions about the possible presence of a bomb on
12 board the airplane. Have you identified any type of
13 mechanism in which a bomb could produce this type of
14 event, this type of departure?

15 THE WITNESS: Have I identified any type of a
16 mechanism? Do you mean have I seen any structural
17 failure scenario consistent with a bomb explosion,
18 or -- I am not sure --

1 MR. CLARK: Well, not only -- I think you
2 testified earlier that you saw no evidence, direct
3 evidence, of the presence of a bomb, but, within that,
4 have you identified any potential mechanisms in which a
5 bomb could produce a slow-moving rudder?

6 THE WITNESS: Again, I am not sure if I fully
7 understand your question. From a structural inspection
8 of the debris, there is no evidence of an explosion.
9 However, as I stated to Ms. Keegan, I am not an
10 explosives expert and, really, I think the other
11 exhibits and witnesses can attest to the presence or
12 mechanism of an explosive device.

13 MR. CLARK: Okay, thank you. I have no
14 further questions.

15 CHAIRMAN HALL: Mr. Schleede?

16 MR. SCHLEEDE: Yes, clarification in two or
17 three areas here. I believe Ms. Keegan asked you about
18 your knowledge of any history of floor beam failures in

1 flight, and your answer was you were not aware of any
2 catastrophic failures in flight. Are you aware of
3 floor beam failures in 737 in flight that --

4 THE WITNESS: No, I am not. No, I was simply
5 trying to delineate between what you might consider
6 routine maintenance on a floor beam where you may find
7 a bit of corrosion, or something requiring a repair and
8 some approval process, but, no, I know of no floor beam
9 failure in the classical sense.

10 MR. SCHLEEDE: Right, okay, and another
11 clarification. You were asked if you were aware of any
12 partial failure of a slat in flight. In your answer
13 you put it in the context of a bird strike, but I think
14 the question was are you aware of any partial
15 structural failures of a slat in flight on a 737,
16 regardless of the reason.

17 THE WITNESS: No, not to my knowledge.

18 MR. SCHLEEDE: As part of your examination,

1 and I may have missed it, the aux fuel tank? Was that
2 your responsibility in part of this investigation?

3 THE WITNESS: I identified several pieces of
4 that tank. However, later in that investigation we had
5 a PATS engineer come and do a thorough investigation of
6 the tank, and he submitted an exhibit on his findings
7 of the tank.

8 MR. SCHLEEDE: Did you participate in that
9 examination?

10 THE WITNESS: No, I did not.

11 MR. SCHLEEDE: And the last area. Regarding
12 the forward pressure bulkhead, you spoke about 40 --
13 roughly 40 percent of the material surface area was
14 recovered.

15 Could you characterize how random that was,
16 or was it like it was one side missing and you had part
17 of the other side, or was it sort of totally random?
18 Could you characterize where those pieces were from?

1 THE WITNESS: It wasn't all that random. It
2 tended to -- and based on memory, we found a fairly
3 substantial portion of the lower right quadrant, and
4 then in the upper left quadrant we found another fairly
5 substantial portion of it.

6 There were some areas of that bulkhead that
7 we simply could not find any structure to try and
8 reconstruct.

9 MR. SCHLEEDE: Okay, thank you very much.

10 THE WITNESS: Yes, sir.

11 CHAIRMAN HALL: The forward cargo door, could
12 you tell me one more time what you found on the forward
13 cargo door?

14 THE WITNESS: Well, we found -- what we found
15 on the forward cargo door was the handle, we found a
16 torque tube which was just part of the latching
17 mechanism, we found some of the structural framing, we
18 found a latch, we found a snubber.

1 As a percentage, it was well under 50 percent
2 of the door that we found on the forward, whereas the
3 aft door we probably found just about 50 percent.

4 CHAIRMAN HALL: All right. I don't believe
5 that I have any other questions, Mr. Johnson. Are we
6 sure none of the parties have any questions of this
7 witness?

8 (No response.)

9 If not, you are dismissed. Thank you very
10 much for your time.

11 THE WITNESS: Thank you.

12 (Witness excused.)

13 CHAIRMAN HALL: Mr. Haueter, do we want to
14 call one more witness, or do we want to conclude for
15 the day? The Chairman does not like to be unpopular.

16 MR. HAUETER: (Inaudible.)

17 CHAIRMAN HALL: One more?

18 MR. HAUETER: (Inaudible.) I'm sorry. We

1 have one more witness, and it would take about 45
2 minutes to an hour to get through him, we believe.

3 CHAIRMAN HALL: Well, with that information,
4 the Chairman believes we will begin at 8:30 in the
5 morning, and we are in recess.

6 MR. HAUETER: Okay.

7 CHAIRMAN HALL: Off the record.

8 (Whereupon, at 6:35 p.m. the hearing was
9 adjourned, to reconvene the following day in the same
10 location.)

11 - - -

12

13

14

15

16

17

18

1
2
3
4
5
6
7
8
9
10
11

CAPITAL HILL REPORTING, INC.

(202) 466-9500