

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

* * * * *

Investigation of:

*
*
*
*
*
*
*

CRUDE OIL TRAIN DERAILMENT WITH
HAZARDOUS MATERIALS RELEASE
APRIL 30, 2014
LYNCHBURG, VIRGINIA

* Docket No. DCA-14-FR-008

* * * * *

Interview of: BRAD SPENCER

SpringHill Suites Inn
Lynchburg, Virginia

Friday,
May 2, 2014

The above-captioned matter convened, pursuant to notice.

BEFORE: RICHARD HIPSKIND
Railroad Accident Investigator

APPEARANCES:

RICHARD HIPSKIND, Railroad Accident Investigator
Chairman, Track and Engineering Group
National Transportation Safety Board
Washington, D.C.

ROBERT "JOE" GORDON, Track Inspector
Office of Safety
Federal Railroad Administration

JIM GRUPPOSO, Director
Train Accident Investigation and Prevention
CSX Transportation

RUSSELL FARMER, Vice Chairman
Allied Federation
Brotherhood of Maintenance of Way Employes
Division (BMWED)

<u>ITEM</u>	<u>I N D E X</u>	<u>PAGE</u>
Interview of Brad Spencer:		
By Mr. Hipskind		5
By Mr. Farmer		15
By Mr. Gordon		20
By Mr. Hipskind		26
By Mr. Farmer		30
By Mr. Gordon		32
By Mr. Hipskind		35

Legend:

(ph.) = phonetic spelling

I N T E R V I E W

1
2 MR. HIPSKIND: Good afternoon everybody. My name is
3 Richard Hipskind and I am the Track and Engineering Group Chairman
4 for NTSB for this accident. We are here today, on May 2, 2014, at
5 the SpringHill Suites Inn in Lynchburg, Virginia to conduct an
6 interview with Mr. Brad Spencer, who works for CSX Transportation,
7 or CSX. This interview is in conjunction with NTSB's
8 investigation of a crude oil train derailment with hazardous
9 materials released on CSX's James River Subdivision in Lynchburg,
10 Virginia on April 30, 2014. The NTSB accident reference number is
11 DCA-14-FR-008.

12 Before we begin our interview and questions, let's go
13 around the table and introduce ourselves. Please spell your last
14 name and please identify who you are representing and your title.
15 I would remind everybody to speak clearly and loudly enough so we
16 can get an accurate recording. I'll lead off and then pass off to
17 my left.

18 Again, my name is Richard Hipskind. The spelling of my
19 last name is H-i-p-s-k-i-n-d. I am a railroad accident
20 investigator and Track and Engineering Group Chairman for the NTSB
21 on this accident.

22 MR. FARMER: Russell Farmer, Vice Chairman, Allied
23 Federation BMW. Farmer, F-a-r-m-e-r.

24 MR. GORDON: Robert Gordon. Spelling of last name,
25 G-o-r-d-o-n, FRA Track Safety Inspector.

1 MR. GRUPPOSO: Jim Gruposso, G-r-u-p-p-o-s-o, Director
2 of Train Accident Investigation and Prevention for CSX.

3 MR. HIPSKIND: And, Mr. Spencer, would you please
4 introduce yourself for the record?

5 MR. SPENCER: Brad Spencer, S-p-e-n-c-e-r, Engineer of
6 Rail Services, CSX Transportation.

7 MR. HIPSKIND: And Brad, with your permission, do you
8 mind if we just have our discussion first-name basis?

9 MR. SPENCER: No, I do not.

10 MR. HIPSKIND: You do not? Oh, you're okay with it?

11 MR. SPENCER: I do not mind.

12 MR. HIPSKIND: Okay. All right.

13 MR. SPENCER: Sorry.

14 INTERVIEW OF BRAD SPENCER

15 BY MR. HIPSKIND:

16 Q. All right. You've been here in some of the other
17 interviews so you know I'm going to ask you these two questions.
18 Do we have your permission to record our discussion, our interview
19 with you today?

20 A. Yes.

21 Q. Do you wish to have a representative with you at this
22 interview?

23 A. No.

24 Q. Okay. So let's proceed. Brad, kind of give us a
25 synopsis of your work experience and take us up to your present

1 job and let us know how long you have been in that position?

2 A. I started my railroad career with Conrail and that was
3 in January 1993. And I worked as a manager now for 21 years.
4 I've been in track testing that whole time basically. I started
5 my management career 1994, March, and I started in the geometry
6 cars. I've worked as a geometry car specialist, lead geometry car
7 engineer, and a manager of geometry cars.

8 And that took my career to -- or sorry, 2008, when I
9 became Engineer of Rail Services, which -- at CSX, which I manage
10 all the rail testing, scheduling, quality. I deal with rail
11 contractors, the rail testing contractors. Nordco and Sperry are
12 the two primary ones. We use Sperry as our most prevalent one.
13 We have two cars from Nordco currently working on us and 20 from
14 Sperry. So I do management of all that, what we test, where we
15 test and the timing.

16 Q. Okay. Sounds like you're pretty busy?

17 A. Yes, sir.

18 Q. Well, you kind of covered some of your duties and
19 responsibilities, so let's just get right into the quick of it.
20 Brad, in managing so many cars and having to test so many hundreds
21 and thousands of miles of the system, how do you get all that done
22 and, to answer this question, how do you know the stuff is in the
23 right place at the right time conducting the right test?

24 A. It's -- we do have some automated tools that help us
25 that we've recently gone into production with. We've had -- we

1 track it on a daily basis is what it basically comes down to, but
2 we do have some automation now that also helps us with that
3 tracking. We have a data analysis and scheduling, geometry
4 scheduling person that works in the office in Jacksonville, Hank
5 Turner, and he updates tracks tested every day. So there is some
6 assistance there. And also, we have a rail test scheduling tool
7 we call RTS, and that also it's a automated in updating our
8 segments.

9 So we have two ways that we're actually tracking it, and
10 we do that on purpose just to, you know, to be as thorough as we
11 possibly can. Because it would be an easy thing to, you know,
12 lose your position and what you've tested and where you've tested,
13 especially if you're skipping around because of traffic or
14 dispatcher requests or maintenance of way requests. So actually,
15 we're doing it two ways now so that we don't have those skips.
16 And it also helps me making decisions where I test and which one I
17 test and how I prioritize.

18 Q. Okay. And in just in general terms, I'd like for you to
19 address two things: one, to kind of give an overview and
20 understanding of what the FRA, Federal Railroad Administration,
21 expectations are regarding frequency of tests with ultrasonic
22 equipment to detect internal rail flaws; and then I want you to
23 characterize what CSX's philosophy is; and then thirdly, to talk
24 about whether you use any predictive models to help you understand
25 the cycles and whatnot?

1 A. Okay. February 25th of this year, the new FRA
2 regulations went into effect which changes the way that we are
3 required to test. The current way now is more towards risk and a
4 predictive mode that the FRA is trying to develop and we are
5 required to test Class 3 track. It's Class 3 and above at 30 MGT
6 as a minimum, and then every year we evaluate our service failure
7 history for fatigue-type service failures at the end of the year.
8 And our goal is to be at least below our target risk for that
9 segment, and that target risk is .10 for all tracks and then
10 subtract .01 for -- depending on whether it's passenger or hazmat,
11 or .02 if it's passenger and hazmat.

12 So the target risk could be varying from .08, .09 or
13 .10, depending on the type of traffic and the speed of the track.
14 I say risk, but it's really a particular service rate more than
15 risk. It includes TDDs, TDTs, TDCs, which are detail fractures
16 and transverse fissures, and compound, transverse compounds. And
17 also vertical split heads is the only thing that's included in
18 those service failure rates.

19 The way CSX currently does it is we establish our own
20 criteria and we -- and our own service failure types. It gets a
21 little -- it's basically the same principle where we're
22 establishing a target service failure rate, and that is how our
23 frequencies are generated, developed, based on that target rate.
24 If we stay below the target rate, our frequencies can remain the
25 same or increase. But if we're not maintaining to that target

1 rate, then we tighten our frequencies basically. So it's very
2 similar to how the FRA is doing it right now.

3 Q. And in juggling all that, tracking all that,
4 anticipating where you need to be with the correct frequency, do
5 you sometimes reach out to vendors or contractors that may provide
6 you some modeling and/or recommendations?

7 A. Yes. We use Harsco, which is the former Zeta Tech,
8 RailTest model. And it was -- it's a very similar model to Volpe
9 from the FRA. It does -- it's got several inputs into the model
10 and to determine our frequencies, but it all basically comes down
11 to that service failure rate and, you know, to actually determine
12 it.

13 So we still establish risk, just like I discussed, and
14 then we adjust our frequencies based on what our target is and
15 where we actually are in risk, and then we adjust our frequencies
16 based on a lot of inputs, including service failures, defects,
17 tonnages, type of passenger, hazmat, quite a few inputs there. So
18 -- signal systems, whether it's signaled or not, speed.

19 Q. Tonnage, hazmat, passenger route, all that?

20 A. Yeah.

21 Q. And all those become weighted factors in the predictive
22 model. You know, I'm reminded some time ago, we had a similar
23 discussion, a similar interview after the Ellicott City and one of
24 the things I learned there was, well, CSX using Harsco or Zeta
25 Tech, that hadn't been out there for all the years preceding that

1 particular derailment date, and so I want you to kind of think
2 back and characterize how long you've been applying a predictive
3 model to the Huntington Division or the James River Subdivision?

4 A. We have been -- since 2008, when I started in this
5 position, we've been using a predictive model the whole time, but
6 I can go back in the data to 2003, I believe. So we have been
7 using it for at least 10 years, and that includes the James River.
8 And the exact date, I believe it was 2003, but it's somewhere in
9 that neighborhood.

10 Q. Okay.

11 A. So it's -- we've been using it for some time.

12 Q. And so I'm sure in the coming weeks and months we'll be
13 requesting some supportive documentation of -- I know you don't
14 have that now and I know you have been very busy with the
15 investigative process, so we can table that for right now.

16 But one of the things I do want to talk about is in an
17 earlier interview today the roadmaster, Steve Bennett, talked
18 about, I believe -- correct -- he said "I'm on a 30-day cycle."
19 So could you comment to that and so I understand how long that's
20 been in place?

21 A. Thirty-one day is actually what the cycle is for us. We
22 have a 31, 62, 92, 123, 183 and 365-day frequency, is basically
23 the frequencies we use. He happens to be on one of the lowest
24 frequencies we use. We have made exceptions and have tightened
25 the frequencies below 31 days, but we have none of those right

1 now. So right now, our lowest frequency is 31 days.

2 And his track, which is James River single and number 2
3 is considered one segment for me, for us. And that segment,
4 single and number 2 is on a 31-day frequency. So number 1 track
5 is on 123-day frequency, which is where many of the empties travel
6 in that direction. Most of your loads go to number 2 so you tend
7 to have higher frequencies on number 2 track than single.

8 Q. Well, that's interesting. So --

9 A. Or lower frequencies, I'm sorry.

10 Q. So on a subdivision, you could have tailored a higher
11 frequency of inspections based on the amount of tonnage, say, like
12 on 2 track where the loads and most of that is traveling eastbound
13 and where, say, on the return track -- or empties are coming back
14 1 track, you may not test that as much as you do 2 track. Is
15 that --

16 A. That's correct. We like to put our resources where the
17 risk takes us. So, you know, we may have a lot of service
18 failures on number 2 track where we don't have any on number 1,
19 and the main reason for driving that is because the empties are
20 going that way. It actually works out in the model to go that
21 way, because that's what risk modeling is all about.

22 Q. Okay.

23 A. So --

24 Q. And Brad, much like what we did -- same request that we
25 did for the Old Main Line, the Ellicott City accident -- and we

1 can talk about this more in depth later, but I know I'm going to
2 want to ask you for some more in-depth tonnage figures to show the
3 progression or increase or decline over the last 5 years, as well
4 as some defect and service rail defect numbers, both for the
5 Huntington Division and specifically for the James River Sub. Is
6 that something you could commit to?

7 A. Yes.

8 Q. Okay. All right. The other thing I want to talk to you
9 about, knowing that you've been here and sat through a couple of
10 the interviews, did -- what Roadmaster Bennett was talking about
11 in describing his testing on Friday, the following Monday and
12 Tuesday, the number of defects, and some of what you heard and how
13 he was thinking through and managing that, what's your take on
14 that?

15 A. I think that's the right -- he was doing the right
16 thing. If you look at what he actually worked on -- you know, he
17 knows from his experience where his biggest problems were, where,
18 you know, where he was going to incur the most risk, and he put
19 his resources on correcting that first and it happened to be a
20 larger defect on single track. I think you've seen -- it was a
21 30-percent weld -- or a 30-percent TDD off a weld. It made a lot
22 of sense. Plus the speed is lower right there at Lynchburg, at
23 the yard, so you got that also he's taken into account in his mind
24 when he's prioritizing defects.

25 Nobody would have the resources just to go and fix

1 everything instantly, so you have to have somebody that puts some
2 thought into how he's prioritizing. And I think everything that
3 he was -- said earlier made complete sense.

4 Q. Okay. And another way of saying that kind of in
5 layman's terms is, as you're looking at your hand unfold for the
6 day and the car is spitting out more defects, sometimes it's just
7 as simple as worst first?

8 A. Correct.

9 Q. Yeah. And to mitigate or minimize your risk?

10 A. Correct.

11 Q. And would you want to comment maybe a little bit further
12 about the lesser percentage TDs, the 20 percent less and what some
13 of your options are in terms of both CSX policy as well as staying
14 in compliance with FRA regulation?

15 A. Yes. I mean, the FRA has guidelines. They're not --
16 they're safety guidelines. They're not maintenance guidelines.
17 It's based on the size and the types of defects, and in this case
18 it was a detail fracture, which is a transverse defect that grows
19 out of the surface of the track or of the surface of the rail, and
20 at 20 percent, it's less risk.

21 I know I keep going to talking about risk, but that's
22 basically what it comes down to. There are a lot of growth
23 formulas, predictive, you know, failures. There's always outliers
24 that don't fit those patterns, but for the most part you have more
25 risk at larger defects. The larger defect -- when they talk about

1 20 and 30 percent, is the actual head of the rail, so it would be
2 20 percent of the head versus a 30 percent of the head. So of
3 course you're going to have a higher risk on something that
4 there's this fracture in the head of the rail on a transverse
5 plane that's larger in size. The bigger it is, the easier it is
6 to fail, so you want to take care of those ones first.

7 Q. Okay. And I just want to put a finer point. When we
8 use some of these terms, like head of the rail and everything and
9 when we throw out numbers like 10 percent, 20 percent, 30 percent,
10 when -- does Sperry's equipment account and quantify percentage of
11 cross-sectional railhead defect area? Do they base that on the
12 existing railhead or is it based on if that weight of rail in a
13 new, unworn rail profile? I mean, how -- should I think of it as
14 they're doing it to the new or is it to the existing?

15 A. Every defect, every suspect defect when we go out and
16 look at it, because when we traverse it with the RailTest vehicle,
17 it has to be hand tested. It has to be somebody on the ground and
18 to hand evaluate it. And really it's very difficult to tell size
19 without doing that. It's really -- you can't do it accurately.
20 So when they get on the ground, they actually go out there and
21 they'll use a hand ultrasonic scope to measure it, and they use
22 several different types of transducers, depending on what type of
23 defect it is and where the defect is located in the rail, and they
24 try to estimate to the best that they can, based on the size of
25 the rail that's there.

1 So it's not based on a new section. It's based on the
2 current size of the rail. So if you do have some head wear, it's
3 based on -- it's also -- it's included that the head wear is in
4 there. So if they say 50 percent, it would be 50 percent of the
5 head size that's there, not of a new section.

6 Q. Okay. That is very helpful.

7 Listen, I know I want to come back and talk about a
8 couple other things, but let me bring in my other co-
9 investigators.

10 MR. HIPSKIND: And Mr. Farmer?

11 BY MR. FARMER:

12 Q. Russell Farmer, F-a-r-m-e-r, Vice Chairman, Allied
13 Federation.

14 Brad, you mentioned you had two different companies that
15 did the test and I'm trying to look for --

16 A. It's Nordco Rail Services and Sperry Rail Services.

17 Q. Nordco and Sperry. And you said you got 2 of the Nordco
18 and 20 of the Sperry?

19 A. Correct.

20 Q. When they test, how do you know the accuracy of their
21 equipment? Do they provide any certification of the accuracy?

22 A. Yeah. We have field supervisors for each company that's
23 required to do a certain amount of audits with the vehicle
24 themselves. I also audit the vehicles. So they also evaluate
25 their data every single week. They have quality departments in

1 both companies. The operators all have to be certified to be able
2 to test the rail. Everything, like I said, everything is checked
3 and double-checked and they do a random sample every week to make
4 sure that the data is correct. They do 10 mile -- they review 10
5 miles of data from every truck and every operator every week, as
6 well as doing their audits with their field supervisors and me
7 going out and doing my audits.

8 Q. And on the James River, does the same test car come
9 every time or is it different test cars?

10 A. It could be different test cars. I generally run one
11 test car, which is 931, which is one of our more advanced trucks.
12 It's one of our newest trucks, and that operator and that truck
13 operates in this area quite frequently. If I have a scheduling
14 conflict then we might throw something else in. We might have a
15 different operator because he's on vacation. I mean, there's
16 other -- there's reason to maybe change it around and I could very
17 easily do that and sometimes I do. But in general, 931 is the
18 truck that's typically testing over here, Sperry 931.

19 Q. And with your operators, have you looked to see if
20 there's any difference in whether one operator thinks a defect may
21 be 20 percent and one may think the same defect is a 30 percent?

22 A. Well, that's -- when the field supervisors do the
23 audits, they actually get on the ground and verify defects and
24 defect sizes with them. So when they do the audits, they do that.
25 But when they're reviewing the tape data, it's very difficult.

1 Like I said, you can't determine size without somebody being on
2 the ground.

3 Q. And the tape data is where the car actually detects the
4 defect?

5 A. Right. Well, no, the tape data is when it goes -- like
6 say when he's done testing, he gives the reports and all that.
7 That night he'll send his data to Danbury, which is Sperry's
8 corporate office, and they store all the data and prepare the
9 reports and the reports get sent to us.

10 So in that data also they will randomly pull 10 miles of
11 the data and their quality department will actually review the 10
12 miles of data in that area. They can't really determine -- if he
13 marks this a defect, they can't really determine that his sizing
14 on the ground was the correct size because there's no way to do
15 that unless you're on the ground with him. That was my point.

16 Q. Okay.

17 A. But the field supervisors are required to do so many
18 audits a year with each operator that -- they're assigned
19 operators, not trucks. So it's the operator that they audit. So
20 that operator has always got that audit data, always. So --

21 Q. And most of your operators, they pretty much stay on the
22 job? You don't have a lot of back --

23 A. I, you know, we used to. At least that's what I've
24 heard. But both companies have really captured their operators,
25 you know, in keeping them consistent and constant. And most of my

1 operators -- our operators on CSX are very seasoned and been the
2 regular operator there for some time. And I do a lot of the
3 scheduling not only based on my schedule, but also trying to keep
4 them in a reasonably close area to where they're from, which is a
5 good reason why we're keeping our operators. I would like to
6 think that.

7 Q. And the operator actually works for either Sperry or
8 Nordco?

9 A. Correct.

10 Q. Okay.

11 A. I have not had Nordco on the C&O and the Huntington
12 Division in years and years, so it's -- in this case, it's almost
13 always going to be exclusively Sperry. So you might hear me
14 interchange Sperry all the time and that's why.

15 Q. All right. Is the only reason you have two Nordco is
16 because Sperry doesn't have any more cars or one's better than the
17 other or --

18 A. No. No. We like to keep two, mostly because it gives
19 us some variation and it kind of confirms one versus the other in
20 quality. I wouldn't want to make a guess if one's better than the
21 other. I don't believe -- ultrasonically I think they're very
22 similar. And I said that I don't -- haven't had Nordco on the
23 Huntington Division in a while. That's not exactly true because I
24 have had a yard test vehicle on the Huntington Division where we
25 were testing some yard tracks, and that was just recently. But I

1 haven't had him on a main track in quite some time.

2 Q. Now, you also said that the FRA has guidelines on the
3 testing for safety. Is CSX's guidelines more stringent than the
4 FRA?

5 A. Yes. Our risk numbers are -- would be lower and we use
6 more service failures than just fatigue. We mostly use fatigue.
7 Our models are based on fatigue, but we also do some things that
8 are more conservative than what the FRA would require that drives
9 our target levels to be lower.

10 Q. Now, were those the levels you were talking about, the
11 .10 and then you subtract the .01 or the .02 for the tonnage or
12 hazmat --

13 A. Correct.

14 Q. -- or passengers? Okay.

15 A. Correct. Well, we do the same sort of thing. We
16 subtract for more things. We basically use a very similar type
17 model, but we subtract for if it's dark territories and signal
18 territory because we feel there's more risk without signals, to
19 give you some broken rail protection. We also decrease if we're
20 on single track versus double track. We do the same thing with
21 passengers and hazmats, we reduce it further.

22 So we got things that reduce it even further, and we
23 also use -- sometimes we use defects that may not be fatigue that
24 we -- we're not positive that they shouldn't be included, so we're
25 more conservative and we include them. So -- our segments are

1 difficult, though, now because we have some really small segments
2 that can be really influenced very easily, you know, if you have
3 one thing, one service failure. So that's, you know, we do need
4 to make some changes there in our segments.

5 Q. Now -- and Mr. Hipkind touched on the testing, whether
6 it's based on the actual size or what's there, versus what would
7 be new. A 20 percent of a new rail might be the same as a 30
8 percent in a curve worn rail, correct?

9 A. Correct.

10 Q. Okay. And there's really no way to make a determination
11 other than with the manual scope?

12 A. That's correct.

13 Q. Okay. I think that's all I have right there.

14 MR. HIPSKIND: Okay. Thanks, Russell.

15 Joe?

16 BY MR. GORDON:

17 Q. All right. Robert Gordon, FRA.

18 Both Mr. Hipkind's and Mr. Farmer already touched on
19 this, but one thing -- with the survey director that's doing the
20 internal test, it's an estimate that he's making and, you know,
21 the hand testing, we talked about that. But is there any way to
22 determine from looking at the tapes, from looking at the data off
23 of the car, if there was a big discrepancy in what the tape found
24 and what was shown during the manual test, are there ever any
25 audits done to --

1 A. Yes.

2 Q. -- check for that?

3 A. Yes. If we have a suspect area that we're having issues
4 with, and I might have -- say, hey, something -- maybe we have a
5 substitute operator. I don't know, maybe it just -- we're having
6 some service failures that we, you know, we felt that maybe, you
7 know, that we should -- we don't think the growth was quick or
8 whatever, we can actually have them audit just a -- whatever
9 section we want.

10 Now, when they do that, they can go through and say,
11 hey, well, we should've stopped and looked at this. Because all
12 those are recorded in the tapes, whether they stop, they back up,
13 they get out. Even their hand tests, you know, you can tell when
14 they reran something and never got out, or if they got out, they
15 got certain requirements that we require for them to stop to
16 check. They can look at that data and say -- maybe not say it's a
17 defect, but he should've stopped there because this would be a
18 requirement for him to stop and he didn't.

19 So sometimes the operator can also, he's got a lot more
20 tools. For one, the biggest tool is to look out the back window
21 so he can see maybe a surface condition that would warrant him not
22 to stop.

23 Q. Right.

24 A. You know what I mean? And he takes it upon -- he just
25 says, well, I know what this condition is. So, but if they see

1 that out there, he has ways of marking his tape that says, you
2 know, a surface condition and he verified it.

3 Q. I made this determination based on --

4 A. Yeah. And they're all icon'd in the data exactly why he
5 didn't stop.

6 Q. Okay.

7 A. So now if they see indications in the data that have no
8 indication or no, you know, recognition from him and they think he
9 should have stopped or at least noted what their problem was, then
10 they would send a supervisor out to follow up behind him. And
11 we've done that and, you know, and there's -- you know, but
12 typically it's what they find is in the 10-mile audits that they
13 do because we don't specifically do that with every subdivision
14 unless we request it.

15 Q. Right.

16 A. So it's in that 10-mile audit, and then if they see a
17 condition then they'll do more tape. Sometimes they'll do, you
18 know, a week's worth for -- you know, if they think there's a
19 problem, so --

20 Q. How often is it that they find something that they take
21 exception to when they do one of those audits on a suspect area?

22 A. I would say very rare. And to put a definition on that,
23 I mean, we've done it maybe three times where we found a condition
24 that we wanted to go back and look at in the last year.

25 Q. Okay.

1 A. So and I think one of those three was actually a defect
2 that we should have looked at.

3 Q. Okay.

4 A. But they look at, you know, thousands of indications
5 every day. It's -- they do an amazing job when you consider how
6 much they're looking at. Rail testing's a little bit different
7 than most other types of, you know -- like geometry, for instance.
8 It's much different than that. They're looking at a lot more
9 things.

10 Q. A lot more science involved, isn't there?

11 A. Well, it's a little bit of art too. Those guys have --

12 Q. Okay. Next question. On the FRA regulation, when an
13 internal rail fault, rail defect is identified, FRA regulation has
14 standard remedial actions. Those remedial actions are prefaced
15 with when the track -- when it is determined that your track will
16 remain in use. Who does CSX designate as the person that can make
17 that determination as to whether or not the track will remain in
18 use?

19 A. It's the roadmaster. That's that the roadmaster -- I
20 should say the division enforces.

21 Q. Okay.

22 A. So whoever his designee is or the roadmaster for that
23 area.

24 Q. Okay. So the roadmaster or his designee will make that
25 determination as to whether or not they're going to continue to

1 operate. And we, from the interview with Roadmaster Bennett, we
2 determined that that was a trackman that was on the car. Is that
3 common for a trackman to be put in the position to make that
4 determination?

5 A. I can honestly say that Mr. Bennett is one that rides
6 the car almost exclusively in our -- when it's on his territory.
7 But our rules do allow him to assign a designee.

8 Q. Okay.

9 A. And he has obviously had some experience with this pilot
10 that he feels that he's qualified to operate it and -- I don't
11 particularly know this pilot so I can't answer for that.

12 Q. Okay.

13 A. But that's -- he's pretty knowledgeable in this area.
14 He's been here a long time.

15 Q. So it's not typical that a trackman would be the --

16 A. Well, I --

17 Q. -- pilot in the car, but --

18 A. No, I wouldn't say it's typical for a trackman. It's
19 not unusual to have somebody designated as the pilot. It could be
20 a foreman. It could be, you know, a foreman, a equipment
21 operator, a track foreman. I mean, as long as the roadmaster has
22 confidence in him. And in this case, I know him and he reports
23 everything. He was actually involved in the testing during the
24 day.

25 Q. Okay.

1 A. I mean, he was right there. If they had a defect, he
2 would call the roadmaster; say, hey, I just -- we just marked a 20
3 percent. So I -- it's not uncommon, but it's not -- you know, but
4 it is -- usually we have, I wouldn't say -- I mean, it's probably
5 -- I just did a study on how much we use managers and how much we
6 use non-managers and I'm trying to remember what the number was.

7 Q. Well, that's okay. We --

8 A. But it's like, you know, 70/30.

9 Q. Okay.

10 A. So it's, you know -- like, it's not exactly the number,
11 but it's not unusual to have --

12 Q. Okay.

13 A. -- somebody else on there.

14 Q. Okay. And I also understand that just because his being
15 in position as a trackman, that doesn't mean that he's not had
16 other, you know, qualifications and, you know, could have been a
17 foreman at one time or a track inspector. I fully understand
18 that.

19 Okay. And to that, just kind of a follow-up. There's
20 no written policy -- and I think you already answered this with
21 the roadmaster or the designee -- there's no written policy that
22 that manager will be on that test car --

23 A. There is a -- we have a maintenance of way instruction
24 that says that the roadmaster or his designee can -- but he has to
25 be designated by the roadmaster and he's got to be approved by the

1 engineer of track --

2 Q. Okay.

3 A. -- is exactly what the -- or that it's division
4 engineer. It used to be called engineer of track. And that's
5 in --

6 Q. Okay.

7 A. -- in our maintenance of way instructions, 502.

8 Q. And I believe I don't have anything further at the time.

9 MR. HIPSKIND: Okay. Thanks, Joe.

10 Jimmy?

11 MR. GRUPPOSO: I don't have anything.

12 BY MR. HIPSKIND:

13 Q. Okay. Brad, great discussion. Let me come back and
14 button up some things. Because of the proximity of time when the
15 Sperry car ran, which was the Friday, Monday and Tuesday prior to
16 the incident, have you had a chance to review the screen data for
17 the run in that curve where the derailment took place?

18 A. I've had a chance to look at a focused area where the
19 known service failure was.

20 Q. Okay. Do you want to add a little characterization or
21 your thoughts about that limited review?

22 A. Yes. I can. We had a service failure and we even had a
23 marked defect. The service failure was in January, because we
24 looked that up. And you can clearly see the joint bars and the
25 service failure on the Sperry --

1 (Off the record.)

2 (On the record.)

3 MR. HIPSKIND: Okay. After a technical malfunction
4 here, we're going to resume the interview with Mr. Brad Spencer.

5 BY MR. HIPSKIND:

6 Q. Brad, I think I had put out a general question about the
7 screenshot data and review and I think you were characterizing it.
8 So let's pick up there and we'll come back over a few of my
9 questions.

10 A. Okay. We can see the -- I said the joint bar, you can
11 see the joint bar, but you can't. You can see the holes where the
12 joint bar are located on the service failure and you can see the
13 service failure because it's at a little bit different angle than
14 a straight break. So that is an identifying signature on the
15 screen.

16 Q. And I think you also gave some proximities that after
17 the holes that probably were indicative of a joint bar, that the
18 defect was located 3 feet to the south of that?

19 A. That's correct. Three feet that -- the most recent
20 detected defect that was marked by the RailTest on 428 was 3 feet
21 east of the service failure, that was barred.

22 Q. Okay. So when we say service failure, we're talking
23 about where the two rails meet. So 3 feet south of that?

24 A. That's correct.

25 Q. Okay. And then I think you said something about and

1 then after where the TD was marked, about another 5 feet to the
2 south was another field weld?

3 A. That is correct. Five feet south was a -- there was
4 holes from a previous bar that was on -- that was there located
5 before and then there was a field weld, so --

6 Q. Okay.

7 A. But no bars, no.

8 Q. And hopefully we're not doubling the hill with asking
9 these questions a second time, but in terms of we had requested
10 some of the previous tests this year and I -- we asked for three.
11 I think you provided us data on the last four tests. And my
12 question was, was the operator for those four tests, was it the
13 seasoned operator or do we know if there was some kind of relief
14 or anything like that?

15 A. Steve Jefferies (ph.) is our regular operator there and
16 he -- I haven't had a chance to review back to the January test,
17 but he was the operator on the last few reports.

18 Q. Okay. And we were also talking about, I think, CSX and
19 Sperry are working on the review of Tuesday's test, and I had
20 asked if and when you get results with that you'll share that with
21 the investigation, right?

22 A. Yes.

23 Q. Okay. And the next one was just to clear up the
24 ambiguity of -- you had mentioned something about 70 percent and
25 30 percent and I -- the way I took that was that 70 percent of the

1 time, or thereabouts, managers are on the cars and the other 30
2 there's some designee or delegated person?

3 A. Yes. I actually, like I said, I did a study and just
4 looked it up. And in Huntington Division for 11 months in 2013,
5 so it was January 1st to December 2013, 55 percent of the time was
6 a manager on the vehicle and 45 percent was a non-manager.

7 Q. Okay. So those --

8 A. To be exact.

9 Q. But that's the Huntington Division, right?

10 A. Yeah, that was only Huntington Division.

11 Q. Okay.

12 A. C&O Division, sorry.

13 Q. That's all I've got for right now, and I do appreciate
14 -- well, let me, I just remembered there was one more topic I
15 wanted to talk with you about. And you've been out there since
16 day 1 with the investigation and I wanted you to characterize or
17 share your observations about the condition of the rail in the
18 incident curve and to just kind of tell us what you think about
19 that or how we should think about it?

20 A. The rail surface, RCF, the rolling contact fatigue,
21 looks good through the area. I mean, it's not perfect but it
22 doesn't look like it's a real problem. I do see some light grind
23 marks that are still there so I know the rail has been ground. I
24 don't know how recently it has been, but the RCF does not look
25 terrible. It's decent. The tie condition looks well, what I can

1 tell, and I don't see a lot of issues that would cause geometry-
2 type problems.

3 There is a history of defects in that curve and it did
4 trigger our system to -- for rail replacement and it was scheduled
5 for the rail replacement. We're doing what we were supposed to
6 do. I mean, we definitely have attention on the curve and we've
7 got focus on the curve. It just, hindsight, it -- you know, if
8 the rail has something to do with this derailment, it would have
9 been, you know, a few weeks later before it was replaced.

10 Q. Okay. Brad, again, my sincere thanks for everything
11 you're doing with the investigation, adding value. That's all
12 I've got for right now.

13 MR. HIPSKIND: Mr. Farmer?

14 BY MR. FARMER:

15 Q. Yeah. Russell Farmer, Allied Federation.

16 Brad, prior to the technical difficulty, Mr. Hipskind
17 also asked you about the type of rail that was in the curve and
18 the date and everything. Could you go over that again?

19 A. The high side of that curve is the only thing I have
20 seen so far, which has been 1990 Nippon 132RE. Track number 1
21 looks to be 122 pounds, so --

22 Q. And that was supposed to be replaced later in the year?

23 A. That's correct. The production rail, production teams
24 were going to be on the James River in 3 weeks. So it would have
25 been in that cycle. I don't know how many weeks the rail team was

1 going to be there, but somewhere very close to the 3-week mark
2 they would have been there.

3 Q. And then I picked up and I was more or less trying to
4 get clarification, because I understood Joe Jackson was the
5 operator and you said that he was the assistant division engineer
6 and that Steve Jefferies was the operator?

7 A. That's correct. Steve Jefferies is seasoned Sperry
8 operator.

9 Q. Now is he actually employed by Sperry or is he employed
10 by CSX?

11 A. He's a Sperry chief operator.

12 Q. Okay. So he's employed by Sperry?

13 A. That's correct.

14 Q. Okay. All right, just clarification for me.

15 And when they find the defect, you said that they would
16 -- like if a contract employee and not the supervisor was on the
17 car, they would tell him what the defect is and what the remedial
18 action should be or is the contract employee contacting the
19 manager to see what remedial action?

20 A. Typically the initial remedial action is usually
21 accomplished by the pilot, typically. The Sperry employee, the
22 chief operator in the car, only identifies the defect. They don't
23 instruct anybody about remedial actions. That's the division's
24 responsibility. So they only identify the defect and the size,
25 the type of defect. They mark the location on the ground so it

1 can't be confused with anything else and it clearly identifies it.

2 The pilot on the car is responsible for putting out
3 initial remedial action. So if the defect's large enough,
4 depending on the type of defect, they may need to contact a
5 dispatcher to put a temporary speed restriction on it. That's
6 their responsibility and they typically carry out maintenance of
7 way instructions that tell them exactly what the remedial action
8 schedule is for each type of defect and what size.

9 Q. And you had also just mentioned that there were marks on
10 the rail indicating that rail grinder had been through at some
11 time or another?

12 A. Correct.

13 Q. Will the heat from the grinding cause the defects to get
14 larger or have any effect on the defects?

15 A. I don't know if there is any research on that. We
16 haven't had any experience with problems because of that.

17 Q. Okay. I think that's all I have.

18 MR. HIPSKIND: Thank you, Russell.

19 Joe?

20 BY MR. GORDON:

21 Q. Just one more time with the -- to discuss a little bit
22 about the ratio of the mix. I know you said managers on C&O
23 Division, and it varies by division as to when it's a manager and
24 when it's his designee. Is that primarily left up to the division
25 to make that determination of when it's a manager and when it's a

1 designee?

2 A. Well, like I said, we have a maintenance of way
3 instruction that says that we prefer to have a manager because
4 experience tells us that we get better track time --

5 Q. Okay.

6 A. -- because they're -- managers are a little bit more,
7 you know, aware of their times and -- you know, we have goals for
8 the vehicle. They got different -- they align differently with
9 our goals than the non-managers.

10 Q. Okay.

11 A. So we tend to do better. So and Huntington, it's 55/45,
12 but with experience with Steve Bennett is if we look just at his
13 subdivision, I think you would -- and he mentioned it earlier,
14 maybe 90 percent of the time, and from my experience with him, I
15 know that that would be about right.

16 Q. Okay.

17 A. So I could pull that information for you if you --

18 Q. Oh, I don't think we'll need that by any means.

19 Now, the manager being on the car and the MWI standard
20 or instruction that states that, is that primarily for a rail
21 testing productivity or is that for safety to ensure that the
22 proper remedial action is applied at that location?

23 A. Well, I would say, you know, the primary reason is for
24 safety, to make sure that we're applying the right remedial
25 actions. And we've got -- now we've talked about this once

1 before, about ATIS. Our ATIS system is an automated track
2 inspection system, is -- it also, when the defect is input, it
3 automatically puts the remediation schedule in there for it,
4 depending on the size. So it's also tracked that way.

5 So the initial remedial action when they're on the
6 ground and when they first mark the defect is what that pilot
7 initially is responsible for. And that's, like I said, if it's a
8 big one, he can put speed restriction on it or he might tell the
9 section, you know, you got to come here and put bars on this first
10 or -- you know, that comes from the pilot. And that's his
11 responsibility. Like I said, they -- I kind of got away from the
12 question, that why he has the MWI, and the MWI is to make it
13 efficient but also to make sure that we're applying the right
14 remediation for safety.

15 Q. Okay. And just back to the scan and what you had seen
16 on there. We had reference of where the service failure was and
17 then a -- the service failure, and then 3 feet to the Sperry
18 defect that was identified the day before the accident, and then
19 another 5 feet to the east field weld. Do you remember the
20 location of the west field weld?

21 A. I do not, and it was a very small focused area that we
22 were looking at. I haven't got the data or a bigger scope of the
23 area, so -- you know, only that small focused area and I didn't
24 look beyond that. I did not see the weld.

25 Q. Okay. All right. I have nothing further.

1 UNIDENTIFIED SPEAKER: I have nothing (indiscernible).

2 MR. HIPSKIND: Jimmy, anything?

3 MR. GRUPPOSO: I have nothing.

4 BY MR. HIPSKIND:

5 Q. Well, Brad, you've gone through this drill a couple of
6 times with me. Is there anything that's on your mind that you
7 think would be helpful for us to understand, maybe something that
8 we've missed talking about topically or anything like that?

9 A. No, I don't believe so. I mean, I think the roadmaster
10 in this case was doing the right thing and, you know, from my
11 experience with him, he's excellent usually with the vehicle and
12 is very good at organizing and prioritizing.

13 Q. Okay. Well let me -- let's pull back and I want to --
14 because I know you see a lot of data and I know you see some
15 trends, but can you characterize for me -- you know, the worst,
16 one of the worst nightmares we've all had in the industry is that
17 Sperry comes over and tests your track, and so how often have you
18 seen where they test on a day and then the next day or the next
19 day there's a service rail failure or there's some kind of a break
20 following things they've identified?

21 A. I have seen it. It's not really common. Typically
22 you'll run into areas that might be a non-detectable situation,
23 you know, or rail testing's limited. We can't get into the wings
24 and the base, can't get to base period. And there's definitely
25 areas where we've had base defects that have caused broken rails

1 that really there's no way to currently test it. So that's the
2 only thing I would say about that. I mean, that's -- it's not a
3 very common situation where we've tested frequently and -- we
4 usually, if it gets worse and -- or an uncontrollable situation
5 where it starts running away from you and, you know, you usually
6 take more corrective actions than just testing.

7 Q. Okay.

8 MR. HIPSKIND: Gentlemen, anything else you want to add?
9 Questions?

10 Hearing none, again, I, on behalf of our group, you're
11 part of our group, we'd like to extend our sincere thanks and
12 appreciation. You're adding value, you're helping us to know and
13 understand CSX policies and how all this, how all these moving
14 parts kind of come together to manage rail risk. I know that you
15 and I have a list we'll probably have to go over on some follow-up
16 documentation, but again, our thanks. And if nothing else, we'll
17 conclude the interview. Thanks again, Brad.

18 (Whereupon, the interview was concluded.)

19

20

21

22

23

24

25

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD

IN THE MATTER OF: CRUDE OIL TRAIL DERAILMENT WITH
 HAZARDOUS MATERIALS RELEASE
 APRIL 30, 2014
 LYNCHBURG, VIRGINIA
 Interview of Brad Spencer

DOCKET NUMBER: DCA-14-FR-008

PLACE: Lynchburg, Virginia

DATE: May 2, 2014

was held according to the record, and that this is the original,
complete, true and accurate transcript which has been compared to
the recording accomplished at the interview.

Karen A. Stockhausen
Transcriber