



# National Transportation Safety Board

Washington, D.C. 20594

December 16, 2020

Mr. Randy Thomas:

Reference: **Interview Regarding the August 1, 2019 Danville, KY Natural Gas Transmission Line Rupture and Fire - NTSB case number PLD19FR002**

Attached is a transcript of your interview on August 3, 2019 as a part of the on-going investigation of the above referenced accident. Please review the transcript for accuracy and make any necessary editorial changes.

You may either reference the relevant page and line number along with the suggested change or redline a copy of the document. Please initial any changes when marking up or redlining the original document.

When replying be sure to initial one of the three statements below, even if you have no changes.

Please submit replies to me via email no later than **January 4, 2021**.

I have reviewed my transcript(s) from the above referenced accident and...

I have no comments to make.

My comments are submitted herewith.

My comments are marked on the attached copy.

Please note that these transcripts must be treated as confidential at this time. These transcripts are for your use only, and not for release outside of the investigation. If you have any questions, please contact me by phone or email.

Thank you for your assistance and cooperation,

Alex C. Colletti

**Pipeline Accident Investigator**

National Transportation Safety Board

Office of Railroad, Pipeline, and Hazardous Materials Investigations

490 L'Enfant Plaza East, SW

Washington, D.C. 20594



# National Transportation Safety Board

Washington, D.C. 20594

---



## Randy Thomas Errata

Page 5, Line 9: change "CPM" to "CP on"

Page 9, Line 4: change "contacts" to "contractors"

Page 13, Line 7: change "depot" to "depol"

Page 22, Line 18: change "close and over" to "close interval survey"

Page 28, Line 4: change "reelect" to "recollect"

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

\* \* \* \* \*

Investigation of: \*

NATURAL GAS PIPELINE RUPTURE \*  
AND FIRE, DANVILLE, KENTUCKY \*  
AUGUST 1, 2019 \*

Accident No.: PLD19FR002

\* \* \* \* \*

Interview of: RANDY THOMAS  
Corrosion Technician, Enbridge

Holiday Inn  
Danville, Kentucky

Saturday,  
August 3, 2019

## APPEARANCES:

MICHAEL HILLER, Investigator in Charge  
National Transportation Safety Board

GERHARDT BAUMAN, Inspector  
Pipeline and Hazardous Materials Safety Administration  
(PHMSA)

DERICK TURNER, Project Manager  
PHMSA

BILL TZAMOS, Inspector  
PHMSA

GARY DIAL, Director, Pipeline Integrity  
Enbridge Inc.

ANDY DRAKE, VP Asset Integrity and Technical Services  
Enbridge Inc.

RANDY THOMAS, Corrosion Technician  
Enbridge, Inc.

DANE JAQUES, Attorney  
Steptoe & Johnson, LLP

<u>ITEM</u>	<u>I N D E X</u>	<u>PAGE</u>
Interview of Randy Thomas:		
By Mr. Bauman		4
By Mr. Turner		10
By Mr. Dial		12
By Mr. Tzamos		15
By Mr. Drake		17
By Mr. Bauman		20
By Mr. Hiller		22
By Mr. Dial		25
By Mr. Hiller		26
By Mr. Bauman		27

I N T E R V I E W

(2:13 p.m.)

1  
2  
3 MR. HILLER: Hello. I'm Mike Hiller with the National  
4 Transportation Safety Board. I'm the investigator in charge of  
5 this accident, and we are here today on August 3rd, 2019 at the  
6 Holiday Inn in Danville, Kentucky. We are here to follow up on  
7 the accident that occurred on August 4th -- excuse me -- August  
8 1st, 2019 that involved the pipeline separation and subsequent  
9 explosion. The NTSB accident number for this is PLD19FR002.

10 We're here today not to assign fault or blame, but to find  
11 out what happened and why it happened. And today we are going to  
12 be interviewing Mr. Randy Thomas. And we'll first introduce each  
13 other and go around the room. I'll start with myself. Michael  
14 Hiller, H-I-L-L-E-R, NTSB.

15 MR. BAUMAN: I'm Gary Bauman, B-A-U-M-A-N, and I'm with  
16 PHMSA.

17 MR. TURNER: This is Derick Turner, T-U-R-N-E-R, and I'm with  
18 PHMSA.

19 MR. DIAL: Gary Dial, D-I-A-L, with Enbridge.

20 MR. TZAMOS: Bill Tzamos, T-Z-A-M-O-S, PHMSA.

21 MR. DRAKE: Andy Drake, D-R-A-K-E, Enbridge.

22 MR. JAQUES: Dane Jaques, J-A-Q-U-E-S, Steptoe & Johnson.

23 MR. THOMAS: Randy Thomas, T-H-O-M-A-S, Enbridge.

24 MR. HILLER: All right. Thank you very much, and let's  
25 begin. We'll start off with Gary.

1 MR. BAUMAN: Yeah, hi.

2 MR. THOMAS: Hello.

3 MR. BAUMAN: Good afternoon.

4 BY MR. BAUMAN:

5 Q. Can you describe your job as a corrosion technician for  
6 Enbridge?

7 A. Describe my job? I take CP readings of the pipeline, in a  
8 certain area. I review some of the anomaly digs. I help with  
9 some of the tool runs, repair and install rectifiers, and CPM the  
10 pipeline.

11 Q. Okay. And through this specific -- what is your area?

12 A. I cover from the Kentucky/Tennessee border to Owingsville,  
13 Kentucky -- another compressor station in Kentucky.

14 Q. Okay. And then describe the CP system through here.

15 A. A cathodic protection that we've installed on the pipeline  
16 that's kind of regulated from NACE to protect the pipeline.

17 Q. Rectifiers?

18 A. Rectifiers, deep well anodes.

19 Q. And test stations? How many test --

20 A. Yes, sir. I'm sorry. We have test stations roughly about  
21 every mile of the pipeline that we can read the CP from the test  
22 stations.

23 Q. And how often do you take the various readings?

24 A. Annually. Once a year.

25 Q. And talk about rectifiers.

1 A. They're every other month, bimonthly.

2 Q. Okay. And more details associated --

3 A. Okay.

4 Q. -- with the system.

5 A. Test sites are annually read, once a year. That's several --  
6 you know, we have test sites on all three lines, roughly about a  
7 mile apart. They're read annually. The rectifiers are read  
8 bimonthly. We have remote that read them for us. Then we go out  
9 once a year and physically read each rectifier to verify that our  
10 equipment's the same.

11 Q. Okay. And how are the three pipelines treated? Are they as  
12 one? Or are they kept separate?

13 A. They're treated as --

14 Q. Are they all bonded together --

15 A. Yes.

16 Q. -- in other words?

17 A. Yes.

18 Q. Okay. They share the same rectifiers?

19 A. Yes.

20 Q. And they have test stations at the same road crossings?

21 All --

22 A. Yes, sir.

23 Q. -- three of them? Okay. Are there interrupters on the  
24 rectifiers?

25 A. Yes, sir.



1 Q. And are they remote control interrupters?

2 A. Yes, sir.

3 Q. So you can interrupt at your leisure?

4 A. With -- if we have internet connection, yes we can.

5 Q. And do you do that?

6 A. Yes, sir.

7 Q. For your annual reads?

8 A. Yes, sir.

9 Q. So they're interrupted reads annually?

10 A. Yes, sir.

11 Q. Okay. And then what's your CIS program -- close interval  
12 survey program?

13 A. As in?

14 Q. Do you routinely do close interval surveys? How do you  
15 handle that? What happens in your region?

16 A. That's kind of directed from our integrity group when we do  
17 CIS. So that's kind of left to them when we do that from the  
18 reads we get from our annual surveys, and some are out of the  
19 reports they generate when we get CIS. So --

20 Q. Okay.

21 A. -- a close interval survey from an outside group.

22 Q. Okay. You mentioned the number of rectifiers. What's close  
23 to this particular rupture site?

24 A. The rectifier closest to it would probably be what I call  
25 Goodnight (ph.) and Bowling Road (ph.) rectifier.

1 Q. South or north?

2 A. Probably north. I would -- I'd like to have my -- you know,  
3 I'd like to see it on my computer. I could tell you better. But  
4 I'm pretty sure it's north of the site.

5 Q. Between the rupture site and the compressor station --

6 A. Yes.

7 Q. -- there is a rectifier?

8 A. Yes.

9 Q. And is there a rectifier at the Danville Compressor Station?

10 A. Yes.

11 Q. And then going south, where is the rectifier?

12 A. Harris Creek would be the next one.

13 Q. Okay. Are these surface anode beds? Or deep wells?

14 A. I have both. I have deep wells and some linears.

15 Q. The Goodnight's and the Harris Creek's?

16 A. Without looking at my records, I --

17 Q. Okay. All right. At the pipe -- have you been out to the  
18 failure --

19 A. Yes.

20 Q. -- site?

21 A. Yes, sir.

22 Q. There's a lot of shale out there.

23 A. Yes, sir.

24 Q. Are there specific issues with CP in areas of shale?

25 A. It does lower the ability for CP to go through the rock.

1 That is a -- it's kind of a factor. It does -- it takes a lot  
2 more CP with shale.

3 Q. Okay. And you mentioned you look at digs and do digs.

4 A. I used to. We have contacts now. But I kind of just go out  
5 and GPS in the digs when integrity gives them to me. I go out and  
6 just look at two a year now minimum to verify, to stay current  
7 with task.

8 Q. You're talking about OQ, right?

9 A. Yes.

10 Q. Okay. Have you reviewed the test station reads associated  
11 with what is near this rupture site?

12 A. We briefly looked at them. The ones that was by the railroad  
13 tracks, those was looked at. Yes, sir.

14 Q. And how are they?

15 A. They was above 850 on the reads, on the on and offs from the  
16 survey. I looked at just roughly the last 3 years. And all of  
17 them was above 850 on the off, and the ons was over -- well, I  
18 can't recall exactly. I just know they was above the criteria.

19 Q. Okay. Yeah. Great. Talk a little bit about your training.

20 A. I've had NACE CP1, Rectifier's School, I've had CIP, and  
21 currently working on CP2. We have training annually at our office  
22 in Nashville, and we have OQs. When they come through, we train  
23 on that. And we have SOP -- we get SOP where we look up if any  
24 changes has been done to our policies. Quite often that we review  
25 and sign off. Then we have the ability to call our integrity

1 staff with any help we need or questions.

2 Q. Have you been to Morgantown?

3 A. Morgantown?

4 Q. Yeah. The underground -- Appalachian Underground Short  
5 Course?

6 A. No.

7 Q. Okay. Do you have any of -- there's another one over in  
8 Illinois, and there's -- that are available. Have you ever been  
9 to that type of training?

10 A. I've just -- NACE CP1, CIP.

11 Q. Okay. Were you involved in the rupture response?

12 A. I was called at 2:59 to -- I was called out to go to a  
13 Highway 39 valve site to assist in some valves that they wanted  
14 opened up -- some crossover, not valves. Some crossovers they was  
15 getting opened up.

16 Q. Can you explain that a little more?

17 A. The valves close and open the mainline of our gas crossovers,  
18 move gas from one line to another. So I was just out assisting  
19 pipeliners if they needed help cranking valves

20 Q. Okay. But you didn't have a role in the rupture response?

21 A. No, sir. Not other than just going to a valve site and  
22 assisting.

23 MR. BAUMAN: Okay. All right. I'll open the questions.

24 BY MR. TURNER:

25 Q. How long have you been a corrosion tech? What's --

1 A. Since 2015.

2 Q. 2015? Okay. Did you do the NACE training?

3 A. Mm-hmm. I've had NACE CP1, CIP, rectifier, and I'm currently  
4 working on CP2.

5 Q. Okay. Have you ever -- we mentioned close interval surveys,  
6 have you ever had any experience in doing your corrosion work  
7 where you saw any shielding, or disbonded coating, or pipe  
8 exposed?

9 A. Some with the -- some of the -- I'm trying to think of the  
10 right -- some of the older coating we've had was like -- I'm  
11 drawing a blank. I apologize. Shrink sleeves. With that -- with  
12 some of the shielding with the shrink sleeves --

13 Q. Okay.

14 A. -- but not as far as our coating and stuff. No.

15 Q. And this is specific to the area between Tompkinsville to the  
16 dam (ph.)?

17 A. Yes, sir.

18 Q. And then, on the Line 15, anything that -- like you  
19 mentioned, shrink sleeves, disbonded coating, or shielding? Any  
20 of those things?

21 A. No. I mean there is some disbonded coating there in the  
22 areas, but it's not -- I don't know how to word it where it sounds  
23 right. It's -- we do probably have some, but not -- it's not -- I  
24 don't know how to answer that question to you.

25 Q. Okay. You know, that's fine. This is like -- you said you

1 have, but what do you read at?

2 A. That would be something that I couldn't really --

3 Q. Right.

4 A. -- answer how much.

5 Q. I understand. Do you have a -- you're -- you have a  
6 corrosion division or group, right? Or corrosion department? Does  
7 that work with engineering? Or was that a separate group? Or how  
8 was that structured?

9 A. I don't know how they're structured. As I know we have an  
10 integrity --

11 Q. Well, okay. (Indiscernible) --

12 A. -- department.

13 Q. Right. Okay.

14 A. Don't know how they operate with that. That's -- I'm not  
15 quite sure.

16 MR. TURNER: Okay. That's good.

17 MR. BAUMAN: Any questions?

18 MR. DIAL: Gary Dial.

19 BY MR. DIAL:

20 Q. Randy, is close interval survey the CIS?

21 A. Mm-hmm.

22 Q. Since you were a tech in 2015, have we done close interval  
23 survey on the line between Tompkinsville and Danville since you  
24 have been a technician?

25 A. Yes, sir.

1 Q. And what were the results in this particular area if you can  
2 recall? Anything significant? Low potentials? Any of that kind  
3 of stuff that we need to be aware of?

4 A. Yes. There was some. And I've been with division tech  
5 staff. We -- I think we did have CIS from Green River to the  
6 station. There was some low potentials. We come back and had --  
7 remediate it with CIS, come back and done a depot (ph.) survey.  
8 And after the results of that, we are in the process of last year  
9 putting in new deep well rectifiers and more CP on the system.  
10 And that's still currently going on.

11 Q. Okay. And as a result of that, there were -- other than  
12 adding the cathodic protection, the deep well ground beds that  
13 you're talking about, any other anomaly work or investigative work  
14 that we've done in that area as a result of the close interval?

15 A. Not since -- we've had some -- I can't really recall when it  
16 was, but yeah, we've done some recoating from some areas that was  
17 low potentials to get the CP up on it.

18 Q. Anything in this -- at the area of the incident? Anything  
19 we've done that you're aware of?

20 A. Not that I'm aware of. Not in that area, no.

21 Q. Okay. Casings in your area. Do we have casings on the  
22 pipeline?

23 A. Yes, sir.

24 Q. And I understand there's casing at the railroad right  
25 there --

1 A. Yes, sir.

2 Q. -- by the site? Do you know if those casings are shorted or  
3 not?

4 A. Not without looking.

5 Q. Okay.

6 A. I don't recall. I just looked at the CP reads. I didn't  
7 think to look at the casings.

8 Q. And we do testing on those though?

9 A. Yes, sir.

10 Q. Okay. So that would be in the records?

11 A. Yes, sir.

12 Q. Okay. You had talked about our standard operating  
13 procedures, or SOPs, and how do you get notified when there's an  
14 SOP change?

15 A. Emails and through our supervisor.

16 Q. Okay. And then you -- with that notification then, you --

17 A. We have to go to Veriforce and open up the SOP, and review  
18 the changes.

19 Q. Okay. The type of coating on the -- we got talking about the  
20 line, the disbonded. What type of coating is on Line 15 in this  
21 particular area? Do you know?

22 A. I want to say, without looking, coal tar for the most part.

23 Q. Right. And in-line inspection?

24 A. Yes.

25 Q. Latest one?



1 A. We've had several this year. What kind of tool, without  
2 looking at our records, we've had one this year and one last year.  
3 At -- to the best of my knowledge.

4 Q. Okay. On the -- in this particular line?

5 A. Yes.

6 Q. Okay. All right. And any anomalies that we've had to  
7 investigate this year in this area?

8 A. Down from the area, but not in that vicinity. It's -- I know  
9 we have -- I think I've staked in a dig down from this, but not in  
10 that general area.

11 Q. When you say down from, how far away? Ballpark.

12 A. I hate to guess. I really wouldn't -- couldn't tell you. I  
13 know it's probably somewhere in the mile, 2-mile range without --

14 Q. Got you.

15 A. -- looking. I don't want to give false -- without being  
16 specific.

17 MR. DIAL: No, that's great. Thank you. That's it.

18 MR. TZAMOS: Bill Tzamos. Randy.

19 MR. THOMAS: Hello.

20 BY MR. TZAMOS:

21 Q. You've done this now, what? Four years? 2015?

22 A. Roughly.

23 Q. Yeah. What did you do before that?

24 A. Pipeliner.

25 Q. Or other (ph.)?

1 A. Excuse me?

2 Q. Describe what else.

3 A. Pipeliner, I worked at Owingsville Compressor Station doing  
4 One-Calls, helping out on anomaly digs.

5 Q. Okay.

6 A. Shovel work, sandblasting, coating.

7 Q. Is this position challenging for your now? Do you always  
8 know what you're doing? Or do you feel like you need -- do you  
9 always know what to do?

10 A. Yes, and if I have questions, I've a got a -- great resources  
11 to go to if I have any questions.

12 Q. Such as? Resources.

13 A. I've got my integrity staff, and I've got Tex (ph.) in  
14 Nashville. I've got colleagues on each side of me that we can  
15 call and reach out to that's got a lot more seniority than I do  
16 and that's been around here a lot longer. So I exercise if I  
17 don't know, I'll call them and review SOP. And I've had to review  
18 the SOPs quite regularly.

19 Q. So you always find a way, a solution to your problem?

20 A. Yes, sir.

21 Q. Okay. So what's -- can you describe maybe any challenges  
22 you've had the last year or so? Something that had to remediate,  
23 and --

24 A. Just with some of the low potential that's come from our CIS,  
25 getting -- just getting new rectifiers and deep wells put in. And

1 [REDACTED], challenge is just work, just to get it done. I don't really  
2 know how to --

3 Q. Yeah. You always succeed though? I mean, in the end --

4 A. Yes.

5 Q. -- you know, you manage the situation, right?

6 A. Yes, sir.

7 MR. TZAMOS: Okay. That's all I've got.

8 MR. DRAKE: This is Andy Drake. I had just a couple of  
9 questions --

10 MR. THOMAS: Yes, sir.

11 MR. DRAKE: -- about (indiscernible).

12 BY MR. DRAKE:

13 Q. Describe your role in in-line inspection tool, law reviews,  
14 and remediation. Because if they're -- I'm certain they're  
15 different.

16 A. As far as the tool data, I go out and set up for a -- when we  
17 don't have contractors, I go out and set up the AGM sites for the  
18 tool to read as it goes past individual locations. And when the  
19 tools runs, I control with -- I help control with the valve gasses  
20 speeding tool so we don't exceed our speed limit on it.

21 As far as the data that's received from the tool, that goes  
22 to our integrity department. And they review the data that's  
23 collected. I just help collect -- get the tool in the pipeline  
24 and running.

25 Q. When the log run is evaluated, then they come out with a dig

1 site. What's your role at that point?

2 A. If I go out, then usually one, integrity is -- give us a  
3 known location they want us to go out and evaluate with GPS, and  
4 then what log is called out that we're looking for -- a specific  
5 corrosion, dent, whatever we're looking for. That's usually given  
6 to me and we go out and evaluate what's -- the log that's called  
7 out, and record it.

8 Q. So you measure it? You're actually accountable --

9 A. Yes.

10 Q. -- to take the measurements and --

11 A. Yes, sir.

12 Q. -- keep, and catalog it for orientation, and tie it back to  
13 the log number location data?

14 A. Yes, sir.

15 Q. Okay. Was there any -- I know there was a pig run made in  
16 2018, I think it was around May or sometime around there. Was  
17 there any anomalies in this area that we had to dig up as a result  
18 of that log run? Not that you know what the log says, I mean, but  
19 did anybody tell you to go dig up anything?

20 A. No. Just the one that's downstream, or downstream from where  
21 that area is. That was the only one that I recall worth looking  
22 at.

23 Q. Okay. Do you remember what it was? I mean --

24 A. No, not right off. I've looked at several this year, and I  
25 can't recall what --

1 Q. Yeah.

2 A. -- the logs was in that area.

3 Q. Okay. I was just curious. The -- you said something about  
4 shrink sleeves. And I think just to help maybe set a calibration,  
5 most of the pipe is coated -- well most of the pipe was installed  
6 in 1958 or 1957. And it's coated mostly with this coating that  
7 you're --

8 A. Yes.

9 Q. -- talking about, the tar-based coating. The shrink sleeves  
10 were used on like, repairs? Or, you know, for girth weld?  
11 They're not -- it's not a long line --

12 A. No. It's just --

13 Q. -- coating system. It's a very short --

14 A. Yeah.

15 Q. -- coating system.

16 A. Eighteen inches.

17 Q. Yeah, 18 inches.

18 A. Somewhere in there, 12 to 18.

19 Q. Mostly used to cover up the girth welds for the sections that  
20 were put in --

21 A. Correct.

22 Q. -- the replacement sections --

23 A. Correct.

24 Q. -- that were put in?

25 A. Yes, sir.

1 Q. Okay. I just wanted to make that so everybody knew what that  
2 meant.

3 A. Sorry.

4 Q. No, it's okay. Any -- other than those shrink sleeves, which  
5 are like 18 inches long, of places where you know of shielding  
6 coating, you know, like tape wrap, or --

7 A. No, sir.

8 Q. -- you know, three-part systems or anything?

9 A. Not that I'm aware of.

10 Q. Yeah. I think that's fair. There's -- any bare system while  
11 we're on it? I mean --

12 A. No. Not that I'm aware of.

13 MR. DRAKE: Okay. Those are the questions I have. I --

14 MR. BAUMAN: Let me follow up on your vehicle.

15 BY MR. BAUMAN:

16 Q. What do you drive?

17 A. A Ford truck.

18 Q. And does that have Enbridge on the side of it?

19 A. Yes, sir.

20 Q. When you go into that area to take the reads and the test  
21 stations, do you visit with the people around there? Or how do  
22 you go about taking those reads? You have to do it once a year,  
23 and then you've got some AGM calls in there. Or maybe -- how many  
24 times have you been in that subdivision?

25 A. In the -- in what --

1 Q. In the --

2 A. -- timeframe?

3 Q. In the past year.

4 A. Probably four or five times. Maybe -- well more than that  
5 probably. We go out with -- we've been out with some of our  
6 contractors setting AGMs. I went in and done my annual survey  
7 this year, went in when we done the tool run, and sat with the  
8 boxes on some time. So roughly four, five, six times. I'm not --

9 Q. Okay.

10 A. I'm not accurate on how many times I've been in there, but a  
11 couple times at least. So --

12 Q. Okay. Any interaction with the residents?

13 A. Not typically. Unless they come up and start talking, I --  
14 usually it's a few minutes that I'm there, I get in the truck and  
15 leave. And if they, you know, somebody wants to talk, I'm more  
16 than glad to talk to them.

17 And then if I do see me somebody, I, you know, tell them I'm  
18 with the gas company and essentially what I've done. But  
19 typically I'm in and out fairly quickly.

20 Q. Do you hand out information pamphlets or something like that  
21 if they were to come up to talk to you?

22 A. No. I don't hand out nothing directly, no.

23 MR. BAUMAN: Okay. All right. Any follow-ups from you?

24 MR. HILLER: Yeah, I have a question. This -- a couple of  
25 questions. This is Mike Hiller.

1 BY MR. HILLER:

2 Q. Have you ever heard of the term cooling blanket in your  
3 business?

4 A. No.

5 Q. Would there be any reason to lay any types of a blanket or  
6 anything down that could be considered a system to cool off a  
7 pipe?

8 A. Not that I'm aware of.

9 Q. Okay. I'm following up on some information we received from  
10 the public. So --

11 A. Yeah.

12 Q. That's --

13 A. Okay.

14 Q. That's good. How do you plan your work? Who plans your work  
15 for you?

16 A. With integrity, we have a certain timeframe to get certain  
17 things done during the year. And it kind of goes with the months  
18 that we have CIS, atmospheric, close and over (ph.)  
19 (indiscernible), and then we just have our general maintenance to  
20 repair stuff if we find stuff that not operating correctly,

21 Q. Okay. So every day, you know what you're doing? You have  
22 some sort of an annual plan?

23 A. For the most part, yes.

24 Q. Okay. In the time that you've been a corrosion tech, have  
25 you ever had to do any sort of physical maintenance on Line 15?



1 A. As far as in what regards?

2 Q. Anything.

3 A. We've probably had some anomaly digs on -- in the area that  
4 I've been part in, tool runs.

5 Q. How many? Some? More than one? More than two? More than  
6 three?

7 A. In my timeframe?

8 Q. Yeah.

9 A. Without looking at my records, 20 maybe. Fifteen, 20 in 4  
10 years or something like that hat I've been involved with.

11 Q. So that would be -- and when I say Line 15, it's in between  
12 the two compressor stations that I'm talking about, you know?

13 A. Mm-hmm.

14 Q. Okay. And for one reason? Multiple reasons? What -- why  
15 would, you know, you dig up the pipe? Why would you dig?

16 A. Corrosion and dents.

17 Q. Corrosion and dents? Where do dents come from?

18 A. Without -- I really don't know how they're generator (sic).

19 Q. Don't know how the dents are generated?

20 A. The ground moves.

21 Q. Okay.

22 A. I don't really know how they get there, I just evaluate them.

23 Q. Got you. Okay. And the corrosion, what types of corrosion?

24 Have you seen corrosion along welds? Corrosion along just the  
25 general port (ph.) --

1 A. Just general.

2 Q. Yeah? Okay. Not along any seams or anything like that?

3 A. It's just more general. It's just -- it's not now -- I don't  
4 want it specific to one place. It's -- I've seen a little bit  
5 here and a little bit there.

6 Q. Yeah. And how is that? When you actually have to do one of  
7 these digs, and you see corrosion, what's the remediation?

8 A. After the measuring was to take it. It goes back down to  
9 integrity staff. What we find, it's calculated, and then it's  
10 reviewed by them to how the repair is proceeded.

11 Q. Okay. And what they're looking for is how much corrosion is  
12 taking place, and whether or not they've got to section the pipe,  
13 or they can make a repair, and just, you know, stop -- mitigate  
14 the corrosion, stop it? And -- okay. And how much -- now how  
15 many times have a -- has a section of pipe had to have been placed  
16 in your recollection?

17 A. I've never replaced -- I don't recall ever having to replace  
18 no pipe in -- on Line 15.

19 Q. Okay. Are you aware of any pipe that has been replaced on  
20 Line 15 because of corrosion?

21 A. No, not for corrosion.

22 Q. For any other reason?

23 A. We've done upgrades, but not in that area.

24 Q. Okay.

25 A. I've been involved with some of the upgrades that we've

1 upgraded the pipelines with new pipe.

2 MR. HILLER: Yeah, all right. Let's see.

3 MR. DIAL: I do have a follow-up.

4 MR. HILLER: Yeah. I'm done. Thank you.

5 MR. DIAL: Gary Dial.

6 BY MR. DIAL:

7 Q. The work that you do, the annual compliance work, what  
8 type -- what system do you use to track that data, and record  
9 it and log it?

10 A. PCS.

11 Q. Which is a software?

12 A. It's a software that Enbridge uses. Pipeline Compliance  
13 System I believe is the correct acronym for that.

14 Q. Okay.

15 A. But it's recorded --

16 Q. So, as you mentioned to your annual test points, your  
17 atmospheric, all those things are logged in this program?

18 A. Yes, sir.

19 Q. Okay. So if we wanted to look at those records, that's where  
20 we would go?

21 A. Yes, sir.

22 MR. DIAL: Got it. Perfect. Thank you.

23 MR. HILLER: I did have another question. And this goes back  
24 to the shale, and the challenges, you know, of the CP, I guess the  
25 -- you know, moving the current through shale is a challenge. And

1 one of the mitigating things you do is you put in new rectifiers,  
2 and you were talking about some of the challenges of putting in  
3 new rectifiers.

4 BY MR. HILLER:

5 Q. Are there still rectifiers that are due to be installed in  
6 Line 15 right now?

7 A. Not for just 15. And -- our rectifiers covers all three of  
8 our lines. I'm upgrading some down from it, but not the ones  
9 that's closest to it, no.

10 Q. Not the ones that --

11 A. I have some that's going in further down the line, but not  
12 right there.

13 Q. Yeah. Did you recently in the past, say year or so, upgrade  
14 the rectifiers in this area?

15 A. Not in that specific area. On down the line I put a new one  
16 in.

17 Q. Okay. And these are spaced about a mile apart you say?

18 A. Not rectifiers. Test sites are. Rectifiers are spaced  
19 according to their need.

20 Q. Okay. So it's sort of an impedance spacing, right?

21 A. Yeah.

22 Q. It just depends on impedance? Okay. And that makes sense.  
23 And you say you haven't replaced any in that area?

24 A. I put a new one in further down towards Tompkinsville, but  
25 not in that area.

1 Q. Okay. And there are or are not any rectifiers that need to  
2 be -- needed to be replaced in that area before the --

3 A. The Harris Creek is currently getting a -- I'm adding a --  
4 I'm adding more to it coming up.

5 Q. Okay. And when you did your most recent inspection through  
6 there, you did not see -- or did or did not see a need to increase  
7 the CP in that area?

8 A. In the incident zone?

9 Q. Yeah.

10 A. Not according to the test sites, no.

11 Q. Okay.

12 A. It was not there. But down at Harris Creek, there was a need  
13 for more there.

14 Q. Okay.

15 A. That's why I'm currently in the process of getting the deep  
16 well put in there.

17 MR. HILLER: Thank you. That's it. That was my last  
18 question.

19 MR. BAUMAN: This is Gary Bauman. Let me fill it -- file off  
20 with one more -- well two more questions.

21 BY MR. BAUMAN:

22 Q. First one is, is there ever a situation where there's too  
23 much potential on the pipe?

24 A. I suppose, but we don't drive our rectifiers typically that  
25 hard.

1 Q. At what level is it of concern for you?

2 A. You start -- anything above two volts -- negative two volts.

3 Q. Okay. And that's company policy? Or your own feeling?

4 A. I can't reelect what our, you know, exactly without looking.  
5 But I think we stop for about a negative 1.5 volts or lower.

6 Q. Okay.

7 A. To meet the 850 criteria. But around the rectifiers is  
8 typically a little higher. As it spans out, it drops  
9 significantly. So typically around the rectifiers, we'll have a  
10 higher voltage. But that's -- in lieu of that, it has to go out.  
11 Any time you get it closer to the pipe, it typically draws more  
12 current, and as it spans out, it drops.

13 Q. Okay. We've asked you a whole bunch of questions, and I'm  
14 going to throw the floor open to you. Is there any question we  
15 should have asked you? Or is there any kind of statement you want  
16 to make? Or -- this is your open invitation.

17 A. No. I hope I've answered all of your questions.

18 MR. BAUMAN: Well, I thank you very much.

19 MR. THOMAS: Thank you all. Appreciate it.

20 MR. DIAL: Thanks, Randy.

21 MR. TURNER: Thank you.

22 MR. HILLER: And so concludes the interview today at 2:47.

23 Thank you.

24 (Whereupon, at 2:47 p.m., the interview was concluded.)

25

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD


IN THE MATTER OF:           NATURAL GAS PIPELINE RUPTURE  
AND FIRE, DANVILLE, KENTUCKY  
AUGUST 1, 2019  
Interview of Randy Thomas

ACCIDENT NO.:               PLD19FR002

PLACE:                       Danville, KY

DATE:                         August 3, 2019

was held according to the record, and that this is the original,  
complete, true and accurate transcript which has been transcribed  
to the best of my skill and ability.

  
Christy Wilson  
Transcriber