

NATIONAL TRANSPORTATION SAFETY BOARD

-----:
IN RE: :
 :
THE ALLISION INVOLVING THE : NTSB Accident No.
AFRAMAX RIVER ON THE HOUSTON : DCA16FM055
SHIP CHANNEL ON SEPTEMBER 6, :
2016 :
 :
-----:

INTERVIEW OF: MUZAFFER ALI

September 7, 2016


BEFORE

■ ■ ■ ■ ■ USCG
BRUCE DAVIES, USCG
LUKE WISNIEWSKI, NTSB
MIKE USHER, Port Pilot Commission
for Harris Co. Ports
ANANT SHARMA, Aframax River Marine
Superintendent


APPEARANCES:

On Behalf of G&H Towing Company:


JAY HUFFMAN, ESQ.
Blank Rome LLP
717 Texas Avenue
Suite 1400
Houston, TX 77002

On Behalf of the Aframax River:


JAMES BAILEY, ESQ.
Eastham, Watson, Dale & Forney, LLP
The Niels Esperson Building
808 Travis, Suite 1300
Houston, TX 77002-5769

On Behalf of Other Individuals Involved in this Investigation:

CAMERON HATZEL, ESQ.
Legge, Farrow, Kimmitt, McGrath &
Brown LLP
5151 San Felipe, Suite 400
Houston, Texas 77056

On Behalf of ITC:

STACEY T. NORSTRUD, ESQ.
Fowler Rodriguez, Counselors at Law
Four Houston Center
1331 Lamar Street, Suite 1560



P-R-O-C-E-E-D-I-N-G-S

3:55 p.m.

[REDACTED] All right. The time on deck, it's approximately 15:55 and we're on board the Aframax River, doing a post casualty interview with the Chief Engineer. I'm [REDACTED] [REDACTED] Sector Houston Galveston Investigations Division. I'm the duty investigator and we'll do a round table, everyone can introduce themselves.

MR. HATZEL: I'm Cameron Hatzel, on behalf of the pilots.

MR. DAVIES: Bruce Davies, Chief Investigations for Houston Coast Guard.

MR. WISNIEWSKI: Luke Wisniewski, National Transportation Safety Board.

MR. BAILEY: James Bailey with Eastham Watson, on behalf of the vessel.

CHIEF ALI: I'm the Chief Engineer, Muzaffer Ali.

CPT. SHARMA: Captain Sharma from (Unintelligible) Ship Management.

MR. HUFFMAN: Jay Huffman from Blank Rome on behalf of G&H Towing Company.

MR. USHER: Mike Usher, Houston Pilot Board.

MS. NORSTRUD: Stacey Norstrud, Fowler

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Rodriguez, on behalf of ITC.

2 (Inaudible.)

3 [REDACTED] All right. So, Chief, I'm just
4 going to go ahead and ask some questions. If at any
5 time you want to consult with Mr. Bailey, you can.
6 But, again, we just want to find out what happened
7 here, that's kind of our goal to prevent it from
8 happening again. So, Chief, can you just start with
9 your maritime background?

10 CHIEF ALI: Well, I started as merchant
11 marine in 1975 and I worked until 1986, then I joined
12 the (inaudible) the National Iranian Tanker Company and
13 we had an accident onboard (inaudible) involved six
14 bombs on the ship in the tanker and the captain got
15 killed and I decided to give up sea life. So I got a
16 shore job. I was in (inaudible) Hong Kong for a year
17 as a technical superintendent, then I went to another
18 company as a technical manager.

19 Eventually, after a while, I was two years
20 ashore, and then my mother had some problems, so I gave
21 up my job for about eight, nine months to look after
22 her. And then when I decided to go back, I had a
23 choice to pick up a shore job, but I came back to sea.
24 So, I (inaudible) the sea, so I've been serving, I stay
25 about four months at home, I've been serving as a Chief

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Engineer. 1982, I got promoted as a Chief Engineer,
2 1986 I gave up after that incident which took place.

3 [REDACTED] All right. Thank you. And,
4 Chief, what's your experience level onboard this type
5 of ship, Aframax vessels?

6 CHIEF ALI: I have been on this ship for the
7 fourth time now.

8 [REDACTED] This specific ship?

9 CHIEF ALI: This ship.

10 [REDACTED] Okay.

11 CHIEF ALI: My first time with this ship was
12 in 2012. And then in between, having other ships too
13 with the company, but on this ship is my fourth time.

14 [REDACTED] Fourth time on this ship, all
15 right. And have you sailed into Houston --

16 CHIEF ALI: Yes.

17 [REDACTED] -- with this ship before?

18 CHIEF ALI: Yes.

19 [REDACTED] Okay. And, have you had any --
20 how do you feel in the engine room in terms of the way
21 the ship operates?

22 CHIEF ALI: Well, the engine is in very good
23 condition, I no see problems at all, except the time
24 this thing happened.

25 [REDACTED] All right.

1 CHIEF ALI: No issues at all.

2 [REDACTED] So, in your four --

3 CHIEF ALI: Four contracts.

4 [REDACTED] -- contracts --

5 CHIEF ALI: I have no issues with any of the
6 engine, no major issues in neither the main engine nor
7 the generators.

8 [REDACTED] Okay.

9 CHIEF ALI: The other problems more the
10 issues that come up.

11 [REDACTED] All right. And have you
12 conducted preventative maintenance on these engines
13 before?

14 CHIEF ALI: Yes.

15 [REDACTED] Any major overhauls or --

16 CHIEF ALI: The major overhauls were I think
17 in 2015 when I wasn't here and (inaudible) that was the
18 last one.

19 [REDACTED] That was --

20 CHIEF ALI: 2015.

21 [REDACTED] -- 2015? Okay. All right.

22 Chief, let me reference to the September 5 voyage,
23 September 4 voyage, sorry, September 4 voyage into
24 Houston.

25 CHIEF ALI: Yes.

1 [REDACTED] Do you recall where you were
2 coming from?

3 CHIEF ALI: We came from St. Lucia --

4 [REDACTED] St. Lucia?

5 CHIEF ALI: -- (inaudible).

6 [REDACTED] Okay. Any issues during that
7 voyage?

8 CHIEF ALI: No issues at all. No issues at
9 all. We came (inaudible) with no problem.

10 [REDACTED] All right. And when you were
11 transiting into the channel, Chief, any issues?

12 CHIEF ALI: No issues at all.

13 [REDACTED] Okay. Were you in the engine
14 room at all times?

15 CHIEF ALI: Not for the transit, the whole
16 five, six hours (inaudible) second engineer take over
17 in the passage.

18 [REDACTED] All right.

19 CHIEF ALI: (Inaudible) work around.

20 [REDACTED] Okay.

21 CHIEF ALI: (Inaudible) the second engineer
22 relieved me for my lunch (inaudible).

23 [REDACTED] Okay. And the second engineer,
24 is he, would you consider him a good engineer?

25 CHIEF ALI: He's a good engineer, yes.

1 [REDACTED] Okay. Did he report any
2 concerns with the engine at all?

3 CHIEF ALI: No, we had no problems at all.

4 [REDACTED] All right. Chief, going down
5 to the voyage on the 5th of September, the voyage that
6 resulted in the incident.

7 CHIEF ALI: Yes.

8 [REDACTED] Can you just go a little bit
9 over what preparations you made prior to getting
10 underway?

11 CHIEF ALI: The normal procedure, when the
12 engine received a one hour notice, he informed that we
13 have the one hour's notice. And (inaudible) the duty
14 engineer has the telegraph (inaudible), the normal
15 routines. And after he finishes that, he calls me for
16 blowing through the engine. So, he blows through the
17 engine with compressed air and that's the time he calls
18 me and (inaudible).

19 So he blowed through to show that all our
20 units are safe, there's no leakage of water inside.
21 And then, after blow through, he transferred control to
22 the bridge. And from the bridge, (inaudible) ahead and
23 astern (inaudible) that go okay, there is no problem.
24 Engine is performing very well and (inaudible). There
25 are no issues.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 [REDACTED] All right, Chief, and this was
2 done just one hour prior to getting underway?

3 CHIEF ALI: I do not (inaudible) the exact
4 time (inaudible).

5 [REDACTED] Sure.

6 CHIEF ALI: I'm not too sure what time, but
7 it is there on the recording.

8 [REDACTED] It is recorded?

9 CHIEF ALI: It is recorded (inaudible)
10 reporting to the engine room.

11 [REDACTED] A notebook?

12 CHIEF ALI: Yes.

13 [REDACTED] So all these tasks that the
14 second engineer did, they're also recorded?

15 CHIEF ALI: They're also reported and
16 recorded (inaudible) communications between the engine
17 room and the bridge (inaudible).

18 [REDACTED] The second engineer does this,
19 who else, is there anyone else who assists the second
20 engineer?

21 CHIEF ALI: The duty engineer. Normally, the
22 duty engineer is always there in the engine room.
23 (Inaudible) the second engineer, this the blowing
24 through (inaudible) stopping of the engines in my
25 presence (inaudible).

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 [REDACTED] And that's all written as a
2 procedure or is that --

3 CHIEF ALI: That's all in a procedure.
4 That's the (inaudible) requirements to have this
5 procedure.

6 [REDACTED] Okay. All right. Chief, so
7 you said you tested communications with the bridge,
8 everything was good?

9 CHIEF ALI: Everything was normal.

10 [REDACTED] You transferred control over to
11 the bridge control?

12 CHIEF ALI: Yes.

13 [REDACTED] Okay. And what happened from
14 there? Did you stay in the engine room throughout the
15 transit or the underway?

16 CHIEF ALI: (Inaudible) movements, yes, I
17 didn't because when they gave the movements, I didn't
18 realize at that time when I saw on the RPM indicator
19 when it was 80 RPM.

20 [REDACTED] Okay. So, let's just go back a
21 little bit. So, you have a time where you were
22 supposed to get underway --

23 CHIEF ALI: Yes.

24 [REDACTED] -- and all this time, where are
25 you at this time when the vessel is --

1 CHIEF ALI: In the engine room.

2 [REDACTED] In the engine --

3 CHIEF ALI: In the control room.

4 [REDACTED] And then the control room?

5 CHIEF ALI: In the control room with the
6 second engineer.

7 [REDACTED] All right. And then, is there
8 anyone else standing by anywhere else? Emergency --

9 CHIEF ALI: The duty engineer was at that
10 time (inaudible) minutes before the incident, was
11 handing over the duty, the junior engineer was handing
12 over duty to the third engineer.

13 [REDACTED] Okay.

14 CHIEF ALI: Was outside the control room.

15 [REDACTED] Were outside the --

16 CHIEF ALI: (Inaudible) control room,
17 normally the taking over duty engineer comes 15 minutes
18 before taking over duty (inaudible).

19 [REDACTED] Okay.

20 CHIEF ALI: So I and the second engineer is
21 the ones you want who were in the control room at that
22 time.

23 [REDACTED] All right. So those are the
24 only two positions, you don't have anyone else set up
25 anywhere, a (inaudible) or anything?

1 CHIEF ALI: The motorman also keeps -- the
2 duty motorman, he (inaudible) the bridge.

3 [REDACTED] Rounds?

4 CHIEF ALI: Rounds.

5 [REDACTED] All right. Chief, so you're in
6 the engine control room, you realize the vessel is
7 getting underway, and how is this relayed to you? How
8 are you notified that the vessel is getting underway?

9 CHIEF ALI: (Inaudible) when the engine
10 receives from the bridge (inaudible) I look at the
11 tachometer and the (inaudible) is given, because we on
12 35 or 40, but I'm (inaudible) so I typically watch
13 (inaudible) so when the engine picks up (inaudible)
14 about it.

15 [REDACTED] Okay.

16 CHIEF ALI: (Inaudible) concentrate too much
17 on the tachometer, which shows the RPM, that is all
18 (inaudible) dead slow astern was given. The first
19 movement report after received standby on the engine,
20 dead slow astern was the only movement that was given.

21 [REDACTED] Okay. And at that time, when
22 that order was given, dead slow astern, you said that
23 you saw the RPMs?

24 CHIEF ALI: RPMs, I saw that they were still
25 (inaudible) that the RPM being maintained because it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not dropping to zero.

2 [REDACTED] Maintained at what --

3 CHIEF ALI: Because at that time 32 to 33 --

4 [REDACTED] Okay.

5 CHIEF ALI: -- (inaudible).

6 [REDACTED] All right, Chief. Can you
7 elaborate on that to --

8 CHIEF ALI: And this, when (inaudible) after
9 about two and half minutes to three minutes time, there
10 was a huge commotion that the RPM is going up and the
11 second engineer received a call in the engine room
12 saying that captain says that our engine is out of
13 control. And I saw that tachometer, this was my
14 (inaudible) and then I saw the telegraph was still dead
15 slow astern, I'm slow astern, I tripped (inaudible).

16 [REDACTED] You tripped the --

17 CHIEF ALI: I tripped the main engine from
18 (inaudible) that the RPM is going up to 80, which I
19 confirmed, I confirmed that it was 80.

20 [REDACTED] Okay. So --

21 CHIEF ALI: And I looked at that time at the
22 telegraph, the telegraph was wanting dead slow astern.
23 And they have light indication, even though it's on
24 bridge control --

25 [REDACTED] Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHIEF ALI: -- I can look at what position
2 the (inaudible) was, it was dead slow astern, but so
3 dead slow astern (inaudible) it was 80 --

4 [REDACTED] So you --

5 CHIEF ALI: -- on there.

6 [REDACTED] So you didn't wait for the
7 second engineer to tell you (inaudible)

8 CHIEF ALI: Yes.

9 [REDACTED] Okay.

10 CHIEF ALI: (Inaudible) the captain is saying
11 that.

12 [REDACTED] And did the RPMs start --

13 CHIEF ALI: Nearly dropped to zero.

14 [REDACTED] Nearly dropped to zero?

15 CHIEF ALI: Right. Because normally the
16 momentum of the ship, the propeller doesn't (inaudible)
17 especially when the ship is being pulled out by the tug
18 boats, the engine doesn't require too much effort
19 (inaudible) because of the wake (inaudible) it takes a
20 few seconds for it to come to zero, it doesn't come to
21 zero immediately.

22 [REDACTED] Okay. Do you recall how much
23 time after that did you get the dead slow ahead bell?

24 CHIEF ALI: Well, what I saw was from the
25 dead slow astern, I think the pilot realized that we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 were going too fast up, so he's giving stop. Once he
2 realized (inaudible) it's better that I give ahead
3 movement, so that I can break the movement of the ship
4 going up. So, he skipped stop and he give dead slow
5 ahead. And then he gave slow ahead. In the meantime,
6 the ship had touched on the outside and then it just
7 stopped.

8 [REDACTED] [REDACTED] Now, when these commands were
9 given, did you notice the RPMs?

10 CHIEF ALI: No. No, I didn't. They
11 (inaudible) and the engine did not start.

12 [REDACTED] [REDACTED] The engine did not start?

13 CHIEF ALI: No. Not that it started the dead
14 slow ahead, nor did it started at slow.

15 [REDACTED] [REDACTED] Do you know why?

16 CHIEF ALI: I don't know. We are trying to
17 figure out (inaudible) to find out what can go wrong,
18 what has happened, why when the movement was given,
19 dead slow astern, why did it shoot up suddenly to 80,
20 so that I can figure out why it is --

21 [REDACTED] [REDACTED] Okay. Now, Captain, hold up,
22 let Mr. Davies --

23 MR. DAVIES: I don't really have any
24 questions right now (inaudible).

25 [REDACTED] [REDACTED] Okay.

1 MR. WISNIEWSKI: Luke Wisniewski, NTSB.
2 Captain, we have a picture that was taken from the
3 telegraph --

4 CHIEF ALI: Yes.

5 MR. WISNIEWSKI: -- printer.

6 CHIEF ALI: Yes.

7 MR. WISNIEWSKI: Could you just circle on
8 this one, it's a picture that's dated September 6, 2016
9 at 22:50, can you circle on there where you think the
10 emergency stop or where you hit the -- is that recorded
11 on there?

12 CHIEF ALI: It's recorded. This is the one
13 that it is there (inaudible) this is the C. C is the
14 engine control room. Anything (inaudible) from
15 anywhere, C indicates it's done --

16 MR. WISNIEWSKI: Control room?

17 CHIEF ALI: -- from the engine control room.
18 B indicates --

19 MR. WISNIEWSKI: B is bridge?

20 CHIEF ALI: -- it's done from the bridge.

21 MR. WISNIEWSKI: Okay.

22 CHIEF ALI: This the one which I operate.

23 MR. WISNIEWSKI: Okay.

24 CHIEF ALI: And then the pilot did try to
25 break the speed of the ship going up by giving dead

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 slow ahead, but it didn't operate. I could see the
2 movement on the telegraph that came from this to this.

3 MR. WISNIEWSKI: But is there any RPM that's
4 recorded on there?

5 CHIEF ALI: No, because -- no. The reason
6 was, this option was too quick, the pilot didn't
7 realize when I pressed the emergency switch, all the
8 pumps trip off and this engine, I have to bring down
9 the fuel lever back to zero to reset all the alarms.
10 When you operate the emergency switch, all the alarms
11 trips, so we have to reset all of them and unless you
12 reset all the (inaudible) and switches, the engine will
13 not work. So by the time we did that, at this point,
14 when he started the zero five, when the reset, the
15 engine did not (inaudible).

16 MR. WISNIEWSKI: How was this information
17 you're just discussing with us relayed to the bridge?

18 CHIEF ALI: Excuse me?

19 MR. WISNIEWSKI: How was this relayed to the
20 personnel up on the bridge?

21 CHIEF ALI: Well, you see, the time was too
22 short, this is an emergency and already at this point
23 (inaudible) the ship already touched and there was
24 fire. So nobody was, there was no communication at all
25 during that period.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. WISNIEWSKI: Okay.

2 CHIEF ALI: Everybody attention was diverted
3 for the fighting the fire.

4 MR. WISNIEWSKI: Okay. So, you said that you
5 saw it ramp up to 80 RPM?

6 CHIEF ALI: Yes (inaudible) 80 when I saw the
7 telegraph too, it was still at dead slow astern.

8 MR. WISNIEWSKI: What governor is on the main
9 engine?

10 CHIEF ALI: We have an electronic
11 (inaudible).

12 MR. WISNIEWSKI: Who is the manufacturer?

13 CHIEF ALI: The manufacturer is
14 (Unintelligible).

15 MR. WISNIEWSKI: Okay. What would be the
16 over speed trip for astern? Would the governor trip at
17 --

18 CHIEF ALI: It --

19 MR. WISNIEWSKI: -- 80 RPM astern?

20 CHIEF ALI: Yes. The emergency trips operate
21 at any position.

22 MR. WISNIEWSKI: I'm referring to the
23 governor over speed trip, when would that kick in or
24 when would that go off?

25 CHIEF ALI: I think (inaudible) if engine's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on 99 RPM.

2 MR. WISNIEWSKI: Ninety-nine RPM?

3 CHIEF ALI: Ninety-nine, so it should be plus
4 99 because the engine has been designed for maximum
5 horsepower that it can go at sea, 99 RPM.

6 MR. WISNIEWSKI: Okay. But that's forward,
7 how about --

8 CHIEF ALI: At plus ten percent is the
9 (inaudible).

10 MR. WISNIEWSKI: Plus ten percent? Okay.

11 CHIEF ALI: Plus average ten percent of 99
12 RPM, that's the time the (inaudible).

13 MR. WISNIEWSKI: Okay. So --

14 CHIEF ALI: (Inaudible.)

15 MR. WISNIEWSKI: -- how about even astern, is
16 there --

17 CHIEF ALI: Astern too.

18 MR. WISNIEWSKI: Astern too would be the
19 same?

20 CHIEF ALI: Yes.

21 MR. WISNIEWSKI: Okay. When's the last time
22 that that was checked? Do you know?

23 CHIEF ALI: I don't know. Not in my time.

24 MR. WISNIEWSKI: Is that part of your PMS,
25 your preventative maintenance system?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHIEF ALI: That --

2 MR. WISNIEWSKI: Schedule?

3 CHIEF ALI: It's not (inaudible) is not part
4 of this. We have a test, without the engine being
5 done, that test was (inaudible) actual test.

6 MR. WISNIEWSKI: I'm going to now just start
7 to go back a little bit. So, how long were you onboard
8 the vessel before coming into Texas? How long has your
9 contract been? How far are you into your contract?

10 CHIEF ALI: Yes. I'm not, I think I've been
11 on this ship 22nd of May.

12 MR. WISNIEWSKI: And how long is the contract
13 for?

14 CHIEF ALI: Four months.

15 MR. WISNIEWSKI: Four months? And that's
16 even with the previous four contracts? They're all --

17 CHIEF ALI: Yes.

18 MR. WISNIEWSKI: They're all four months
19 long?

20 CHIEF ALI: Yes. But a few times, I done in
21 three months, so I ask the company (inaudible) three
22 months contract before.

23 MR. WISNIEWSKI: Okay.

24 CHIEF ALI: So that (inaudible) exactly three
25 months (inaudible).

1 MR. WISNIEWSKI: Right.

2 CHIEF ALI: It always shoots more than three
3 months, not less than three months.

4 MR. WISNIEWSKI: Yes. Was there any work
5 performed in St. Lucia?

6 CHIEF ALI: None.

7 MR. WISNIEWSKI: When -- do you have any
8 record of the last time --

9 CHIEF ALI: Well, in St. Lucia, I think I
10 changed the number one exhaust (inaudible) because it
11 was due for (inaudible) every 8,000 hours, we take it
12 out, clean it. That's the only thing I done in St.
13 Lucia. So I make the entire passage, we had no
14 problem.

15 MR. WISNIEWSKI: Okay. Would you say that
16 was the last time --

17 CHIEF ALI: That was the last --

18 MR. WISNIEWSKI: -- it was performed on the
19 main engine?

20 CHIEF ALI: On the main engine, yes.

21 MR. WISNIEWSKI: Okay. How about the
22 throttle, either on the bridge or in the engine room,
23 any work performed on the --

24 CHIEF ALI: No, no, no.

25 MR. WISNIEWSKI: Is there records of that?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHIEF ALI: The throttle is mostly, if you go
2 (inaudible) the throttle is directly manual, so there
3 nothing (inaudible) other than the throttle, it's all
4 by the governor.

5 MR. WISNIEWSKI: (Inaudible) the governor?

6 CHIEF ALI: (Inaudible) the only problem you
7 can do is, when you change out the manual loading
8 control, you bypass (inaudible) and then directly you
9 can give (inaudible) but even then, the (inaudible) the
10 governor has to take over, even under manual control.

11 MR. WISNIEWSKI: So, your professional
12 opinion then, what do you feel after years of
13 superintendent and chief engineer would cause this over
14 speed?

15 CHIEF ALI: I think (inaudible) knowledge is
16 limited and you always say, marine engineers are jack
17 of all trades and masters of none, so I can't comment
18 on that, there are too many, it's a very complicated
19 thing for a person to switch (inaudible) marine
20 engineer who has to know so many machines (inaudible)
21 just figure out what it can be. It's not my experience
22 which I have (inaudible) in my experience, I haven't
23 faced this kind of a problem before.

24 MR. WISNIEWSKI: I'd just like to go through
25 the starts and stops. How many starts and stops did

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you have with (inaudible)? Can you go through and just
2 explain that, how many you have as far as --

3 CHIEF ALI: And the (inaudible) report, they
4 normally mention about 12 to 13 after the shipping
5 (inaudible).

6 MR. WISNIEWSKI: Yes.

7 CHIEF ALI: You can have safely eight to ten
8 starts.

9 MR. WISNIEWSKI: (Inaudible.)

10 CHIEF ALI: Without to have to press a
11 button.

12 MR. WISNIEWSKI: Okay. So, eight to ten
13 stops?

14 CHIEF ALI: Eight to ten without --

15 MR. WISNIEWSKI: Starts?

16 CHIEF ALI: I mean, when you get the low
17 pressure alarm --

18 MR. WISNIEWSKI: Yes.

19 CHIEF ALI: -- on the (inaudible) you not get
20 the low pressure alarm, you still have to look at just
21 engine response, even in that low pressure. And then it
22 drops around ten bar pressure.

23 MR. WISNIEWSKI: But you indicated on the
24 first start, no --

25 CHIEF ALI: No issues with it.

1 MR. WISNIEWSKI: Fuel --

2 CHIEF ALI: Because it just one.

3 MR. WISNIEWSKI: Fuel governor took right
4 over?

5 CHIEF ALI: Yes.

6 MR. WISNIEWSKI: Okay. Have you ever been in
7 the shipyard with this vessel?

8 CHIEF ALI: Not for this vessel.

9 MR. WISNIEWSKI: How about with this type of
10 engine?

11 CHIEF ALI: Yes.

12 MR. WISNIEWSKI: With this type of engine?

13 CHIEF ALI: Yes.

14 MR. WISNIEWSKI: As well as (inaudible)?

15 CHIEF ALI: Yes. I was with other companies.
16 I was at (Unintelligible) for nine years and then
17 (Unintelligible) I was there for ten years. So, I have
18 all done, only I think I worked (inaudible) I worked
19 from the start, natural aspirating engine without any
20 double charger, and that were passenger ship having
21 about (inaudible).

22 MR. WISNIEWSKI: Can you, Chief, can you go
23 through and explain for the group down in the engine
24 room, when you're looking at the throttle, what you see
25 from the -- what you can do down there locally when you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 see the throttle commands come in from the bridge?

2 CHIEF ALI: This normal procedure (inaudible)
3 I explain, the duty engineer and the second engineer do
4 (inaudible) look at the tachometer. You ensure that
5 the (inaudible) that's the most tricky part of it. So
6 you have to look at that and make sure that the engine
7 has pick up the speed and the (inaudible) started.
8 It's the same (inaudible).

9 MR. WISNIEWSKI: Did you have any standing
10 orders in place at the time? Any specific orders,
11 standing orders that --

12 CHIEF ALI: Yes, we have the specific
13 standing orders manually or (inaudible) the engine.
14 The two generators on, also we have two generators
15 minimum running. All the test being carried out.
16 That's the standard thing we're supposed to do.

17 MR. WISNIEWSKI: Okay. For this --

18 CHIEF ALI: And we have checklist too
19 (inaudible).

20 MR. WISNIEWSKI: And those were filled out?
21 You --

22 CHIEF ALI: Yes.

23 MR. WISNIEWSKI: Do you witness those
24 afterwards?

25 CHIEF ALI: Yes, yes.

1 MR. WISNIEWSKI: Do you sign them?

2 CHIEF ALI: Yes, sign them.

3 MR. WISNIEWSKI: Steering system, did you
4 have two steering pumps on --

5 CHIEF ALI: Yes.

6 MR. WISNIEWSKI: -- or one?

7 CHIEF ALI: Yes, for two.

8 MR. WISNIEWSKI: And no issues or no --

9 CHIEF ALI: No issues.

10 MR. WISNIEWSKI: -- concerns over the
11 steering?

12 CHIEF ALI: No. We got the same capacity,
13 starboard side is tied into the emergency generator and
14 port side still normal power. Both the same
15 (inaudible) the same capacity.

16 MR. WISNIEWSKI: Now, I guess one thing I
17 just want to go back to again, so once you realized
18 there was a problem or there was information from the
19 bridge being brought down to the second engineer, who
20 was on the phone, when did you get involved or relay
21 what you knew back up to the bridge so they could make
22 decisions?

23 CHIEF ALI: That was immediate. The phone
24 came up and was saying to the captain (inaudible) we
25 realize this was something serious. So I was just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 sitting down, so I came towards it, and I saw that it
2 was saying that the RPM, the captain was saying the RPM
3 was going up to 80. So I saw it was 80 (inaudible)
4 stop, it was 80.

5 MR. WISNIEWSKI: Okay. That's all I have at
6 this time.

7 MR. DAVIES: Let me ask that question.
8 Chief, you are the one who hit the emergency stop in
9 the control room?

10 CHIEF ALI: That's right.

11 MR. DAVIES: All right. And what type of
12 engineering training or additional training does your
13 company require on you?

14 CHIEF ALI: We have the system, every month,
15 the main engine has to be (inaudible) manually,
16 bypassing the control system, bypassing the pneumatic
17 control system. That is the manual (inaudible)
18 obligation. Once a month and it's done by the
19 engineers and I ensure it's done especially by the duty
20 engineer (inaudible) he gets the feel of the kick that
21 it's giving to ensure that he doesn't lose too much
22 air, so he gets the minimum air.

23 And then for the stop position, I don't,
24 once I use the lever, but for the other stop position,
25 I use the local emergency trip to operate the engines

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 to stop. So, both of this is recorded every month and
2 that is the standard our company procedure. The
3 emergency stop and the local manually is done every
4 month once.

5 MR. DAVIES: In your career, did you ever
6 experience an over speed (inaudible)?

7 CHIEF ALI: I experience an over speed, one
8 we had a very rough, I was in bulk area and this was in
9 the ballast condition, so it tripped off. It was just
10 a mechanical governor, it's not the electronic
11 governors which we have now, the normal mechanical
12 (inaudible) governor.

13 MR. DAVIES: (Inaudible.)

14 CHIEF ALI: That's the only once I
15 experienced.

16 MR. DAVIES: And I think the NTSB asked you
17 this question, but do you have a requirement that the
18 over speed has to be checked at a certain period?

19 CHIEF ALI: They have given us -- without you
20 can test it by making a test move. They've given us
21 values that these values should come. So, once you
22 cross-check those values, you'll know surely that those
23 (inaudible).

24 MR. DAVIES: Well, when was the last time it
25 was checked?

1 CHIEF ALI: Well, I don't know the date when
2 it was last checked.

3 MR. DAVIES: Well, do you keep a record of
4 it?

5 CHIEF ALI: Yes, we keep a record.

6 MR. DAVIES: And do you have that record?

7 CHIEF ALI: Well, I'm not sure about that, I
8 have to check on this.

9 MR. DAVIES: Well, did you check?

10 CHIEF ALI: No, I didn't check. I didn't.

11 MR. DAVIES: So, it had to be at least the
12 three months ago or before you --

13 CHIEF ALI: Well, I don't know. It's not in
14 the three months period, the (inaudible) is not there.
15 Because we have the maintenance up to six months we
16 keep for all the equipment, that doesn't come in that
17 (inaudible).

18 MR. DAVIES: All right. I don't have any
19 other questions.

20 MR. HUFFMAN: This is Jay Huffman on behalf
21 of G&H Towing. Chief, when you hit the emergency stop
22 in the engine control room and the engines go down to
23 zero, how long does it take for those engines to come
24 back online?

25 CHIEF ALI: Well, we have to, once we operate

1 the emergency trip, we have to reset all the alarms.
2 What happens is when you first press the emergency
3 trip, the first operation that takes place is the slow
4 down alarm. So the engine immediately slows down. And
5 then, (inaudible) then we have to reset all the alarms
6 (inaudible) we have to reset them. Once we reset them,
7 as soon as we reset them, all the machinery start off.

8 MR. HUFFMAN: How long would that take for
9 you to do?

10 CHIEF ALI: Well, this will depend upon the
11 times we take to bring -- fuel lever has been kept at
12 (inaudible) dead slow ahead or dead slow astern, we
13 have to bring it mechanically down to zero. If we
14 don't bring it down mechanically to zero, the alarms
15 will not even reset. So, that can take more than two
16 to three minutes.

17 MR. HUFFMAN: So, two to three minutes after
18 you hit the emergency stop?

19 CHIEF ALI: We can do (inaudible).

20 MR. HUFFMAN: So, in this case, when the bell
21 was on dead slow astern --

22 CHIEF ALI: Yes.

23 MR. HUFFMAN: -- and then you hit --

24 CHIEF ALI: Stop.

25 MR. HUFFMAN: -- stop, how long do you think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it would take? Would it take less time, less than
2 three minutes?

3 CHIEF ALI: Yes, less than three minutes.

4 MR. HUFFMAN: And you were talking earlier
5 and you said that the second engineer was in the engine
6 control room monitoring the RPMs, is that correct?

7 CHIEF ALI: Yes.

8 MR. HUFFMAN: So, did he tell you when the
9 RPMs hit -- I mean, you said you saw it at 32 and 33
10 when you were at the dead slow astern bell, correct?
11 You saw it at 32 and 33 RPMs?

12 CHIEF ALI: That is when we were starting,
13 that's (inaudible) I didn't notice (inaudible).

14 MR. HUFFMAN: But did the second engineer say
15 anything to you from the time between when it went from
16 32 to 33 RPMs to 80 RPMs?

17 CHIEF ALI: The things is that when we see
18 the first RPM, he doesn't keep monitoring all the time.
19 So, we don't do that (inaudible).

20 MR. HUFFMAN: So, he didn't, the second
21 engineer --

22 CHIEF ALI: Neither did I.

23 MR. HUFFMAN: -- didn't see it?

24 CHIEF ALI: Neither did I.

25 MR. HUFFMAN: Okay. Nothing further.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 [REDACTED] Mr. Usher?

2 MR. USHER: Yes, please. Thank you. Mike
3 Usher, Houston Pilot Board. Chief, what type of fuel
4 were you using?

5 CHIEF ALI: LSMGO.

6 MR. USHER: Excuse me?

7 CHIEF ALI: LSMGO.

8 MR. USHER: Low sulphur?

9 CHIEF ALI: Low sulphur.

10 MR. USHER: Yes.

11 CHIEF ALI: We change over to low sulphur one
12 and a half days before we enter the U.S. coast.

13 MR. USHER: Where did you come from?

14 CHIEF ALI: I come from India, in Chennai.

15 MR. USHER: No, no, your voyage.

16 CHIEF ALI: Oh, St. Lucia.

17 MR. USHER: Where were you headed? Where was
18 your voyage planned to? When you departed here, where
19 were you going?

20 CHIEF ALI: We were supposed to go to Mexico
21 (unintelligible).

22 MR. USHER: Okay. Looking on this bell tape,
23 now, this is when you got underway, at 23:59.0, and I
24 went to five for the record, is that -- pilot ordered
25 dead slow astern from the bridge.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHIEF ALI: Right.

2 MR. USHER: Now, this is approximately
3 00:02.5, according to the bell tape, the pilot ordered
4 stop engine from the bridge.

5 CHIEF ALI: Right.

6 MR. USHER: What are these numbers, there's
7 serial numbers under each segment of (inaudible)?

8 CHIEF ALI: I don't know that.

9 MR. USHER: In this case, it's 83009768,
10 Chief Engineer could not identify those numbers.

11 CHIEF ALI: No.

12 MR. USHER: Okay. So, approximately three
13 minutes you had sternway?

14 CHIEF ALI: Yes.

15 MR. USHER: Okay. So, at this time, would
16 you -- are you telling us that three minutes from
17 departure, you noticed 80 RPMs on the tachometer?

18 CHIEF ALI: That's right.

19 MR. USHER: It took three minutes, that's
20 all, according to your bell tape?

21 CHIEF ALI: Yes.

22 MR. USHER: Okay.

23 CHIEF ALI: That's three minutes from 33 come
24 up to 80 RPM.

25 MR. USHER: Okay. So, apparently, I'm just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 speculating here, the pilot noticed that you had too
2 much sternway, he orders dead slow ahead from the
3 bridge approximately four minutes from departure?

4 CHIEF ALI: Yes.

5 MR. USHER: He saw no response. At four and
6 half minutes, he orders slow ahead from the bridge. At
7 this time, you're telling us, at approximately five and
8 a half minutes from departure --

9 CHIEF ALI: Yes.

10 MR. USHER: -- you hit emergency stop?

11 CHIEF ALI: Yes.

12 MR. USHER: That's indicated on the bell
13 tape?

14 CHIEF ALI: Right.

15 MR. USHER: Now, it shows at the exact time
16 you're at stop as 00:05:0. Now, at 00:05.5, the bridge
17 orders dead slow ahead. Did you get a response?

18 CHIEF ALI: No.

19 MR. USHER: No response?

20 CHIEF ALI: No.

21 MR. USHER: The next command was full --

22 CHIEF ALI: No.

23 MR. USHER: -- and you got no response?

24 CHIEF ALI: No.

25 MR. USHER: Now, how about this from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bridge, this stop engine at 00:07?

2 CHIEF ALI: That doesn't matter at all
3 because the engine was already stopped, dead stop
4 (inaudible).

5 MR. USHER: It was ordered from the bridge,
6 but it didn't matter?

7 CHIEF ALI: This --

8 MR. USHER: Okay.

9 CHIEF ALI: This has no meaning at all,
10 because it was still a stop, at dead slow ahead, at
11 full also, it was stopped.

12 MR. USHER: Very good. So, according to the
13 bell tape, at 01:09.5, the next orders from the bridge,
14 the EOT, were dead slow ahead? And that was from the
15 bridge and that was --

16 CHIEF ALI: Yes, after the fire was put out.

17 MR. USHER: -- after recovering from the
18 incident?

19 CHIEF ALI: Yes.

20 MR. USHER: Okay.

21 CHIEF ALI: That was no problem at all.

22 MR. USHER: And you took the -- you decided
23 to hit emergency stop? You weren't ordered from the
24 bridge, you just did it yourself?

25 CHIEF ALI: Yes, the captain was telling

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 (inaudible) we're going 80 RPM, we want dead slow
2 astern, that's 30 RPM, it's going up to 80. So, then I
3 decided to switch, because there was no way I could
4 bring from 80 to 30. I said, the best thing to do is
5 to stop.

6 MR. USHER: Okay. Okay. Thank you, Chief.
7 I have no further questions.

8 [REDACTED] Okay. Chief, just one
9 question. Do you recall how much low sulphur fuel you
10 had onboard?

11 CHIEF ALI: We had approximately I think 570
12 or 560 metric tons of LSMGO.

13 [REDACTED] Okay. Is that normal for you
14 to have that much low sulphur fuel?

15 CHIEF ALI: Yes, we normally take full
16 bunkers, we can take up to 870 metric tons.

17 [REDACTED] Okay.

18 CHIEF ALI: So, the most (inaudible) would
19 like to have enough bunkers, but we ensure we don't
20 exceed 85 percent of the tanks in any case.

21 [REDACTED] All right. But is this low
22 sulphur fuel, I mean --

23 CHIEF ALI: Low sulphur fuel.

24 [REDACTED] All right.

25 CHIEF ALI: Yes, sir.

1 [REDACTED] So you don't -- is that kind of
2 standard for you guys now, for your ship? To use low
3 sulphur fuel even if you're not in an ECA?

4 CHIEF ALI: No, we are not in an ECA area, we
5 use the normal high sulphur fuel, maximum 3.25 percent.

6 [REDACTED] Okay. So when you say that --

7 CHIEF ALI: We don't use LSMGO in an non-ECA
8 area.

9 [REDACTED] All right. And, Captain, a few
10 questions regarding your fire mains.

11 CHIEF ALI: Yes.

12 [REDACTED] Were they operating at normal
13 capacity --

14 CHIEF ALI: Yes.

15 [REDACTED] -- as far as you are aware?

16 CHIEF ALI: They were operating, normally we
17 don't -- we use our two hoses, the fire was so much,
18 the guys had to fight fires from both sides, so we had
19 to rig up six hoses. So, automatically (inaudible) and
20 the flame was huge, I realized I had to do something to
21 (inaudible) the pressure, so I started (inaudible).
22 And then, the main problem wasn't the fire, the oil
23 that was floating, leaking outside astern towards the
24 ship and going over the (inaudible) of the ship.

25 So, we did our best to push the oil away

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from the ship so that we don't -- the fuel tanks, the
2 ship side, we don't (inaudible) out and get the flame
3 off us. So, we had to -- it required at least six to
4 seven hoses. And we ended up starting the second
5 (inaudible) I still found it that it was not possible,
6 then I told the second engineer and the third engineer,
7 go down the (inaudible), go down to the engine room and
8 I realized I had a problem now with the fuel,
9 (inaudible) ruptured the tank, I was not too sure which
10 tank was ruptured.

11 It was that point of time (inaudible) both
12 side, I decided to change over from the main bunker
13 tank to a service tank, smaller service tank inside the
14 engine room (inaudible) and we have the fire pump
15 running and we have (inaudible) going, so we
16 (inaudible) when we changed over to the service tank,
17 they ran down, shut off completely the (inaudible) to
18 bring up pressures on the fire. And that's already we
19 operate even the foam (inaudible) foam onto the deck to
20 ensure that the tanker doesn't have an explosion, so
21 you operate the foam flow. That's how we (inaudible).

22 [REDACTED] All right, Chief. Thank you.
23 I have no further questions.

24 MR. WISNIEWSKI: Luke Wisniewski, NTSB. Just
25 one more. So, would you say that the training that you

1 perform firefighting drills, did that really help out?

2 CHIEF ALI: Really helped out. The guys
3 (inaudible) to us, we had to back off with the flame,
4 even with some nozzling to spray more, the flames were
5 such a velocity, it was just (inaudible) us. I kept
6 people a safe distance (inaudible) the group performed
7 excellently.

8 MR. WISNIEWSKI: Fantastic, that's great to
9 hear.

10 CHIEF ALI: And the worst part of it was, the
11 flames weren't the problem. As soon as we extinguish
12 the flame, because of the heat, the vapor would start
13 ignite the smoke (inaudible) suffocate us. So, then we
14 realized we can't put out all the fire to cover the
15 deck, because the next gangway caught fire and then
16 (inaudible) start fire, start falling on the deck.
17 That's what time we realize we have to flood the deck
18 with the foam, so we did that.

19 MR. WISNIEWSKI: So, Chief, you indicated
20 that you had the main fire pump on, the emergency fire
21 pump, is there any other bilge or --

22 CHIEF ALI: No, another pump too, so you had
23 very little pressure. But that's the reason I told the
24 second engineer to start the third pump, third
25 generator too when I send him down with the (inaudible)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 start the third generator too entirely if he required,
2 and it's normally just too much, but then as soon as we
3 closed the (inaudible) we had enough pressure to
4 (inaudible).

5 MR. WISNIEWSKI: You had to put a third
6 generator online?

7 CHIEF ALI: Yes, we did.

8 MR. WISNIEWSKI: To support the --

9 CHIEF ALI: It was not required for the fire
10 part, we had to do that because the chief officer
11 decided (inaudible) before operating the foam, we
12 decided let's use the ballast pump, and (inaudible) all
13 flow the water through the ballast tanks out to the
14 deck to ensure it's going.

15 MR. WISNIEWSKI: Yes.

16 CHIEF ALI: So, we did that and that was a
17 big help to us. What happened was, when they did that,
18 the water on the deck started going to the scuppers and
19 the scuppers are designed in this way, so the water
20 went back and (inaudible) what happened was, when the
21 ship was full aft, we had, I think, the water going
22 upstream and oil was leaking from (inaudible) upstream
23 from the port side (inaudible) starboard side, which
24 had the leak. And it was going forward, so the tank
25 was breached, the main fire was on the port side. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 starboard side, the bulk of oil was floating onto the
2 water, so you had -- the ship was dead, flame breached
3 the (inaudible) of the ship on the starboard side, not
4 on the port side, because of this.

5 MR. WISNIEWSKI: Okay.

6 CHIEF ALI: All the oil was going like this.
7 And so, then this happened and then they flooded the
8 deck with the water, the flames kept the oil back and
9 that happens a lot when (inaudible) with the fire hoses
10 we were trying to drive off the oil from the side and
11 that was (inaudible) us. So, the third generator was
12 started mainly for the ballast pump --

13 MR. WISNIEWSKI: Okay.

14 CHIEF ALI: -- because the ballast pump
15 (inaudible) was too high.

16 MR. WISNIEWSKI: Oh, yes.

17 CHIEF ALI: So that's the reason I decided to
18 start the third.

19 MR. WISNIEWSKI: Okay. Now, is that part of
20 your procedures to do that?

21 CHIEF ALI: That's part -- it's not part of
22 the procedures, because that was --

23 MR. WISNIEWSKI: Use your corporate knowledge
24 or understanding of --

25 CHIEF ALI: This knowledge I don't

1 (inaudible).

2 MR. WISNIEWSKI: (Inaudible.)

3 CHIEF ALI: Yes, when the captain got
4 (inaudible) and I had to fight the fire on the ship, on
5 the port and starboard side, the ship was tied up, it
6 was on fire, there was no place where we could go. At
7 that -- in this operation, as you (inaudible) part of
8 the procedure, it was part of the experience, which --

9 MR. WISNIEWSKI: Yes.

10 CHIEF ALI: -- I remember that.

11 MR. WISNIEWSKI: Thank you.

12 MR. DAVIES: (Inaudible) Chief, have you been
13 asked to calculate how much fuel actually spilled out
14 of the ship?

15 CHIEF ALI: According to my calculations,
16 which are (inaudible), I think it was around
17 (inaudible) 250 metric tons. I had good figures, I'm
18 not too sure now how much I gave, but just the amount
19 that the metric tons made up, I give them to somebody
20 (inaudible). I like to know the exact quantity
21 (inaudible).

22 MR. DAVIES: Approximately 250 metric tons?

23 CHIEF ALI: (Inaudible.)

24 MR. DAVIES: Okay.

25 [REDACTED] Is that what spilled or is that

1 just what was lost?

2 CHIEF ALI: Well, when the oil went out, it
3 went from the ship (inaudible).

4 [REDACTED] Right. I mean, of that 250,
5 did some of that burn off or was that actually what was
6 spilled? I'm just trying to differentiate --

7 CHIEF ALI: Yes.

8 [REDACTED] -- between what was spilled,
9 what may have been burned off.

10 CHIEF ALI: What I would think is the
11 intensity of the flame and LSMGO, it's very less likely
12 to have anything (inaudible) and I also saw the guys
13 (inaudible) of the tug boats were sent to put out the
14 fire, they were not trying to put out the burning oil
15 on the water's surface. They were pushing it, they
16 were making all the oil burn off, so I don't know for
17 sure. The master said most of the oil would have got
18 burned off (inaudible).

19 [REDACTED] Fair enough.

20 MR. DAVIES: And the burning oil is still
21 (inaudible).

22 CHIEF ALI: Yes (inaudible) I think of
23 incident like (unintelligible) when the crude oil
24 (inaudible) the fire that the crude oil was like
25 (inaudible) it doesn't. The worst thing (inaudible) is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there any oil, that destroys the (inaudible) it grows
2 into a ball, goes down, goes up the shores, and that's
3 the worst (inaudible) tragic moment with the heavy oil.

4 MR. DAVIES: Yes.

5 CHIEF ALI: LSMGO, I would (inaudible) even
6 the one that was floating on the water, I saw the tug
7 boats not putting it out. I think that's the right
8 thing to do, not to pollute the water.

9 [REDACTED] Does anyone else have any
10 follow-up questions?

11 MR. USHER: I have one. Mike Usher, Houston
12 Pilot Board again. Chief, did you have any other
13 engine problems after this incident? After you got
14 back and to come over here to the dock, did the engine
15 respond okay?

16 CHIEF ALI: No, we didn't, after the
17 incident, we didn't use the engine. We gave orders to
18 the tug boats.

19 MR. USHER: Oh (inaudible) ship over?

20 CHIEF ALI: Yes.

21 MR. USHER: Okay. You had tethered to the
22 assist tugs. I think you mentioned this earlier, Mr.
23 Davies may have asked or someone, but have you ever
24 seen an engine race like this before, where they
25 increase RPMs that quickly?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHIEF ALI: No.

2 MR. USHER: You've never experienced --

3 CHIEF ALI: In my --

4 MR. USHER: -- that before?

5 CHIEF ALI: In my experience, I haven't seen
6 this happen at all.

7 MR. USHER: I've heard that engines can get,
8 like a gasoline engine, for instance, I've heard that
9 they can get a high enriched atmosphere --

10 CHIEF ALI: Yes.

11 MR. USHER: -- and the intake can cause them
12 to race. Could that happen to --

13 CHIEF ALI: No, in that case, it should be an
14 injection of high vapor from the turbo charger. There
15 is nowhere else you can get from the fuel nozzles that
16 much quantity to happen. If you enrich --

17 MR. USHER: So the high vapor from the turbo
18 charger --

19 CHIEF ALI: Turbo charger, if you (inaudible)
20 and the injection of the (inaudible) the turbo charger
21 itself is (inaudible) only thing that can happen. That
22 usually happen in case of fires when there is a huge
23 vapor, flammable vapor (inaudible) which is not burning
24 and the engine is running, it gets injected into the
25 turbo charger and then off to the engine.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. USHER: So the intake (inaudible)?

2 CHIEF ALI: And then it can happen, otherwise
3 it cannot happen.

4 MR. USHER: Do you think when you engaged the
5 emergency stop, did the RPMs immediately --

6 CHIEF ALI: Yes.

7 MR. USHER: -- fall off?

8 CHIEF ALI: Immediately start falling off.

9 MR. USHER: Immediately fell off?

10 CHIEF ALI: The fuel was immediately cut off.

11 MR. USHER: Did the engine -- how long did it
12 take for the engine to stop?

13 CHIEF ALI: I don't exactly know the timing,
14 because --

15 MR. USHER: Approximately?

16 CHIEF ALI: A few seconds, we had the whole
17 incident, I mean, the (inaudible) took care of the
18 moment (inaudible) to stop.

19 MR. USHER: So when you hit the emergency
20 stop, does that shut off the air or the fuel to the
21 engine?

22 CHIEF ALI: Fuel. The fuel.

23 MR. USHER: The fuel? Okay. I'm surprised,
24 air would be quicker.

25 CHIEF ALI: Air, you can't stop the turbo

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 charger air from getting inside the (inaudible) close
2 it off.

3 MR. USHER: Because of the intake
4 (inaudible)?

5 CHIEF ALI: (Inaudible.)

6 MR. USHER: In your opinion, do you think it
7 was enriched turbo charged caused the -- vapor to the
8 turbo --

9 CHIEF ALI: No.

10 MR. USHER: -- charger caused the racing?

11 CHIEF ALI: No. You must have some high
12 vapor in the engine room at that time (inaudible) so
13 this what sometimes happens is that (inaudible) some
14 leakage somewhere, some flammable vapor and the
15 (inaudible) fans were pumping the flammable gas along
16 with the air and that can be a reason for the -- that
17 can happen (inaudible) engine start speeding.

18 MR. USHER: Have you had -- when was the last
19 time you did preventative maintenance on those turbo
20 chargers?

21 CHIEF ALI: They did it when I was not here,
22 on December 2015, they did it (inaudible) they did it
23 with the --

24 MR. USHER: SCMS?

25 CHIEF ALI: -- proper, the turbo charger

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 service engineers, they (inaudible).

2 MR. USHER: I see. Was that like an
3 engineering compliance --

4 CHIEF ALI: Engineering compliance for the
5 (inaudible) after so many running hours, you have to do
6 this service.

7 MR. USHER: Okay.

8 CHIEF ALI: It was not done by the ship
9 staff, it was done by the (inaudible) double charger
10 service company.

11 MR. USHER: Okay. Well, I can go on record
12 to say I hope that you all continue (inaudible) this
13 problem, that would not be good.

14 CHIEF ALI: I don't think anybody wishes --

15 MR. USHER: No.

16 CHIEF ALI: -- to be on this ship (inaudible)
17 --

18 MR. USHER: No.

19 CHIEF ALI: -- this thing can happen. I
20 think nobody would wish that to happen.

21 MR. USHER: I understand.

22 CHIEF ALI: Even though good experience, I
23 would not like to have the experience of getting this.

24 MR. USHER: No. Well, the pilots too. This
25 is the first time in port something ever happened to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 them like that, so it was quite an experience for all
2 of you. And I commend you all for handling this
3 disaster quite well. All the unlicensed deck crew
4 onboard, the assist tug personnel, everybody did a
5 great job.

6 CHIEF ALI: Thank you very much.

7 MR. USHER: Thank you very much, Chief, for
8 your time.

9 [REDACTED] That concludes the interview.

10 (Whereupon, the above-entitled matter went
11 off the record.)
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

MATTER: Allision Involving the Aframax River
on the Houston Ship Channel, Sept. 6, 2016
Accident No. DCA16FM055
Interview of Muzaffer Ali

DATE: 09-07-16

I hereby certify that the attached transcription of page 1 to 50 inclusive are to the best of my professional ability a true, accurate, and complete record of the above referenced proceedings as contained on the provided audio recording; further that I am neither counsel for, nor related to, nor employed by any of the parties to this action in which this proceeding has taken place; and further that I am not financially nor otherwise interested in the outcome of the action.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com