

Appendix B

Richard Klasen Interview Transcript

UNITED STATES OF AMERICA
NATIONAL TRANSPORTATION SAFETY BOARD

In the Matter of:
PIPELINE RUPTURE and FIRE

DCA-99-MP-008

Recorded Interview of:
RICHARD KLASEN

May 17, 2001

BEFORE:

ALLAN C. BESHORE
NTSB, Chairman
PETER KATCHMAR, Pipeline Safety
LINDA PILKE-JARVIS, Ecology
JERRY SCHAU, B.P. Pipelines
CRYSTAL THOMAS, Co-Op Student, NTSB
TONY BARBER, US EPA
JOHNNY PARRISH, Brooks Petroleum

On behalf of Mr. Klasen:

J. RONALD SIM, ESQUIRE
Stoel Rives, LLP
600 University Street, Suite 3600
Seattle, Washington 98101-7500
(206) 386-7592

TABLE OF CONTENTS

WITNESS:	BESHORE	SCHAU	KATCHMAR
RICHARD KLASSEN	4	103	113

EXHIBITS	PAGE
No. K-A	7
No. K-B	19
No. K-C	29
No. K-D	37
No. K-E	55

P R O C E E D I N G S

(8:30 a.m.)

1
2
3 INVESTIGATOR BESHORE: Richard, my name is
4 Allan Beshore, as you know. I was the lead
5 investigator for NTSB on the accident investigation
6 into the rupture fire June 10.

7 We're going to start out. I'll ask a few
8 questions, and kind of start off. And then, when I run
9 out of questions, or when I need to collect my
10 thoughts, we're going to go around and each of these
11 folks will have an opportunity to ask you questions.

12 So I want to make sure that you know who they
13 are and who they're with.

14 MR. SCHAU: I'm Jerry Schau with B.P.

15 MR. KATCHMAR: Peter Katchmar with the Office
16 of Pipeline Safety, U.S. D.O.T.

17 INVESTIGATOR BESHORE: Go ahead, Crystal.

18 MS. THOMAS: Crystal Thomas. I'm a co-op
19 student with the NTSB.

20 MR. BARBER: Tony Barber with the US EPA.

21 MR. PARRISH: Johnny Parrish, with Daniel.
22 Formerly, official of Rosemont Petroleum.

23 MS. PILKE-JARVIS: Linda Pilke-Jarvis with
24 the Washington State Department of Ecology.

25 INVESTIGATOR BESHORE: And, Richard, you have

1 a representative with you, if you could identify
2 yourself.

3 MR. SIM: I'm Ron Sim. I'm Richard's lawyer,
4 Stoel Rives law firm in Seattle.

5 INVESTIGATOR BESHORE: Thank you.

6 Just, if you could for the record, give us
7 your full name, please?

8 MR. KLASSEN: Richard James Klasen.

9 INVESTIGATOR BESHORE: And who are you
10 employed by?

11 MR. KLASSEN: I'm employed by the Equilon
12 Pipeline Company.

13 INVESTIGATOR BESHORE: And who were you
14 employed by at the time of the accident?

15 MR. KLASSEN: The Olympic Pipeline Company.
16 Whereupon,

17 RICHARD JAMES KLASSEN
18 was interviewed and gave the following statement:

19 E X A M I N A T I O N

20 BY MR. BESHORE:

21 Q What was your title then?

22 A I was a Senior Staff Engineering Assistant.

23 Q What -- well, I don't want to get into that.

24 Just kind of, if you could, just go back from when you
25 started at Olympic and run through your duties and your

1 various assignments, and how your career progressed up
2 to the accident.

3 A Okay. I came to Olympic Pipeline in February
4 1980 as a dispatcher. I remained in that position
5 until February 1989, when I became a Central Area
6 Supervisor for Operations.

7 And to back up, while I was in the
8 dispatching position, I performed scheduling duties,
9 relief, field relief -- supervisor positions, other
10 kind of -- just about anything we had out there, we had
11 the opportunity to go do.

12 Then, in March of 1991, I became the
13 Engineering Assistant, and I stayed in that position
14 until I resigned July 2000.

15 Q What was your educational background,
16 Richard?

17 A Oh, I spent a couple of years fooling around
18 with different universities in the State of Texas. I
19 went to the North Texas State University, first
20 semester, ran out of money, came back to Houston. And
21 just took some part-time classes at the University of
22 Houston.

23 Q Okay, so you don't have a college degree?

24 A No, it cost too much at the time.

25 Q At the time of the accident, who were you

1 reporting to?

2 A I was reporting to Mr. Craig Hammit, the
3 Engineer.

4 Q And did you have any people reporting to you
5 in a supervisory role?

6 A No.

7 Q When did Craig start? Do you recall?

8 A Craig came to Olympic in I believe it was
9 February '97.

10 Q Who had you reported to before him coming on
11 board?

12 A The previous engineer before Craig was a
13 gentleman by the name of Steve Hoye. And before Steve
14 Hoye was the engineer, Craig Hammit -- he was the
15 first.

16 I'm sorry, not Craig Hammit. Richard Craig.
17 Richard Craig was the very first engineer.

18 Q So Craig came in to replace Steve; is that
19 correct?

20 A That's correct.

21 MR. BESHORE: Before we go further, I had
22 forgotten. I want to enter this Compulsion Order,
23 attach it as Exhibit A and enter it into the record.

24 /

25 /

1 (Whereupon, the previously-
2 identified document,
3 Exhibit A, was received
4 into evidence.)

5 BY MR. BESHORE:

6 Q Let's just go, Richard, back to -- let's talk
7 about the internal inspections if you'd care to talk ?
8 little bit. And you were with the company in 1991?

9 A Yes.

10 Q And what was your involvement in the "smart
11 pig runs" that were done in 1991? Do you recall?

12 A Yes. Sure. In '91, we started the process
13 of smart pigging when Shell was the operator of Olympic
14 and we hired Marmac Engineering to try to put together
15 a program for us.

16 And then during that process, the ownership,
17 or the operatorship of Olympic changed to Texaco
18 Trading and Transportation.

19 So the work with Marmac, that Marmac had been
20 doing, was canceled and we started doing it ourselves.
21 So Mr. ~~Hoyt~~ and I worked on the contract issues with --
22 the company at the time that we chose was Tub^oscope.

23 We also, we actually went to several
24 different smart pigging magnetic flux leakage companies
25 to get information on which one we'd like to inspect

1 the pipelines, and landed on Tub^oscope.

2 Steve was a key role in working out the
3 contract issues, pricing and all those kind of items.
4 And he and I worked together on putting together the
5 program for inspecting all the line segments over a
6 two-year time frame.

7 Q Was that the first time that internal
8 inspections had been run on the pipeline?

9 A No. The -- in the early eighties, Mobil^o had
10 contracted both VETCO and I think '81 or Tub^oscope.
11 And then, in '82, it was either VETCO or Tub^oscope.
12 And they had inspected the 16-inch lines and the 12-
13 inch line to Seattle.

14 I believe that's what we had. It was the
15 Ferndale, the Anacortes 16-inch, the All^eyn ~~ran~~ the 16-
16 inch, the Renton to Seattle 12-inch. And I believe
17 that was all.

18 Oh, no. And the Vancouver. I believe the
19 Vancouver 12-inch was also inspected.

20 Q Okay, to get back into 1991, let's talk about
21 this section from Ferndale to All^eyn. You guys did an
22 internal inspection on that. Do you recall how did the
23 project go?

24 A It was we finally got the contract issues
25 worked out. And our inspection, I think, took place in

1 the fall of the year, November, sometime like that
2 where we started doing the inspections.

3 I believe we just inspected a ^{few} ~~view~~ of the 16-
4 inch line sections. We may have inspected all of the
5 16-inch line sections that year.

6 ~~Tub~~^Dscope came out, did their work. The
7 inspector at the time, as I recall, was a guy by the
8 name of Gary Zellers. He was the field lead person.

9 We went through the process and reviewed the
10 data in the field. And then, later on, they sent us a
11 final report. Then we went out from that data and
12 performed some excavations.

13 Q Did you end up with a lot of repairs? How
14 would you characterize that?

15 A Ninety -- ninety-one. Well, we got the data
16 back probably I think it was early '92. So, in '92, we
17 -- and I don't remember how many repairs we had. Seems
18 like there was about 35 or so inspections that we had.

19 I wouldn't call them all repairs, but I think
20 there was around 35.

21 Q Tell us a little bit about how you guys
22 verified the internal inspection results. Did you do
23 verification ~~dig~~ and that kind? I mean how did that
24 process work?

25 A Well, we would first go look at -- if they

1 told us there was something that was extreme, that's
2 the first place we'd go look because we were concerned
3 about not having a whole lot of information.

4 And we ended up finding, going out and
5 finding a lot of internal type anomalies. That was
6 very difficult for people to -- there wasn't something
7 external for them to just jump out and get them, so
8 they ended up being pipe mill anomalies.

9 So we ended up at that time hiring some
10 people to do some ~~U~~^I inspection to try to, you know,
11 find something, because we just couldn't believe we
12 were in the wrong place.

13 And that's how they ended up finding some of
14 the internal pipemill anomalies or what we might have
15 identified as possibly a lamination.

16 Q Did you find that the results reported by
17 Tuboscope pretty accurately reflected what you found
18 out there?

19 A Early on, it seemed like they were very over-
20 exaggerated. They called out things that were higher.
21 When we'd go and look at them, we'd go, "Oh, my gosh,
22 you know, this is nothing compared to what they were
23 telling us these things should be."

24 Or much less in the scale of magnitude.
25 And it's hard to remember. It's a while

1 since we did that.

2 Q Let's move forward a little bit then to the
3 Ebey Slough accident. And what year, do you recall,
4 when was that?

5 A On the 20-inch line?

6 Q Yes.

7 A Where the pipe was buckled on the south side,
8 or north Ebey Slough. That was in the summer of '96.
9 It seems like it was in June. I believe it was in
10 June.

11 That was an outward buckle of the 20-inch
12 pipe, 250'' wall just inches beyond a -- I believe it was
13 a 30-35 degree bend fitting. It was a heavier wall
14 pipe. It was also transitions from I think a half-inch
15 wall down to the, 250'' wall.

16 It was at the lowest spot in this levy
17 crossing. It ended up being the anomaly, or the crack
18 in the pipe ended up being approximately the 1230-1130
19 position on the top right of the pipe where the crack
20 occurred in the crest of the buckle.

21 Q Do you recall why the buckle occurred?

22 A No. There was a lot of speculation as far as
23 going back to it could have been as early as original
24 construction damage.

25 Or it could have been that levy had been

1 worked on over the course of the close to 30 years that
2 that pipe was in there where additional material was
3 laid upon to increase its elevation of the levy dike.

4 It could have been that. I don't know.

5 Q Was there any indication on the internal
6 inspections that you guys had done in that vicinity?

7 A Not that I recall.

8 Q Had you run any other kind of pigs besides
9 the Tuboscope runs, like a caliper pig, for example, to
10 look for that kind of --?

11 A We had run, actually, we hired Tuboscope.
12 And they were concerned about whether their tool would
13 make it through the 20-inch line, because the 20-inch
14 had never been inspected before.

15 And so they hired Enduro to run their caliper
16 tool through to verify that their Tuboscope would make
17 the run, because they were concerned that we may not
18 have had all of the minimum 3D bends.

19 And it ended up that Enduro's tool told them
20 that we did have adequate bends to properly get their
21 tool through from ^{launch} wash to receive.

22 Q And that was back in the '91-'92 time frame?
23 That wasn't like just prior to the Ebey Slough
24 accident?

25 A Oh, no. I think we did the 20-inch in '92.

1 Q Okay, so that was based on your original two-
2 year plan that you said you had.

3 A Right.

4 Q All right. Then what happened? Just
5 describe a little bit what happened as a result of the
6 Ebey Slough spill.

7 A Well, the result of that made us do a lot of
8 things. First of all, it made us wonder if there were
9 other problems of a similar type.

10 Also, the Department of Ecology got involved
11 and wrote us a letter -- an order -- I'm sorry -- just
12 to go and look for similar type buckles or in the
13 pipeline, similar to that that were found at Ebey
14 Slough.

15 And so then we went back and we checked with
16 the people that had actually done the inspections. We
17 contacted Tubescope and asked them if they could have
18 identified this.

19 And as I recall, they couldn't. And then we
20 checked with Enduro, the people who had done the
21 caliper inspection, and asked them to do their
22 evaluation. You know, "Hey, can you go back and look
23 at that data and see if you can find something for us?"

24 We talked to a gentleman there who was a long
25 time at Enduro, a management person, a Jim ^{furr}~~Furr~~. And

1 he or someone in his analyst group reevaluated that
2 '91-'92 Enduro inspection and said that they had
3 improved their analysis method and came back with a
4 listing of locations from that inspection that
5 identified that indication from that anomaly, that
6 buckle at Ebey Slough. And a couple of others that
7 were similar, but I believe they were all smaller.

8 Q And what did you guys do with that
9 information?

10 A Well, then we went out and looked for them,
11 found them. And I think we did several more cutouts
12 and repairs.

13 And I'm not sure but I think one of them was
14 insignificant and we may have left that one.

15 Q And was this all in the 20-inch?

16 A Yes.

17 Q Okay, so the other buckles and the repairs
18 that you did on the 20-inch were resolved at the 1991
19 Enduro data?

20 A Yeah, '91 or '92, whenever that was
21 performed.

22 Q And then you went on to do other internal
23 inspection surveys on other parts of the pipeline.
24 What prompted that?

25 A Well, from that same order from the WADOE, we

1 set out to inspect all the line segments that were
2 piggable. And then we hired -- we went back to Enduro,
3 since we had confidence in their capabilities.

4 And, in January of '97, Enduro sent a
5 representative up. His name was Eric Buschausen,
6 probably one of their best technicians I'd ever worked
7 with. He came out in the field and we did the rest --
8 we did actually reinspect all those lines. All lines
9 that we had^k Olympic, with the tools that they had
10 available.

11 Q What did that reveal?

12 A Golly. Shoot. Well, there were -- let's
13 see. Well, whatever their list came up with, you know.
14 I can't remember all of them.

15 Q Was that before or after the Tub^oscope
16 internal inspection? Was that before or after the
17 Tub^oscope internal inspection?

18 A Oh, it was -- we had performed the Tub^oscope
19 inspections in '96. I believe it was in March.

20 Q And what prompted that to be done?

21 A Oh, we had done some risk assessments back
22 actually in I believe it was 1990 when Shell was the
23 operator of Olympic.

24 And that was one of our plans or goals for
25 the company, was to do internal inspections on a five-

1 year program.

2 As far as we knew, nobody else was, or very
3 few people in the industry were doing something of that
4 type. And we thought it was a good idea.

5 Q So was that unrelated to the Ebey Slough?
6 That was the routine five-year inspection cycle?

7 A That was just something we decided to do on
8 our own.

9 Q And so the result of the Enduro inspection
10 was the result of the Washington Department of Ecology
11 and the Ebey Slough accident?

12 A Correct.

13 Q Okay. Now you hadn't been -- had you ever
14 been to the water treatment plant before the accident?

15 A Actually, no, I had not. The closest I ever
16 got was the blocked valve on the main road on Silver
17 Beach. I'd never ventured down into the -- down below
18 to the treatment plant.

19 Q Now were you involved in preparing any of the
20 correspondence that was initiated from Olympic to
21 Department of Ecology after the Ebey Slough?

22 A Yes.

23 Q And do you recall in general what?

24 A I kept record of the -- all the inspections
25 that we had performed, and made out a spreadsheet. I

1 also participated in some of the early drafts of the
2 letters we would send to Ecology.

3 Q Was Craig there at that time, or was that
4 before Craig came on board?

5 A No, that was in '96. That was before Craig
6 got there.

7 Q So that was yourself and Steve, and who else
8 would have been involved in that?

9 A Well, actually, Steve Hoy~~x~~ went on a special
10 project I think sometime in '95.

11 Q Okay, so there was a gap in time there where
12 you really weren't reporting to Steve, and Craig hadn't
13 come in yet?

14 A Right.

15 Q Who were you working for, I guess, or
16 reporting to at that point in time?

17 A Well, without someone directly involved
18 there, we had a lot of temporary type head office,
19 engineers, that would show up for short periods of
20 time.

21 One guy in particular that was there quite a
22 bit was Bill Walte~~x~~math. We had some other folks who
23 were there for just maybe a week.

24 And then there was also the Cross-Cascades
25 project going on. A lot of those people were very

1 handy so I used just about anybody I could grab a hold
2 of.

3 Q Well, was ^{Hopf}~~Huff~~ there at that time? Frank
4 ~~Huff~~^{Hopf}?

5 A Oh, yes. He was the manager. And I worked
6 closely with him with this.

7 Q Did you have any meetings with the Department
8 of Ecology folks on...?

9 A Yes. Frank and I attended -- I believe there
10 was only two that I attended. Now there may have been
11 some others, but I went to two of them and met with
12 Paul O'Brien and Elan Story. And I'm not sure if there
13 was anyone else there or not.

14 Q I mean, what were the general discussions?
15 Were they friendly discussions? Were they --

16 A Oh, sure. I don't yell at anybody.

17 (Laughter.)

18 The first time I remember we went and spoke
19 with them was in reference to the first order. Some of
20 the statements in the order didn't -- the ~~College~~ the
21 WDOE didn't really understand the ability or the
22 capabilities of the different types of tools.

23 I think, in their letter, it said that we
24 were doing magnetic flux inspection. That would tell
25 us to try to look for similar anomalies that were

1 similar to those on the 20-inch buckle.

2 We had to go and explain to them that, "Well,
3 that tool doesn't really perform that type of -- it
4 doesn't find those things."

5 So we explained to them what would and told
6 them the plan of action that we'd like to take and got
7 them to agree, and they agreed with that.

8 Q So they concurred with your suggestions?

9 A Yes.

10 MR. BESHORE: Okay, I'm going to go ahead and
11 mark this into Exhibit B. And it's -- I have two
12 copies, Richard, so you can start looking at that.

13 MR. KLASSEN: Okay.

14 MR. BESHORE: And that's a three-page fax
15 from Olympic to Department of Ecology that's included
16 in NTSB's factual report on the internal inspection
17 process.

18 And attached is a two-page spreadsheet from
19 Excel.

20 (Whereupon, the previously-
21 identified document,
22 Exhibit B, was received
23 into evidence.)

24 BY MR. BESHORE:

25 Q Richard, do you recognize that?

1 A Yes, I do.

2 Q The document there.

3 A This was my work product.

4 Q Okay, what was the date of the fax?

5 A June 3, 1997.

6 Q Yeah, it's a little confusing. There's a
7 date it was faxed to us.

8 A The date that we faxed it to the Department
9 of Ecology was June 3rd.

10 Q This is your writing?

11 A Yes, the cover sheet is my writing.

12 Q And you prepared the chart?

13 A Yes.

14 Q Okay, let's just talk about it a little bit
15 here. The top anomaly, I guess, the first one there,
16 the Ferndale to the All^eyn section, is that in the
17 vicinity as you later found out the water treatment
18 plant?

19 A Yes. Yes, it was.

20 Q Now it says here in the column that it was
21 scheduled to be done in May.

22 A That's correct.

23 Q Do you recall why that hadn't been completed?

24 I mean this was actually dated in June, so that had not
25 been done in May?

1 A No. No, it was not done in May.

2 Q And do you recall why it hadn't been done in
3 May?

4 A Well, it was probably because they were
5 working on all these others that were worked on in May
6 that were the 16-inch. Those go all the way through
7 May 20 -- May 22nd for repairs.

8 And there's even, on the next page, there's
9 May 29 and May 30 for some other 16-inch repairs. We
10 evidently just couldn't get around to it for the other
11 ones we were working on that were of a higher priority.

12 Q Were you in the field quite a bit when they
13 dug up these things? Or were you more of an office
14 guy?

15 A I was more the office guy. I would go out to
16 these locations if they had something that they said,
17 "Oh, you guys need to come look at this."

18 Or it was, "Well, I can't find it. Can you
19 review the data again and tell me, reevaluate this
20 information, because I think maybe we're on the wrong
21 joint or pipe?"

22 So I'd reevaluate the information, try to
23 give them a better direction. There was a possibility
24 that I might have made a mistake on where their
25 starting point was.

? scheduling 22

1 Q Were you involved in the "scatchling"?

2 A No, not really. I worked with the
3 construction supervisor and he would -- I would lay out
4 this spreadsheet and say, "Here's the things that we
5 need to do. Here's the approximate," you know, I'd
6 say, "...here's approximately when I think we can do
7 these. When do you guys think that you can do them?"

8 And they'd come back to me and give me what
9 their plan of action was because they were limited to
10 the amount of inspectors that we had in our -- because
11 we had a small construction group.

12 And I sometimes overestimated their speed.

13 (Laughter.)

14 But, they did it. They did a darned good
15 job. I mean they went as fast as they could.

16 Q Did you prioritize the -- in other words, did
17 you give them a priority of what, you know, this is the
18 worst, you know, give this one first?

19 A As I recall, I believe I did. I used to,
20 early on in the early nineties, I would identify them
21 by number. You know, give them a one, two, three as
22 far as order of which they should be performed based on
23 their severity.

24 And Mr. "Whynigh", you know, would come up
25 with that. "Hey, these are the ones we should go look

1 at first."

2 And then with these we probably did something
3 similar trying to make sure that we went for the ones
4 that were the highest, of the largest size, to go look
5 at first.

6 I just don't remember exactly how I did it.
7 But I know that we had a priority that we went by. You
8 know, for example, that one in the Ferndale section, it
9 was a lesser size so we moved it back in the scale,
10 back in the list.

11 Q Okay. And do you recall just in general --
12 we talked about the '91 survey but in the '97 -- well,
13 I guess '96 ⁰ Tubescope survey, do you recall, you know,
14 what impression did you have of the accuracy of how the
15 field stuff actually matched with the internal
16 inspection results?

17 A It seems like it was still high, but not as
18 high as the '91 data. We even went back and looked
19 at -- we excavated some locations from the '91
20 inspections just to make sure that we didn't miss
21 something.

22 They'd call and say, "Hey, we dug this up in
23 '91." I'd say, "Yeah, well, let's look at it again and
24 make sure we don't have anything different."

25 And others we would say, "Okay, we did look

1 at that '91. It wasn't significant. Let's just move
2 on to the next one."

3 Q On this document here, do you recall ever --
4 well, do you recall faxing this over to the State?

5 A I remember that I -- Mr. ^{Hopf}~~Huff~~ asked me on
6 occasion, he said, "You know, make sure we're not going
7 to send them a letter every week. So give them a
8 schedule update on it. You know, keep them up to date
9 on what we're doing."

10 And I remembered that I had done it at least
11 once and maybe this was the one time that I did it.

12 Q Do you recall doing it after this on any
13 occasion?

14 A I would have thought I had, but I don't
15 recall if I did or not.

16 Q Do you recall updating Frank, or somebody
17 else?

18 A Oh, sure. Oh, definitely. We, internally,
19 we were kept up to date with this. I think we even
20 sent a letter to the Ecology later than this date. I
21 think we did.

22 Q Do you remember preparing that letter?

23 A No. I wouldn't have been the one preparing
24 the letter. My role is just keeping this spreadsheet,
25 trying to keep it as current as possible.

1 Q Okay. Well, you mentioned you had some role
2 in drafting some of the original letters? Or, were you
3 just reviewing those for technical?

4 A Most of the time, I was reviewing, making
5 sure we didn't have some error. You know, we'd have
6 the Environmental guy. That was typically the person
7 that would draft the letters.

8 And then we'd pass them around to make sure
9 that everybody, you know, they'd say, "Hey, you
10 answered number six," or something, "here."

11 And then we'd pass them back around and it
12 would get wordsmithed. And then Frank would have the
13 final author, or approval.

14 Q Do you recall about when the project finished
15 up? I mean, by the project, I mean based on the
16 internal inspections to the excavations and what not.

17 A The excavations for the Tubescope run or the
18 Enduro run? Or the Ebey Slough part? There was a lot
19 of things happening in there at that time.

20 Q Okay, let's start with the Tubescope '96.
21 Are all of these on this spreadsheet that you prepared,
22 are all of these excavation sites based on one or
23 another survey?

24 Or, is this a combination of surveys that
25 went into this?

1 A No, these were specifically for the Enduro
2 inspections, prepared by the Enduro, the caliper
3 inspections.

4 Q Did you prepare a similar spreadsheet for dig
5 sites for the Tub^oscope inspections?

6 A I used to keep track of them. Let's see, how
7 did we do that? We'd come up with a summary report
8 after it was all completed. I pretty much kept a
9 listing of all of the different inspections that were
10 being performed, what the data was from Tub^oscope. And
11 then what we were finding in the field, what repair
12 method.

13 You know, something similar to this but it
14 wasn't something that I was updating and passing out
15 all the time, no.

16 Q Okay, so you prepared this spreadsheet mainly
17 for reporting back to the State?

18 A Yes, internally and into this -- but
19 specifically to the Ecology.

20 Q Do you recall if there was ever any
21 discussion in your internal meetings on notifying OPS,
22 or talking with OPS about the State's order in internal
23 pigging program, what not, you were doing?

24 A I'm pretty sure that we would have contacted
25 them when we had the 20-inch release because of that

1 buckle in the pipe being extraordinary.

2 I'm not sure if that would have been done or
3 not. That wasn't really one of my responsibilities, to
4 call them.

5 Q Okay, so you weren't involved in the OPS
6 inspections and that kind of thing?

7 A Only when it came to an audit.

8 Q Who would have been the person that was
9 interacting with them and reporting directly to OPS?

10 A Well, it could have been Mr. ^{Huff} Huff.
11 Ultimately, at the time, it may have even been Bill
12 Mulkey.

13 But I'm not sure he was there at that time.
14 He may have been working with the Cross-Cascades group
15 specifically. I'm just not sure.

16 Q Let me ask who, you know, in your opinion,
17 would have been the one responsible for keeping the
18 State updated about the progress of the inspections?

19 A Mine in keeping up the spreadsheet, and
20 Frank's in making sure that all of our written
21 responses were complete and up to his approval.

22 Q I mean was there a discussion where you had
23 some kind of -- I mean, were you authorized, I guess
24 would be a good word, to, you know, periodically fax
25 this spreadsheet to the State?

1 Or did you wait until you were directed by
2 Frank to go ahead and update them?

3 A I remember he told me once specifically to
4 update them. And then, in that same conversation, he
5 may have told me, you know, "Make sure we're doing this
6 to keep them up to date," because we knew that we
7 wouldn't be sending them a formal letter probably as
8 often as they'd like to see it.

9 Q And do you recall when the excavations based
10 on this spreadsheet, about when they came to a
11 conclusion when that project was over?

12 A I'm not sure exactly when we finished. It
13 probably would have been through the drier months of
14 the Pacific Northwest weather. I don't really -- I
15 don't recall exactly when we completed it though.

16 Q Well, do you recall at the end, I mean, was
17 there a meeting or some kind of a closure to this
18 project where you sat down with Frank or whoever and
19 said, "Hey, we're done"?

20 A You know, I don't remember. It seems like we
21 would have, but I don't recall.

22 Q Do you recall discussions or anything about
23 letting the State know that you were done, what you'd
24 found, or a letter to that effect? Or, do you recall?

25 A I recall that I prepared a final update of

1 this, of these caliper inspections. But I don't recall
2 the letter.

3 Q Do you recall whether you transmitted that to
4 the State?

5 A No, I don't remember if I did or not. I sure
6 hope I did (laughing).

7 Q Let me give you this other document.

8 A Okay.

9 Q This is a similar spreadsheet. I'm going to
10 mark this Klasen Exhibit C.

11 (Whereupon, the previously-
12 identified document,
13 Exhibit K-C, was received
14 into evidence.)

15 BY MR. BESHORE:

16 Q Do you recognize that, Richard?

17 A Yes. This looks like it was probably our
18 final work product for that project>

19 Q This looks like the final version of the
20 spreadsheet?

21 A Yes.

22 Q So, based on this spreadsheet now, does it
23 jog your memory on when the project might have been
24 finalized?

25 A Let's see (perusing). It's true we did have

1 some bore replacement projects that went on into the
2 fall. So are the last three items that are shown in
3 November. Those were the last ones.

4 That's right. One of them was a south Ebey
5 Slough crossing that took quite some time to get a
6 permit from Snohomish County, which delayed the process
7 quite a bit.

8 And then I do remember talking to Frank about
9 this and where we finalized this document, or at least
10 the spreadsheet portion of it.

11 Q Was Craig on board during this period of
12 time?

13 A Yes.

14 Q What was his involvement? Were you all
15 working directly with Frank on this? Kind of describe
16 that for me.

17 Q Oh, well, we all worked together. I mean
18 there's no -- there's no -- especially with me, my role
19 was to make sure that I'm keeping my supervisor
20 involved. And Frank had a direct relationship from the
21 beginning, he and I in the beginning of this, with
22 Ecology.

23 So he and I spoke specifically about these
24 documents. We got Craig involved quite a -- Craig was
25 involved with this as far as going out and doing some

1 inspections when requested by our field construction
2 inspectors to go look at some of the ^{dents} ~~dense~~ or different
3 types of anomalies that were out there.

4 Q How is Frank to work with?

5 A Oh, Frank's a great guy. I mean he's a very
6 intelligent man. He'll teach you anything you'd ask.

7 Q So you had a good working relationship with
8 him?

9 A Oh, yes. I had a good working relationship
10 with everybody.

11 Q That included Craig?

12 A Definitely.

13 Q How would you describe Frank's management
14 style?

15 A Management style. Well, I don't know.
16 (Laughing). I wasn't really a student of management
17 style.

18 Q I mean was he a micromanager that was
19 involved in everything, or was he aloof and you did
20 your own thing? Or was he somewhere in the middle? I
21 mean how would you --?

22 A Well, during this time frame, like I say,
23 there was a lot of things happening. There was --
24 Olympic was attempting to get a route for our Cross-
25 Cascades project, which Frank had a lot of involvement

1 in dealing with -- from the federal Government to local
2 city Government. Running Olympic pipeline and working
3 with Ecology.

4 So I'd say at that time he was very busy and
5 involved with everything he could be. His style, to go
6 back to the question. His management style.

7 At that time, I'd say the man was overworked.

8 Q Did you feel like you got the attention you
9 needed? If you had a problem, I mean, did you get --

10 A If I had a problem, oh, yeah. If I had a
11 problem, I went wherever I needed to go to get
12 assistance.

13 Q How about Doug? He was in around in there.
14 Was he there at that time frame?

15 A Doug ^{Ben}~~Ben~~?

16 Q Doug ^{Ben}~~Ben~~.

17 A I'm trying to remember when Doug was there.
18 I think Doug -- I'm not sure exactly when he arrived at
19 Olympic. I think it was in '96, maybe, he arrived. He
20 was the manager of Operations and Maintenance.

21 My involvement, I didn't have a direct
22 involvement with him but if I needed to go to him, I
23 would.

24 Q I mean did you report to him at any time
25 preceding the accident, directly?

1 A There was about a couple of weeks that they
2 had made a change. I went on vacation and I came back
3 and they said, "Okay, now you're reporting to Doug."

4 (Laughing).

5 I think it was the time when the Cross-
6 Cascades was very -- the Cross-Cascades project was
7 very intense. So, Frank was going to be put in charge
8 of something to do with Cross-Cascades, which would
9 have raised Doug's management responsibility at
10 Olympic.

11 And as he told me, he said he needed somebody
12 to work directly with him. And he wanted that to be
13 me.

14 And so I stayed in my office still performing
15 the same duties that I'd always done because their
16 level of -- under Frank's and Doug's level didn't
17 really get moved into that -- I didn't see them getting
18 moved into that position where they were needing me,
19 with the exception of Doug and I talked on a couple of
20 occasions where we were planning to set up an
21 inspection of all the pump stations and delivery
22 facilities, and try to go through each one and go over
23 things like the piping control device paperwork, and go
24 through a complete -- we were trying to get groups
25 together to do an inspection of all the facilities.

1 So I'd laid out a schedule for doing that
2 over I think the course of two or three weeks. And it
3 was, we kept getting postponed because at that time one
4 of the companies was trying to sell their stock. And
5 there were other companies that were interested.

6 So there was a lot of due diligence type
7 things that were going on so that inspection of the
8 different facilities that we were trying to look
9 forward to doing got pushed further and further back.

10 I think it was -- I had scheduled it
11 originally for May and it ended up that we were going
12 to start in like the second week of June.

13 But, the ownership issue or due diligence
14 tours to the companies that were interested took
15 precedence.

16 Q What prompted this review to be planned out?

17 A Well, just something Doug wanted to do as,
18 you know, becoming more management of Olympic. He
19 said, and he had a heavy electrical background,
20 electrical engineer.

21 So it was one of the things that he wanted to
22 be his first -- one of his first actions: "Let's go
23 out and check these places out real closely."

24 Q Was it based on some concern he had, do you
25 know?

1 A Not that I'm aware of, no. Just one of those
2 things. Every time you get somebody new in management,
3 they've got their own "This is what I want to go do
4 first," you know.

5 Q But it wasn't based on potential sale, it was
6 based on something else?

7 A I think it was just, well, I guess you'd have
8 to ask him what it was based on. He just asked me to
9 set it up.

10 Q Well, I guess what I'm asking, I mean, the
11 scheduled facility inspections wasn't the same as the
12 tour groups around looking to buy the pipeline, right?
13 This was a separate?

14 A Right. This was something he just wanted us
15 to start to do.

16 Q Okay. I kind of digressed a little bit here.
17 So let's go back to this spreadsheet for a minute, if
18 we could.

19 A Sure.

20 Q And talk specifically about on the final
21 version of the spreadsheet there's a note here on this
22 particular anomaly that we're interested in here. It
23 says that "no inspection".

24 What would that, I mean, what would that
25 mean?

1 A We didn't inspect it. And the reason why is,
2 as is noted under the defect discrepancies where it
3 says ".45 inch total sharp" with the two asterisks, on
4 the second page, we had actually those two asterisks
5 identified on at least a half a dozen of these
6 anomalies where we said:

7 "May investigate if risk is justified by
8 engineering opinion."

9 And we did not inspect several. There's a
10 total of four on the front page and two on the second
11 page based on the information that we had gathered from
12 the other excavations.

13 Q Okay, let's talk, just for example, "All² to
14 Renton 20-inch" down here at 1450 plus 21. The
15 notation there says "wet area".

16 Would that, I mean, would the fact that it
17 was a wet area prevent you from performing that
18 inspection?

19 A I'm sure there's some more detail to this
20 somewhere. But -- and I'm not sure where 1450 plus 21
21 is off the top of my head.

22 Q I guess that would be -- the fact that it was
23 a wet area, would that be sufficient to prevent you
24 from doing an inspection if you thought it was
25 necessary?

1 A No.

2 MR. BESHORE: I'll go ahead and give you
3 this, Richard, and that will be marked as Exhibit D.
4 And it's a copy of, well, a dig sheet, It's also in
5 our appendices or report.

6 (Whereupon, the previously-
7 identified document,
8 Exhibit K-D, was received
9 into evidence.)

10 MR. BESHORE: I mean, look at that for a
11 minute. You've probably seen that several times. But,
12 if you need a minute to jog your memory, that would be
13 fine.

14 MR. KLASSEN: No, that's okay. Go ahead.

15 BY MR. BESHORE:

16 Q Okay. Now this is -- is this the vicinity of
17 the water treatment plant, I guess?

18 A Yes, it is.

19 Q And do you recall preparing this particular
20 dig sheet, Richard?

21 A Well, I recall this is my work product. But
22 the day I actually filled it out, no, I don't remember
23 the day.

24 Q Well, do you remember this location? I mean
25 do you remember actually analyzing, doing this

1 analysis, doing this work product?

2 A Oh, gosh. No, not really. I did -- I did
3 probably 98-99 percent of all of these, so just
4 remembering this one in particular, no, I don't recall.

5 Q Would this be a little bit more? Or I mean
6 would this be a more complex type of a dig sheet than
7 normal? Or were they all like this?

8 A No, they weren't all like this, but I think
9 each one had its own complexities, trying to make sure
10 that I identified as many points as possible to make
11 the field inspector able to walk to these points, or be
12 able to measure off from some identifiable location
13 from above ground.

14 Q Well, let me ask you about the notations made
15 on here. This appears to me that it's based on both
16 surveys of the data. Is that correct?

17 A Yes, that's correct.

18 Q And can you kind of describe how you laid
19 this out, I guess, in terms of overlapping that
20 information?

21 A Well, as I'm sure all of you have probably
22 seen, the Tub^oscope data and the Enduro data are very
23 dissimilar in many ways. So it's more than challenging
24 to try to overlay or to assimilate the data to make
25 sure that you're in exactly the same spots.

1 So I'm sure I took a lot of time, especially
2 with the Enduro data, to try to recognize the
3 similarities, or to try to pinpoint the location.

4 But, yes, this shares both Tubescope data and
5 Enduro data, to the best of my ability to put them
6 together.

7 Q Okay, and the little "e" indicates that data
8 was from the Enduro run?

9 A Yes. That would have been my attempt at
10 trying to differentiate between the two.

11 Q Okay, so the "t" was Tubescope?

12 A Right.

13 Q And then there's OPL stations. That's off of
14 your alignment sheets or pipe maps or whatever?

15 A That's correct.

16 Q Okay, let's talk about the possible wrinkle
17 for a minute here. That came from the Tubescope.

18 A Right.

19 Q Now based on this thing, or based on your
20 drawing here, is that at the same location as the
21 Enduro anomaly?

22 A That's what I believed it was. Yes.

23 Q So the first --

24 A -- or close to it.

25 Q The footages may be different based on the

1 two vendors, or survey --

2 A Right, yeah.

3 Q This was your attempt to line those up?

4 A yes.

5 Q And then there's another defect that's shown
6 about 14 feet away and you have the little arrow going
7 up.

8 A Oh, identifying defect length?

9 Q Yeah. Okay, the arrow, that means that what
10 you're describing here as a defect is at you believed
11 at 844 plus 16?

12 A That's correct. I believe that to be the 23
13 percent wall loss defect length, .4 inches.

14 Q Which corresponded to a possible mash?

15 A No. Oh, and possible mash, yes, within a
16 short distance. I believe it was within just inches or
17 something from there.

18 Q What's a "possible mash"?

19 A I wish I knew. I don't know. That's a
20 Tub^oscope term.

21 Q What were you, I mean, what did you think it
22 meant at the time when you were preparing this?

23 A What did I think it meant. Well, at the time
24 when all this was going on, I didn't believe it to mean
25 anything. Tub^oscopes, I'd lost faith in Tub^oscope's

1 ability to give me any information other than metal
2 loss relating back to the Ebey Slough data on the 20-
3 inch line where I remember contacting them and speaking
4 to someone at Tubescope where they reviewed the data in
5 and they couldn't even tell me that there was a buckle
6 at that location on the 20-inch line.

7 So, as far as believing anything that said
8 "possible" next to it, I had no confidence at all
9 whatsoever with Tubescope's ability to identify
10 anything other than metal loss, which is what they
11 claim they can do.

12 Q What would a "possible wrinkle" be?

13 A That is another I don't know. Again, I
14 didn't have any confidence in Tubescope's abilities to
15 identify anything that said "possible". It was just I
16 just wrote this information because this is everything
17 that I had and I wanted to make sure that it was passed
18 along to the people in the field.

19 Q What would a "wrinkle" be, do you know? I
20 mean what would you assume a wrinkle was if somebody
21 said there's a wrinkle out there, a wrinkle bend?

22 What would you think that to mean?

23 A If somebody physically was out in the field
24 and told me that they saw a wrinkle, I think it would
25 be a bend. But, with what Tubescope tells me, I don't

1 know what to think.

2 Q And that's because of the word "possible"?

3 A Right.

4 Q When you did this analysis in '97, did you go
5 back to '91's data and compare what was found in '91 to
6 what was found in '97?

7 A Yes. I did a -- as a matter of fact, we even
8 had Tub^Descope do that for us. That was one of the
9 requests that we had for Tub^Descope was to identify
10 previous '91-'92 inspections with the current
11 inspections, because their grading system changed from
12 grades 1, 2 and 3 in '91, in '92 their grades went 1,
13 2, 3, 4 and 5. And in '96, they eliminated that
14 grading system and went to giving you the exact, or as
15 close to exact percentage wall loss measurements as
16 possible, and lengths.

17 In '91 and '92, they didn't give you any
18 lengths. They'd just give you 1 through 3 or 1 through
19 5.

20 Q Do you recall whether these were on the '91
21 data?

22 A No, they were not.

23 Q Were there other locations where something
24 was indicated in '97 that wasn't there in '91?

25 A The Tub^Descope '96 data? No, I don't recall.

1 Q You don't recall how many locations we're
2 talking about where there was nothing in '91 but
3 something in '96?

4 A There probably, if there were, there probably
5 weren't many. That was relatively -- most of the
6 Olympic's system was relatively clean.

7 Q Did you pull out other information like
8 diagrams of changes or other data from this location to
9 look at and consider?

10 A I specifically would go directly to the
11 alignment sheets. And the alignment sheets, if they
12 were current, which most of them were pretty current,
13 they would identify a diagram of change on that
14 alignment sheet.

15 There would be, for example, where they
16 installed the 72-inch water line, I remember seeing
17 that on the alignment sheet.

18 There would be an identifier where that was
19 and association with Olympic stationing and then a DC
20 number whatever. And that was the diagram of change
21 number associated with -- you could go back and find
22 it.

23 But, I typically didn't go back and look at
24 the diagram of change because they were on the
25 alignment sheet.

1 Q And did the alignment sheet give you an
2 indication of when that was -- was it dated?

3 A I don't believe so. There may have been one
4 or two that might have been that way, but I don't --
5 that was their reason for putting the number of that
6 diagram of change, so you could just -- they were all
7 numerically listed one through thousands.

8 And then you can just find it and then you
9 can determine what the date was from that.

10 Q Well, did you, in your analysis, did you
11 consider, did you realize or understand that those were
12 from a '94, a '93-'94 construction time frame?

13 A I don't recall if -- no, I wouldn't have been
14 paying any attention to the date that that work would
15 have been done.

16 Q So, before the accident, were you aware of
17 this project that had happened at the water treatment
18 plant in '93 and '94?

19 A No. I wasn't -- that wasn't any of my
20 responsibility to keep track of those.

21 Q And that's not something that you routinely
22 looked for when you were doing this kind of analysis?

23 A No, I wouldn't go back to the diagram of
24 change books.

25 Q I mean, how would you explain -- and I'm

1 struggling -- okay, from '91 to '96, there was nothing
2 in '91. You know, there's something there in 1996.
3 What would that suggest to you? Or did it suggest to
4 you at that time?

5 A Well, it suggested to me that maybe we should
6 go look at it. So that's why I made the direction to
7 dig site.

8 Q There's a date up there that's got Enduro and
9 it says 1/97.

10 A Right.

11 Q Would that have been a date when this form
12 was, in its current form, was prepared?

13 A No. 1/97 was when Enduro performed the
14 inspection.

15 Q And so this form was developed after that?

16 A Right. I wasn't typically in a -- I didn't
17 put a date on when I made the record.

18 Q Fair enough. Down in the corner, it says
19 there's a 7/97 date and says "did not expect this
20 location Tube^bscope."

21 Is that your writing?

22 A Yes.

23 Q So you made that notation?

24 A Yes.

25 Q Would that have been the date that you made

1 that notation?

2 A It would have been, yes. I would think
3 that's when I would have done that.

4 Q What would have changed in your thinking
5 between when you prepared the form thinking that you
6 needed to take a look and when you made that notation?

7 A Well, probably, quite a few things. One, my
8 guess is that our people in the field would have gone
9 out and surveyed the area to see what kind of work they
10 could have done.

11 Secondly would have been comparing it to the
12 information that we had already gathered from the other
13 inspections. And by 7/97, we had performed all -- it
14 looks like almost all of these other excavations where
15 we had or had not made repairs.

16 So, based on that, I would say that's
17 probably how we came up with those two pieces of
18 information. That's how we came up with the decision.

19 Q Okay. So you reevaluated your analysis then
20 and came to a different conclusion in July than you had
21 previously?

22 A Based on information that we had, 23 percent,
23 4/10 of an inch long, which has an insignificant
24 measure of metal loss, which is really something that
25 in any other instance, you wouldn't even look at.

1 And a .45 sharp, which I believe to have been
2 some 16 feet away in relationship to the other 16-inch
3 inspections, was less than a reparable indication.

4 So, individually, they were not something
5 that, in our opinion, was worth the risk of going out
6 there and doing an excavation.

7 Q Even though they didn't appear on the '91
8 data?

9 A Well, that may have been where I could have
10 forgotten about the '91 data by then.

11 MR. BESHORE: Actually, I think it would be a
12 good point to take a 10-minute break, if we could go
13 off the record.

14 (Recess.)

15 MR. BESHORE: All right, we're back on the
16 record here.

17 BY MR. BESHORE:

18 Q Let me go back to what we were just kind of
19 talking about here and pose the question based -- had
20 you realized -- I guess this is kind of a
21 hypothetical -- that this construction had occurred in
22 the time frame that it turned out to do, would that
23 have changed your level of concern between the '91 and
24 the '96 surveys?

25 A Well, of course. And if it would have been

1 more, from what we know today, well, of course, anybody
2 would have gone out there and done that excavation.

3 Q But, at your analysis at the time, you didn't
4 realize that that construction had occurred within that
5 window...?

6 A I knew that it was the large 72-inch water
7 line that was installed, but it didn't correlate to the
8 location. So, no, I wasn't aware of the other work
9 that was done directly above the pipeline.

10 Q Let's go back then to that time frame of '93
11 and '94. Were you aware of that project going on at
12 the time?

13 A No.

14 Q That wasn't part of your responsibilities in
15 the engineering group?

16 A No.

17 Q So who would have been the one in the
18 engineering group to, you know, review plans like this
19 from outside people and authorize the activity?

20 A Oh, there was typically a developed process
21 where plans came in to the office. Our right-of-way
22 people were typically the first ones to get a hold of
23 this kind of information.

24 And they would route it to whoever they
25 believed needed to see it. At the time, I'm not sure

1 who -- I know Bill Mulkey was in the group.

2 I'm not sure if Bob Burnett~~x~~ -- he was our
3 right-of-way, one... guy at the time. I think he was
4 there at that time. I'm not positive. He had pretty
5 much a checklist of, yeah, engineer needs to see this,
6 right-of-way, whoever, you know, and they would pass it
7 through.

8 And it would go to those individuals and
9 they'd make their comments and go on. I didn't get
10 into starting to do any of that until, oh, it was
11 probably '96, I guess, when we had a gap in engineers
12 where we had some part-timers where we made sure they
13 got it.

14 But, if there wasn't anybody there, then I
15 was reviewing it.

16 Q I mean do you have any reason to believe that
17 there would be, you know, problems with the City?

18 A No. No. I wouldn't believe there would be
19 any problems with anybody.

20 Q I mean the City of Bellingham. In other
21 words, "difficult to access" notation on your form
22 here. What would that --?

23 A If you look at the line sheet, the line
24 profiles sheet, there are some other people that had
25 worked in that area that were now dispatchers or

1 schedulers that I had worked with.

2 And I can remember them talking about that
3 area as being, oh, yeah, it's real steep and real
4 slopey, and making those kinds of comments.

5 So you remember those kind of things. And
6 then, if you look at the profile sheet, it showed that
7 there was considerable slope between the pipeline and
8 where it went down.

9 And that was probably before they had done,
10 you know, that was 1965-66 land data which I was
11 looking at. So it looked like it was, you know, not
12 that easy to get in there and do that.

13 So, just based off the information that I had
14 in front of me with the line sheets profile data,
15 that's what I was basing these judgments off of.

16 Q Okay, so by "difficult to access," you had no
17 reason to believe that a landowner would be a problem?

18 A No, that's not what that comment -- no, that
19 comment doesn't have anything to do with people. I
20 would have said "the City" here if there was some
21 difficulty that way.

22 But I don't recall ever making any of those
23 kind of statements on anything.

24 Well, maybe the City of Bellingham -- sorry.
25 The City of Belleview. They were always hard to deal

1 with.

2 Q Do you recall having conversations on this
3 particular location, you know, after the pig runs --
4 I'm sorry -- jumping back to '97.

5 Do you recall discussing this location in
6 particular?

7 A Well, while we were making our summary
8 reports, yes, I can remember discussing the locations
9 that we weren't going to inspect and along with the
10 other locations that we had inspected and our findings
11 with Frank, Mr. ~~Hoff~~^{Hoff}.

12 Q And he concurred with your analysis that
13 there was no need to inspect those locations?

14 A Well, we had, I remember there was a couple
15 of different instances where we sat down and talked
16 about these things.

17 And he came up with, you know, it was his
18 "may investigate if risk is justified by engineering
19 opinion."

20 That was one of the statements that he used
21 to call "best engineering judgment."

22 So that was one of the reasons why we came up
23 with those notations because, you know, after doing the
24 inspections, making the discoveries that we'd found,
25 and then coming up with the decisions of repairing or

1 not to repair, then we developed from those the
2 decisions on a lesser size, which made our
3 determination not to do the inspections.

4 Q Was there any disagreement between you?

5 A No, I wouldn't say there was a disagreement.
6 Conversation, you know, just -- I wouldn't say we had
7 disagreements. I mean he's the --

8 Q So you didn't advocate doing this and him
9 say, "No, we don't. We don't want to mess with it"?
10 Nothing like that?

11 A No, because I was taking the data and
12 plotting it in these different spreadsheets that I had
13 for calculating, for example, the 23 percent, ^{0.4" of} an inch
14 long, as my role in putting that data into the
15 spreadsheet and saying:

16 "Well, look, here's Tuboscope's data saying
17 that this thing doesn't even rate from their " I think
18 it was called the PR ratio. It had like a 1.10 or
19 something. I mean it was way up there.

20 And then putting it in the B-31-G
21 calculations, it was an insignificant size, which
22 didn't derate the pipe.

23 And then the dent was a lesser size as far as
24 B-31-4 in the '92 version; you're allowed a 6 percent
25 dent. And this was less than 3.

1 And there wasn't really any guidelines out
2 there to tell you top of pipe, bottom of pipe, side of
3 pipe, you know, what you should go look for, as we have
4 now with the HCA pipeline integrity rules.

5 Q Did you assume that the metal loss was
6 corrosion?

7 A That's about the best assumption we could
8 make.

9 Q Well, if it was not corrosion, how would you
10 evaluate that?

11 A If it was not corrosion?

12 Q If the metal loss was from some other cause
13 than corrosion, how would you evaluate whether or not
14 it needed repair?

15 A Well, if we physically saw that it was
16 something other than corrosion, then it was -- we would
17 apply -- we always applied B-31-G calculations to
18 everything anyway just because that was the only
19 method, the most conservative method that we had.

20 But, as far as finding anything that was a
21 scratch or a gouge, the field inspectors would tell us
22 how deep something like that would be.

23 And, most of the time, they would report back
24 something that looked like it was essentially from the
25 mill, maybe a roller mark or something of that nature.

1 But, some of the terms that they used.

2 And they would take a file or something and
3 try to just file out this abnormality. And then they'd
4 report back to whether or not it was okay or not, and
5 they'd UT~~U~~ and did whatever kind of investigation they
6 felt was necessary.

7 Q The B-31-G, were those for corrosion, or were
8 those for metal loss?

9 A B-31-G is specifically for corrosion.
10 However, it was the only thing that we had to help us
11 make any determinations on the remaining ~~strings~~ ^{Strength?}

12 Q Well, if you had a 22 percent metal loss and
13 it was not corrosion, what would you have to do with
14 that?

15 A A 23 percent metal loss would be greater than
16 12.5 percent. You'd have to make a repair.

17 Q So you couldn't grind that smooth? It would
18 be--

19 A No.

20 Q The remaining wall thickness wouldn't be
21 thick enough.

22 A Correct.

23 Q All right. What I just gave you was this. I
24 think this is probably what you referred to a minute
25 ago and I just want to make sure. Is this what you

1 were talking about, the spreadsheet where you would
2 plug in the stuff and then come back with whether or
3 not you had to look at it?

4 A Yes, that's correct.

5 MR. BESHORE: I'll mark that as Exhibit E, I
6 think.

7 (Whereupon, the previously-
8 identified document,
9 Exhibit K-E, was received
10 into evidence.)

11 MR. BESHORE: We'll go off the record.

12 (Record paused.)

13 MR. BESHORE: I'm trying to get back on track
14 here.

15 BY MR. BESHORE:

16 Q Had you overlapped these 23 percent metal
17 loss defect with the dent, would that have changed your
18 evaluation?

19 A I think so.

20 Q And why would that have been?

21 A Well, I'm interacting now with what I know
22 now and what I --

23 Q I understand.

24 A -- and that's difficult to think about what
25 you knew in 1997 or whatever. But, a dent with metal

1 loss, I think would have triggered more flags,
2 especially in the conversations I would have had with
3 Frank or with Craig or whoever at the time.

4 Q And you mentioned that you recalled having
5 conversations with Frank through this process. In this
6 location, do you recall talking to, you know, Cargo or
7 any of the field people or anything about this
8 location?

9 A Specifically talking about this location.
10 I'm sure I would have because I had a bunch of notes,
11 and it was something that we decided not to do. So I
12 know I would have had conversations with probably
13 both -- with Cargo specifically because he worked out
14 of Renton.

15 I'm not sure if I would have been talking
16 directly with Steve, who is Cargo's direct subordinate
17 that went out and did this, went out to the field to
18 look at this location.

19 There were occasions when I would talk to him
20 but, specifically for this one, I'm not sure. It would
21 have been -- I'm sure I would have probably talked to
22 Jim.

23 But, as far as remembering the conversation
24 now, I don't recall the conversation.

25 Q Would that be something that might be in your

1 planner notes? I have a portion of your notes. And I
2 understand you have some other notes.

3 But, I don't have the notes from this time
4 frame. Would that be something you might have made a
5 notation about?

6 A My date planners, I typically wrote down
7 things that, you know, some days, if I was out, away
8 from the office and I needed to make some notations
9 specific about something, I would put them in there,
10 because I knew I couldn't remember every measurement or
11 whatever that I'd taken. I'd make some kind of sketch
12 or drawing. And then come back to the office and
13 discuss it.

14 Or get on the radio or the telephone and call
15 Craig or the engineer at the time, or somebody, and
16 discuss what our findings were for different locations.

17 Or at other times, I would just list off, you
18 know, here's some of the things that we did during the
19 day, you know, on a particular day.

20 And then, other days, I wouldn't have any
21 entries. So I didn't have -- I do have an exact style
22 of how I recorded things in that date planner.

23 Q If you went back and looked through those
24 planner notes, do you think that would help your
25 memory?

1 A Oh, sure. That's the reason why I put them
2 in there.

3 Q We'll probably need to follow up maybe in
4 written form once I get the rest of those notes,
5 perhaps. We'll see if we can go through that a little
6 bit.

7 MR. SIM: My recollection is that there's
8 really not stuff that's of materiality today, this
9 decision not to dig in the planner notes.

10 No technical offense, Richard, but I couldn't
11 read some of your notes in your planner.

12 MR. KLASSEN: Really? I have a pretty good
13 handwriting.

14 MR. BESHORE: Okay, let's jump forward here a
15 few years, and let's talk a little bit about the Bay
16 View Station.

17 BY MR. BESHORE:

18 Q And just, if you could start and kind of tell
19 us what your involvement was from the very beginning.
20 And just kind of run us through that project.

21 A Very early on, there was just the schedular
22 and I, we were asked what kind of storage capacity we
23 would believe we'd need.

24 And we came up with some tank sizes and some
25 working volumes, and the amount of tanks, those kind of

1 things, that we'd recommend that we believe should be
2 at whatever location was chosen for the terminal to be
3 located.

4 And then I was asked on occasion what did I
5 think should be the launcher, and should we have
6 launchers or receivers built by outside companies to
7 make sure that they were long enough, or they were
8 built with specifications to hold whoever's in line
9 inspection or smart pig tool we'd hire to run in and
10 out of that area.

11 I also was asked to look into maybe different
12 kind of -- various vendors that would be suggested by
13 the engineering firm, Jacobs, who had the project, you
14 know, what our opinion was or did we like any of these
15 particular vendors for specific equipment.

16 And most of that happened, oh, probably about
17 three months before construction started. I got in on
18 the very end of the design portion. Most of that was
19 carried on by others.

20 Q Well, how did the Bay View Station tie into
21 the Cross-Cascades project?

22 A Well, from what I was told, it was going to
23 be a focal point for being able to assist in us
24 operating the two different pipelines south of there
25 more equitably whereby if a refinery -- we were always

1 subject to refinery downtown, or refineries having some
2 kind of equipment failure, valve failure, which if the
3 refinery went down, we lost our source, which shut down
4 an entire line segment.

5 If we were able to have storage at an
6 intermediate location, you would only shut down that
7 point, or that section of pipe. But, you'd still be
8 able to maintain flow to the metropolitan areas without
9 interruption, and operate at more consistent flow
10 rates, instead of having to be subject to the increased
11 amounts of starts and stops of pump units at various
12 locations based upon the increases or decreases
13 required to make strips into certain intermediate
14 locations.

15 So it was to help balance the lines out. And
16 also supply the line that would go east of the
17 mountains across the Cross-Cascades line.

18 Q Okay, so it was to benefit the existing
19 system as well as a starting point for the Cross-
20 Cascades? Is that where it was going to come out of?

21 A Well, there were various plans. The last
22 one, the very last one that I believe was settled on,
23 was to come out of the area in the general vicinity of
24 Woodenville or Bothell, the Bothell area, and head east
25 from that point.

1 Q I mean what was the intent of design to
2 utilize the facility? I guess more operational. Was
3 it designed to float into the tanks? Or would it be
4 designed to tight-line?

5 What was the intent of the operation of the
6 facility? Do you know?

7 A Well, to the best of my knowledge, the intent
8 was to float product through the facility whereby you'd
9 pump into a tank and out of the tank at the same time.
10 Or, you'd pump into one tank and take delivery out of
11 another tank.

12 However, with the limited amount of storage
13 that is available due to all the specialty RVPs and --
14 I'm trying to remember the other term for some of the
15 other gasolines that were up there.

16 So that there were some subgrade gasolines
17 and some regular-graded sub-octane gasoline, meaning
18 subgrade, that were shipped down the line, where
19 additives were injected at the trucking facilities and
20 for some oil companies. And others refine their
21 product where they only had to inject minimal
22 additives.

23 So we did not have the quantity of storage
24 necessary to have been able to accommodate all of the
25 different oil companies, regular and subgrade

1 gasolines, and high and low sulfur diesel fuels, and
2 even high... for jet fuels.

3 Q Because those were the products that you
4 tightlined through Bay View? You didn't store there?

5 A They would tight-line through Bay View
6 products that we didn't have compatible tankage for.
7 That's what it was designed to do, to the best of my
8 knowledge.

9 Q Now about the facility being designed for a
10 300 versus a 600-pound class, ^{ANSI} ~~ANSI~~ classification, was
11 that something that you were involved in that part of
12 the design process?

13 A No.

14 Q Were you involved in the commission of the
15 Bay View facility then when it first came on line?

16 A Yes.

17 Q And maybe you could tell us a little bit
18 about that, how that went.

19 A Okay. One of my roles as engineering
20 assistant was to coordinate with all the groups from
21 the control center operations, construction, mechanics,
22 electricians, everybody -- contractors, everybody that
23 was involved with performing the ^{tie in} ~~tying~~.

24 The displacements of products through the
25 line for putting pigs in the right place so that you

1 could make nitrogen displacements, writing up the
2 procedure, making sure that the details were -- the
3 volumes and locations, people's work activities -- were
4 identified so that we had an action plan of how we were
5 going to accomplish emptying the line, separating it,
6 reattaching and refilling.

7 Q Okay, and then that process began. Were you
8 out in the field the day they were filling the line up?

9 A Yes. I would usually make myself one of the
10 team people to participate because it took those
11 projects typically -- it typically took all of our
12 resources.

13 And I was another one of the resources.

14 Q How did that project go? Just start up. I
15 mean the actual physical startup of the line,
16 commission of the line. Just kind of describe that
17 process, what happened, what you can remember.

18 A Well, we emptied the line whereby we utilized
19 nitrogen to displace the product out by pushing a
20 scraper pig, ^{Cup}~~scraper~~-pig, with nitrogen behind it to
21 displace out the diesel fuel that was in the line
22 section.

23 Then, we would blow down that nitrogen in the
24 pipeline into the various containment areas. And then
25 we'd turn it over to the construction folks to separate

1 the pipeline and tie it into the new line sections.

2 And then we'd go back through the process of
3 filling the line. And we had ^{fill rate} ~~full~~ reach that we didn't
4 want to exceed at a control center. We'd, you know,
5 work with the refineries as far as starting up at a
6 slow rate.

7 We would be evacuating the nitrogen in the
8 line out while we were just making the displacements.
9 We had vacuum trucks and tanks all connected.

10 When the diesel fuel would arrive, then we'd
11 stop the process of eliminating air into these
12 containment areas, and then we'd begin displacement of
13 the diesel into the -- at that time, it was the utility
14 tank when we originally started, displacement into Bay
15 View, because we had essentially had a void location.

16 So we filled the piping. And then we put a
17 certain volume of diesel fuel into the utility tank so
18 that the surge relief system could be activated for
19 protection of the line sections and inside the
20 terminal.

21 And then we -- at that time, I believe that
22 we found that one of our surge relief valves was not
23 closing. It was set real low. It had a low setting.

24 During all of this, it's pretty noisy trying
25 to fill the line without ^{getting} ~~great~~ air and nitrogen out of

1 the line.

2 As I recall, I can't remember which valve
3 exactly that was. Whichever, it was on the surge
4 relief side going to the utility tank.

5 The mechanics went out there and checked it
6 out. They made some determination at the time I think
7 that it had a wrong spring or a wrong setting, or
8 something, in it.

9 Q Were you involved in that?

10 A Well, I can remember going and checking on
11 them, seeing how they were doing. But, as far as
12 standing over their shoulder, no, I didn't.

13 Q You didn't check, you weren't involved, you
14 didn't check the vendor's literature or do anything
15 like that to help them determine what they needed to
16 do?

17 A Right then? I don't recall exactly all I
18 did. This was after a pretty long day for me.

19 Q I do recall that we did look through some
20 file cabinets there at Bay View. I don't recall what
21 we were looking for though.

22 I'm not sure about what else we were...

23 Q What was the outcome? I mean, did the
24 project stop until something, I mean?

25 A Oh, yeah. Well, we shut down making

1 delivery, isolating because we were continuing to flow
2 through this valve into the utility tank. We only
3 wanted to put a certain volume in there; until we
4 figured out where it was coming from, I think we put
5 another couple of feet of diesel fuel into that tank.

6 Shut that down. They worked on it. I
7 believe they found what they believed to be the problem
8 and put us back in the business.

9 Q You didn't all go home and come back the next
10 day or anything like that? That was a short
11 interruption in the project and then it continued?

12 I'm trying to get a sense of how --

13 A Oh. I think it was a short interruption and
14 then we continued.

15 Q So it wasn't like down for a day? You'd come
16 back a day or two later and then --

17 A Not that I recall, no. We were pretty much -
18 - we needed to get this -- I usually tried to figure
19 out the time frame that was necessary in order to
20 complete project, and divided it up into based on how
21 each section, you know, displacements, blowdowns,
22 construction and weld, tie-in work, x-rays, and all
23 that, and then refilling.

24 And then, you know, just the process of, you
25 know, all these different processes and trying to come

1 up with a time frame. And then trying to live within
2 that time frame.

3 Usually, I was always a little optimistic on
4 that, too. We always went over it. Typically, I
5 always went over it.

6 MR. SIM: Excuse me, Allan. I just want to
7 suggest something to you. This is an area where
8 Richard has some fairly detailed notes in his
9 daytime... if you could make those available to him,
10 that might refresh him as to exact times and dates.
11 What they did.

12 MR. BESHORE: Okay, sounds good. Let's see.
13 This would be the 6/98, 2/99, right?

14 December '98?

15 MR. KLASSEN: Yes, I think December.

16 MR. BESHORE: Yes, why don't we just go off
17 the record for a minute and let Richard take some time
18 and look through there.

19 MR. SIM: We're off the record?

20 (Record paused.)

21 MR. BESHORE: We're back on the record now.
22 Richard has had an opportunity to review his planner
23 notes in a little detail.

24 BY MR. BESHORE:

25 Q And if we could just start off on what was

1 the date there that the project began and kind of maybe
2 go into a little more detail than you were explaining
3 to us before?

4 A The dates were December 16 and 17. It was
5 the 16th in the early morning, it says that our first
6 scraper pig had arrived at our block valve location at
7 milepost 33.8 at 5:50 in the morning.

8 That's when we had started to do some lockout
9 and tag-out activities in preparation for the nitrogen
10 displacement from that...

11 Q And that's downstream of Bay View?

12 A No, that's upstream of Bay View. That's
13 prior to arriving at All^eyn Station. And All^eyn Station,
14 according to the original line sheets, was milepost
15 37.4 or something in that neighborhood.

16 This milepost 33.8 is the first block valve
17 upstream of that location.

18 Q Okay. Then it says that we, according to my
19 notes, we began the nitrogen injection at 8 o'clock,
20 shut down about 9:20 and the... station at 9:30.

21 Q So you're purging the section between that
22 block valve and All^eyn?

23 A Right.

24 Q Okay.

25 A Then, we evacuated the nitrogen out of that

1 line section (perusing).

2 We had evacuated the nitrogen. We found that
3 we had some gas vapors which were not necessarily the
4 right thing to have there at that time. But, we found
5 that we had a weeping cross-over valve at Allyn^e
6 Station, which let some gasoline vapor into the other
7 line section.

8 So then, when we discovered that, we made
9 some corrections. I remember Frank had helped with
10 that because he was there at that time helping us to
11 figure out how we could stop that.

12 By 11:30 in the morning, we had completed
13 that work and we were turning it over to the
14 construction department so they could begin their
15 cutouts, so that they could do their tie-in work and
16 the other work that they were involved in.

17 And it took them from 11:30 that day until
18 1800 on one end until 2250, almost 2300 on the other
19 end to complete those cutouts and tie-ins.

20 I don't have a time for when we started the
21 reopen of the block valves so that we made the
22 displacement, but sometime after that, we had done
23 that.

24 We were displacing into tank 209, which is
25 the trans-mix tank at Bay View terminal, or the slop

1 tank, or however you'd like that described.

2 Then, we filled the piping. Once we got the
3 piping at Bay View filled, then we filled the piping
4 over to All^eyn from Bay View. Identifying that we
5 repressured piping at All^eyn Station.

6 This is all on the Ferndale line segment into
7 Bay View and All^eyn. It was at that time that we
8 discovered that the Bay View surge relief have the
9 pilot springs too weak. "All springs need 4." So,
10 evidently, we needed four springs to set at the 700
11 psi, that range.

12 And then the others were to be set for the
13 270 psi. That was inside the piping, and the 300 for
14 the 150-^{ANSI-class}~~anti-class~~ piping.

15 It ~~talks~~ talks some more work that we had a
16 contractor doing unpinning the legs on the tank so that
17 we could utilize -- pump that product back down, if
18 necessary.

19 It talks about looking at the internal
20 floating roof, the seals and the pins. It talks about
21 our electrical guys, Jeff, Barry and Jim Traphofner,
22 commissioning the pressure transmitters.

23 Ken Huff was on the control valve operation
24 and control, and also programming. He was the computer
25 programming guy. And replaced the springs on the

1 incoming stream surge relief valve and ordered the
2 others. Then it says we started up in Ferndale at
3 10:30 on the 17th. That would have been in the
4 morning.

5 Q You started pumps at Ferndale and started
6 flowing the line?

7 A Yes.

8 Q You wouldn't have been able to use your pipe
9 at all until you got that surge relief involvement or
10 control; right?

11 A Right.

12 Q And that would have shut you down?

13 A It would have continued to flow product into
14 the utility tank.

15 Q So that had to be taken care of?

16 A Right. I just don't have how long that took.

17 Q Is that the first time you guys realized that
18 -- I guess that's when you discovered you had these
19 weak springs; right? I mean nobody knew it before
20 then?

21 A Evidently not.

22 Q Now you tied in the Anacortes side at some
23 later date? Is that --?

24 A We did that in January '99. I want to say
25 the 6th or 7th, or something like that. Or, 16th?

1 Maybe, it was the 5th and 6th. I'm not sure exactly.
2 It was just after the first of the year.

3 Q Okay.

4 A I could look, I guess, if it's in here.

5 Q Oh, that's okay.

6 A On the 5th, I had a meeting talking about it.
7 Then, on the 6th, we went up to the Anacortes area and
8 had another meeting with those people that would be
9 involved up there to make sure they had their roles
10 prepared, or what their roles were to be in the job.

11 On the 7th, we went through a facility check
12 making sure the equipment was working. It must have
13 been on the -- they were cleaning tanks. So it was the
14 11th and 12th, January 11 and 12, Bay View/Anacortes
15 tie-in.

16 Q But, by then, you were aware of this
17 situation with the relief valves so you didn't have the
18 same -- you had already changed the springs by the time
19 this happened, this came about. Right?

20 A Yes. I believe so.

21 Q Okay, let's just talk a little bit about now
22 once this station was commissioned, I mean how did
23 things work? I don't mean how things worked
24 physically, I mean how well did they work?

25 Were there problems with the operations once

1 Bay View came on line that you guys became aware of?

2 A Well, we initially started up by not filling
3 any of the tanks. They were still -- at that time, we
4 were tightlining through.

5 And, why? I don't have the answer to why we
6 were still doing that. From what I was reading later,
7 they still were doing some tank cleaning. I think
8 there was an issue with the quality assurance guy that
9 the tanks weren't clean enough and they wanted to make
10 sure that they were prepared properly inside so that,
11 you know, he'd be satisfied with the quality assurance
12 of the product.

13 So there was a program that they put on to
14 have all the tanks cleaned very thoroughly. As far as
15 problems, I'm not sure.

16 Q All right, let me ask you this. In terms of
17 the setpoints, were you involved in setting the
18 setpoints for these relief devices?

19 Was that part of your involvement?

20 A Oh, well, we all sat down and were trying to
21 make sure that we had a good process and a good --
22 everybody working off the same rules of pressure and
23 what the limitations were.

24 And I'd sit in on some meetings sometimes.
25 Most of the time, Craig and Ron Brenson were involved

1 with the pressure setpoint setting.

2 Q Do you remember the various levels of
3 protection at Bay View? I mean the setpoints?

4 A Well, we were -- once you got into the
5 facility, we had 300 ~~ANSI~~^{ANSI} class rated flanges and
6 valves, fittings. And the maximum pressure for that is
7 720 pounds, so we were trying to make sure that we were
8 staying under that.

9 So we had a 700-pound limitation on pressure
10 switches, and I believe at the time it was -- we were
11 debating on whether it was 700 pounds or 600 and
12 something for where the surge relief should go, because
13 we had debates on whether the range of where the
14 pressure reliefs should operate at.

15 Q Did you look at the manufacture's literature
16 for these relief valves during this process? Do you
17 recall?

18 A We looked at so many things. I'm not sure
19 what -- which one we would have looked at, or if we
20 would have looked at that. I remember looking at that
21 data. I don't remember when exactly I looked at that
22 data.

23 Q Well, do you recall there being any concerns
24 about the relief valves, you know, after the line came
25 on into operation?

1 A Well, there were some instances where the
2 pressure switch would be activated. And that would
3 trigger you why there wasn't a good interaction between
4 the pressure switch and the surge relief valve.

5 So, yeah, I guess there would be some
6 questions about that. And then that triggers having
7 the maintenance folks go out and verify that the
8 equipment is working the way it's supposed to be.

9 And that's typically the process we went
10 through.

11 Q I didn't follow you. The switch, the flow
12 switch, pressure switch versus the relief, what -- ?

13 A Well, there was a pressure switch, which is
14 your fail-safe device that, if you get to that pressure
15 setting, which I believe we set at 700 pounds, if we
16 would get to that point, then we would want to protect
17 the piping inside Bay View terminal.

18 So, in essence, closing off flow and setting
19 that as a safety set point. The surge relief role was
20 to eliminate that before you'd get to that point. So
21 we evidently had those set very close to one another.

22 Q Okay, so you recall then the incoming block
23 valve closing at the 700-pound set point?

24 A Right.

25 Q And did you have meetings, discussions with

1 folks on what to do about that?

2 A Meetings, discussions. I can't -- I don't
3 remember what we would have had discussions or when we
4 had discussions or if we had discussions.

5 There were times, I'm sure, that we talked
6 about set point ranges. But I'm not sure. I can't
7 remember the context of when we had those discussions.

8 Q Do you recall that there were concerns that,
9 you know, you're reaching this 700-pound trigger and
10 this is happening? I mean is there some level of
11 concern that you recall people having about this?

12 A Level of concern. Well, I'm sure that if
13 we'd sent -- if we had had this type of instance, we
14 always made sure that we would have somebody go check
15 out the equipment to make sure that they could verify
16 that it was properly set and operating correctly.

17 But, other than that, I don't remember a lot
18 of "Why is this doing this? Why aren't we, you know,
19 making some other change," or whatever?

20 No, I don't recall that.

21 Q Okay.

22 A It doesn't necessarily mean that it didn't
23 occur, but I don't recall being involved with that.

24 Q Would that be something that would be in your
25 notes? We have that time frame here. Some

1 conversation might be in there --

2 A Yeah.

3 Q -- that would trigger your memory.

4 A Yeah, I think there was one instance where --
5 I think it was an instance where we made a change to
6 650 pounds.

7 Q Changed the set point on the relief valves?

8 A Oh, yes, it would have been what the
9 mechanics were doing, you know, just working with them,
10 talking to them, saying, "Okay, what did you guys do?"
11 I would make some kind of notation like that.

12 Q And you say it was changed to 650?

13 A I think that was the setting that was chosen,
14 was 650.

15 Q Do you recall what it was originally set to?

16 A I'm not sure if it was 650 or 700 pounds. It
17 seems like we had 650 and 700 was our range. Which one
18 did we set it at? I don't recall.

19 Q Do you recall what the set point is on the
20 letters on the control valve that's in there also
21 coming into the inlet side?

22 A Well, the control valve had -- the control
23 valve worked off of pressure, pressure indications.
24 And it was a pretty complex setup, too.

25 I'm not even sure that I understood all of

1 how that worked. It could work off incoming pressures.
2 It worked off of discharge station pressure. It worked
3 off -- it had a lot of different interactive -- from an
4 outgoing pressure, an incoming pressure. It could
5 activate how it would be manipulated.

6 Q Okay, so that was adjustable then?

7 A It was through the --

8 Q I mean from the controllers? They had
9 control of that setting?

10 A I'm not sure if the controllers were able to
11 make that adjustment. It may or may not -- they may or
12 may not have had control of it at Renton.

13 Or it may have been controlled right there at
14 Bay View in the PLC Program. I'm not sure if that
15 latitude was given to the controller to make too many
16 changes.

17 They were probably able to -- I'm not sure,
18 but I think they were able to make incoming pressure
19 changes in order to shut the facility, or shut the
20 line down to ramp it up so that you would increase
21 pressures, so that they could close it in and hold a
22 pack on that line section.

23 Q Let's think a minute about the surge began.
24 And in the context of, you know, maybe overall
25 concerns, or punchless... this kind of thing that, you

1 know, after the line was commissioned.

2 I mean were there other concerns? Was
3 everybody happy? Was everything going smooth?

4 A There's always items to follow up on,
5 especially since we had tanks that were being cleaned.
6 And with that, since we had just started the Ferndale
7 section, we had to verify that the Anacortes -- that
8 there were two separate incoming and outgoing line
9 sections.

10 So the Ferndale line section we felt was
11 checked out. But then we also had to go through and
12 verify that the Anacortes line sections were,
13 incoming/outgoing, were all properly operating.

14 So we did a lot of checking on that equipment
15 before we did the Anacortes side tie-in. So there were
16 all kinds of punchlist items that were still -- that we
17 were still involved with to get maybe prepared for a
18 dual operation from both Ferndale and Anacortes.

19 Q Did you ever have any meetings where you sat
20 down and everybody discussed any concerns they were
21 having, and that kind of a thing? Were there progress
22 meetings?

23 A That's a good question. It sure seems like
24 we did. I'm having a hard time remembering that. We
25 were doing so many things. My focus after we got that

1 one tied in was to get focused on getting the Anacortes
2 tie-in work ^{Prepared} repair.

3 So there may have been a gap -- there was a
4 gap in my interaction with the Ferndale work seeing
5 that Bay View, okay, we got Bay View going, and
6 Ferndale flowing through. Now I've got to get the
7 preparation work done so that we can get the Anacortes
8 line flowing through.

9 Q So you weren't so concerned about operational
10 issues at that point anyway?

11 A No.

12 Q Because you were preparing for the Anacortes
13 tie-in.

14 A Correct.

15 Q Then, after that, you say mid-January I guess
16 is when that occurred, right?

17 A The 11th.

18 Q Then, after that, I mean what about overall,
19 you know, issues, I guess? Operational issues? I
20 guess what I'm trying to understand, if this valve is
21 closing and shutting down the pipeline, it would seem
22 to me that that can cause -- you know, I mean it's not
23 an easy thing. You've got to restart the line again,
24 do all this stuff.

25 A Right.

1 Q The controllers have got a lot of things that
2 they've got to do. So I'm trying to understand what
3 level of concern that raised with folks.

4 And you don't recall that being a real
5 concern with people in any of your discussions?

6 A I recall that there was some controllers had
7 issue with it because it was something that was
8 attempting to operate the line with Bay View.

9 It made it more difficult with Bay View
10 involved with the Ferndale to ~~Allen~~^{en} to Renton sections.
11 It's like it put a whole new sensitivity issue into
12 operating that line section because it was less
13 forgiving pertaining to pressures.

14 With a 300 AN^SCI class piping and with the
15 lower pressure settings, you had to be very careful,
16 that the controllers had to be very careful in
17 operating that line.

18 And with ~~Allen~~^F station only a mile and a
19 half, less than two miles downstream, with the amount
20 of horsepower that was located at that location, it
21 made it sometimes difficult for these guys to start and
22 stop those; because it was just an all new operation
23 for them.

24 They'd added -- we'd added approximately
25 three miles of pipeline, three or four miles of

1 pipeline that wasn't in there before. There was a new
2 pump station with lesser pressure-rated piping
3 involved.

4 Some other pumps that you had to -- that it
5 took a new finesse on starting and stopping because
6 everything being operated through the PLC system, which
7 we were moving forward on trying to get those
8 throughout the company.

9 It was just the complexity and the operation
10 of the system completely changed once Bay View was
11 added. And it was something that the controllers and
12 field people weren't really used to.

13 Is that clear?

14 Q Yeah. I'm thinking. I was back to my surge
15 relief valve. You don't recall any, you know, anybody
16 expressing concerns that this is not operating
17 properly, the valve for surge relief?

18 A Well, there were some instances where we
19 believed it should have worked faster. And that's why
20 we, you know, send our mechanics out, to check it out.
21 Say, "Look at this." Or, rather, I wouldn't do it.
22 But, usually, it didn't get to me anyway.

23 But it was in the operational controller,
24 those guys and their supervisors, and getting the
25 mechanics out there to look at it and see what they

1 could do.

2 And they do their check out of it and move
3 on. Make it operational.

4 Q Okay. Did you have, when you first got
5 involved in Bay View, did you solve -- well, let me ask
6 this first.

7 Were you involved in the construction of Bay
8 View or inspecting any of the Bay View construction,
9 that kind of thing?

10 A No. I was -- I had enough to do. There was
11 a whole -- we had outside inspectors. We had an
12 outside project manager. We had an outside engineering
13 firm.

14 We had -- it consumed I believe three or four
15 Olympic personnel dedicated to the mechanical
16 inspection, electrical inspection, welding inspection.
17 And we hired out some additional welding inspection,
18 tank inspection, construction.

19 Project management came from I believe one of
20 the gentleman from the Equilon Refinery. I think, the
21 tank inspector, too. Jacobs Engineering was on site.

22 So there wasn't any need for me to be there.

23 Q When you first saw, I mean, when you first
24 got involved in Bay View, did you have any concerns
25 with the design of the facility?

1 I mean the fact that it was 300 versus 600?
2 Did that cause you any concern?

3 A Oh, you know, it's one of those things where
4 you'd say, "Man, it would be nice if it was all the
5 same, you know, if everything was still 600 pounds."

6 But, then, on the other hand, you have to
7 realize what was its purpose. And its purpose was to
8 have tankage. And with tankage, you're ~~falling~~^{flowing} in and
9 out of tankage.

10 And, with that, you don't need the higher
11 pressure rating equipment. So it was an engineering
12 judgment on somebody's side that made that
13 determination.

14 I would agree that it's probably a pretty
15 good decision. I wished it would have been 600 pounds,
16 but it wasn't.

17 Q And then there was no way to by pass the
18 facility, was there, at that point?

19 A To completely bypass the facility? No.
20 There was no means of completely bypassing.

21 Q And you could tight line but you still went
22 through the 300 pounds. You still had... pressure
23 protection concern.

24 A Right.

25 Q What about let's talk a little bit about the

1 O&M procedures. Did you have any involvement reviewing
2 or drafting O&M procedures at the time?

3 A Yeah. I was on ^{one} ~~some~~ of the team that was
4 doing that. And, every time I would submit my stuff,
5 they'd already done it. So I was always a day late on
6 getting in on doing a lot of the actual operation and
7 some maintenance manual procedure stuff.

8 I tried to work on valve sequencing and
9 interaction and it ended up that there was another guy
10 doing the same thing, too. And his was what I was
11 trying to do.

12 And he got into the computer system and
13 program first, and it looked good to me.

14 Q Well, this was after Bay View. Right? So
15 this was to update your procedures for --

16 A No, no, we were working on that all along. I
17 mean, we'd been working on procedures and how to do
18 things and how things would interact long before it was
19 built.

20 Q Valve sequencing, help me out with that.
21 What do you mean by that?

22 A Well, for example, what valves would
23 interlock with others. If you opened one up, would it
24 be interlocked with another valve to tell that valve to
25 go closed so that you wouldn't have two valves open,

1 for example, going into a gasoline tank and a diesel
2 tank at the same time.

3 You'd want to make sure that if you had
4 gasoline coming in, you opened the gas valve. If a
5 diesel valve would open, it would go closed. If it was
6 open, it would go closed.

7 So it was if you had how the pumps would be
8 initiated to start operation, you could hit a start
9 sequence, make sure the discharge would close the
10 discharge valve. And then recycle the discharge valve.
11 The pump would start.

12 And then it would start discharging a higher
13 pressure. So that you didn't over-amp your motor.

14 There was sequencing and interlocks and what
15 could and what couldn't open. If one thing was open,
16 you couldn't open another thing. You know, there was -
17 - it was just logic on how we wanted to protect all the
18 products from being contaminated.

19 Q What other parts of the O&M manual were you
20 involved in?

21 A Oh, I got to participate in the fire -- the
22 program that was installed for fire protection. There
23 was some indications that would go through into the
24 PLC, which would be sent back to the control center.

25 It was pretty much just taking the data from

1 all these different -- from the manufacturer that we
2 had on the control panel on the inside of Bay View's...
3 to what was identified or displayed on the Bay View
4 computer, and then what was displayed into the control
5 center.

6 And what was out in the actual fire building.

7 Q After Bay View was installed, I mean, were
8 you involved in any effort to update your O&M manuals
9 to reflect a new station being on line?

10 A Well, that was the purpose of writing all of
11 these manual procedures and sections and how it works.

12 We had some help. Actually, I think we also
13 did some other things. My participation in writing the
14 kind of a general statement on why is Bay View terminal
15 here.

16 You know, it's just kind of a half a page,
17 just a broad statement that spelled out what it's
18 purpose is.

19 Q And you had done that before the accident.
20 Is that right?

21 A Oh, yes.

22 Q What kind of training have you had in terms
23 of the internal inspection review, this type of thing?
24 Prior to the accident, what kind of training programs
25 did you attend?

1 A There were no training programs. The only
2 thing that I had done was worked with the inspectors
3 from the Smart Pig contract companies just to help
4 understand their data.

5 You'd have the lead inspector from Tub^Dscope
6 or Enduro or whoever. And they would go over with you
7 the data that they had collected. I'm sure you've seen
8 a lot of the just raw data, squiggly line looking
9 things. And how they would interpret that just from a
10 field point of view.

11 There was a binary code at the bottom of the
12 page with a certain -- in the early nineties you had a
13 card with a disk on it that you used to read the binary
14 code and then translate that to something significant
15 for 0-clock position of the tool footage from origin
16 point.

17 They would describe what casing indication
18 was and going into it or going out of a casing
19 indication.

20 There wasn't a whole lot for us to, you know,
21 there weren't a lot of different types of indications
22 for them to really describe it.

23 Every inspector would go through and pretty
24 much try to give you some of the basic data of what it
25 is that they're trying to report.

1 Q While you were out on the scene, you know,
2 working with these guys, you didn't really have any
3 kind of "informal", quote?

4 A No. There was no formal class, no.

5 Q But you were not the one -- let me rephrase
6 that. Were you relying on Tub⁸scope or vendor to
7 actually read the logs and provide you with the
8 information?

9 A Yes.

10 Q Let's talk just briefly about the control
11 valve that I mentioned previously coming into this
12 station. Were you aware that the incoming one had a
13 stop in it?

14 A Oh, so they could only close to a certain
15 point?

16 Q Yeah.

17 A I'd heard that later. I wasn't really aware
18 of it in the beginning.

19 Q Later, you mean after the accident?

20 A I'm not sure exactly if it was prior to or
21 after the accident. I just remember them saying, yes,
22 there was a stop in there which kept it from completing
23 a closure so that you could not actually block the
24 ~~screen~~^{Stream} completely.

25 Q Let's just --

1 A It might have been before the accident.

2 Q Okay. Do you recall if there was any action
3 taken as a result of that? What action was taken once
4 they became aware of that?

5 A I don't -- I think, well, the only thing that
6 I recall is that there was some issue with controllers
7 putting in set points. And they didn't think that it
8 was reacting the same, and so that when they -- I
9 believe they found out that that was the case, it had a
10 stop in it, so they readjusted their -- zeroed ^{to} a
11 hundred percent.

12 So that they would indicate where it was in
13 the percentages of open and closed, and realizing that
14 they could not completely block the stream from
15 flowing.

16 Q Okay, I think I understand. All right. And
17 then let's see. Let's talk a little bit about the
18 actual day of the accident.

19 Where were you when you first became aware
20 that there was some kind of a problem?

21 A I was in a van that we'd rented. I was
22 driving that back from Bay View terminal where we had a
23 group from the company that was wanting to purchase
24 some ownership stock of Olympic pipeline.

25 And I believe some of them were from a

1 company called Kinder^{/M}morgan. But I'm sure there were
2 probably some others in there.

3 Q Were they with you in the van?

4 A I was driving. Everybody -- it was a large
5 van. It was full. There was probably a dozen people
6 in there.

7 Q And you'd already left the facility?

8 A We were actually in Tukwila, just about a
9 mile and a half from the office.

10 Q And what occurred at that point?

11 A My pager was activated. Mr. ^{Beu}~~Bue~~ was in the
12 van, too. I had my radio with me, talked to the
13 control center and then we -- we were on our way back
14 to Renton anyway, so we just continued that path and
15 got right into the office and started working as if it
16 was an emergency response issue.

17 Q What did you do with your tourists?

18 A I got out of the van and left them in it.
19 Told them they could take it if they wanted to.

20 Q That was at your Renton headquarters; right?

21 A Right.

22 Q So you don't know what they did.

23 A I don't have -- from that moment, I don't
24 know what they did.

25 Q When you found out, was it at that point, was

1 it a leak, or was there an ignition?

2 A A leak. There was a release.

3 Q Were youⁱⁿ headquarters ~~in~~ when it was
4 ignited?

5 A Yes.

6 Q Do you recall how long a time difference it
7 was?

8 A I'd say it was at least an hour, probably, or
9 in that neighborhood.

10 MR. BESHORE: I think I've asked enough
11 questions at this point. Well, let me back up just a
12 minute.

13 MR. BESHORE: We talked about our factual
14 report. And you had an opportunity to read that? Is
15 that correct?

16 MR. KLASSEN: Yes.

17 MR. BESHORE: I'm just giving you a copy of
18 it and I'm not going to mark it as an exhibit. But
19 I'll just give you the -- I believe it's a four-page
20 summary report. That's actually the NTSB part of it.
21 I can find the appendices, if you'd like.

22 But, you mentioned that you had some comments
23 on that, so perhaps you could share those comments with
24 us.

25 MR. KLASSEN: Well, in the first paragraph,

1 MR. KLASSEN: That's okay. There weren't any
2 things in those sections anyway. There was very
3 little, as I recall... signs.

4 (Perusing documents.)

5 MR. BESHORE: Any other comments?

6 MR. KLASSEN: Just you make the statement in
7 the one paragraph about the engineering assistant
8 provided a copy of a dig sheet, Olympic's supervisor
9 for excavation and inspection of the anomalies.

10 And then it says that he sent somebody out
11 and they came back and told him it was too wet to
12 perform the excavation at the time.

13 The construction supervisor reported this
14 back to the engineering assistant. He was told they
15 would go back and try it again when it dried up.

16 Now that sounds like what we would have said.
17 Now, whether or not we said that or not, I'm not sure.

18 But that was more of our normal operation,
19 was if it was too difficult to get into a spot, that
20 is, just impossible for them to get in there and do
21 work, we would reevaluate it unless it was a location
22 that we felt was critical.

23 And then we would make some kind of
24 arrangement, you know, by going to the extent of
25 putting sheet pile down to get in to make an

1 excavation.

2 But, normally, if it wasn't significant
3 enough for us to react immediately, we would wait until
4 we had some drier weather.

5 MR. BESHORE: You don't recall this
6 conversation? It was pretty much based off of Jim
7 Cargo's.

8 MR. KLASSEN: I just don't remember it. But,
9 from the notes I have, I mean these were notes that I
10 placed on there that were supplied to me back from what
11 the field guys had turned in.

12 So it leads you to believe that that's what
13 we probably said. But I don't recall what our
14 conversation was exactly.

15 MR. BESHORE: Okay.

16 MR. KLASSEN: And then your next paragraph
17 says that the information that they used for evaluating
18 of gouges and dents.

19 It doesn't say anything about corrosion in
20 there. You left out one -- I mean, I would like to
21 have seen the word "corrosion" in there, too.
22 Corrosion, you know, other anomalies, because that's
23 what essentially that B-31-G calculation is for is
24 corrosion.

25 MR. BESHORE: Yeah, and Richard, I --

1 MR. KLASSEN: Are you referring to that other
2 article?

3 MR. BESHORE: Yeah, we're talking about this
4 article here that Olympic provided. It's on dents and
5 gouges and it's in our appendix.

6 MR. KLASSEN: Okay. That's the reference to
7 that but I believe we did talk about the other
8 corrosion stuff elsewhere, because we talked about the
9 [?] ASP evaluation.

10 ^{WACE?} And then the letters to the DOE, you know,
11 just getting back to that information from my
12 spreadsheet, it was my role to make sure I provided the
13 spreadsheet with the summary data.

14 And it was the role of others to prepare the
15 letter that would go out to the Deputy, DOE.

16 MR. BESHORE: And who would those others be?

17 MR. KLASSEN: We typically went through the
18 process of our Environmental guy, Bill Mulkey, if he
19 was around at that time. But, I'm not sure he was
20 there right then.

21 And then Frank always had the last comment,
22 or would write the majority of it himself. And then
23 attach whatever other data we had.

24 For example, in one report, we added the
25 report from Pacific Testing Laboratories for the

1 analysis of the pipe, 20-inch line.

2 Other than that, it's a very good report.

3 I'll get that in there for you.

4 MR. BESHORE: Thank you.

5 (Laughter.)

6 MR. BESHORE: All right. Having said that, I
7 think we'll break for lunch and go off the record at
8 this time.

9 (Whereupon, the interview recessed for
10 lunch.)

11

AFTERNOON SESSION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. BESHORE: As I mentioned before lunch, I think I'm finished with questions.

MR. SIM: Hold on. I think Richard had something he wanted to amplify in response to the last question you'd asked him about the draft report.

MR. BESHORE: Oh, okay. Very good.

MR. KLASSEN: This was only one portion of it. I also read the 89 pages with Mr. Cargo's testimony.

And it just seemed like there was a lot of -- what seems like Jim may have tried to understand from his recollection a lot of things that it almost read like he was trying to satisfy everybody in the audience rather than try to remember what actually happened.

For example, just the fact of this location. We talk about the location was not very accessible. And the question about it being too wet.

And I'm not sure that it actually occurred there or not. I'm sure there were other locations where it was probably very wet. But it just seemed very likely, specifically because of my July '97 date.

And in that part of the country, July is the beginning of the dry season of the Pacific-Northwest.

It's hard to remember everything that was in those but the typical way that we would -- this data

1 would get to the end of the field to the construction
 2 group was my taking the data from Tub^cscope or Enduro,
 3 translating that into something from all the tools that
 4 I had, and information, coming up with specifically
 5 this sheet and some other attachment documentation with
 6 it.

7 And then giving those to Jim or whoever was
 8 in charge of the construction group for them to take
 9 that pile of excavation locations and sort it out to
 10 his group. And let them go and research the location,
 11 identify, measure out the spot that they do the
 12 excavation. ^{Marked it,} ~~Market,~~ place a one-call through ~~the~~
 13 different people in the company.

14 And then follow up, and then go back whenever
 15 that time was that they were going to do the
 16 excavation. Possibly, reidentify that with another
 17 one-call. ~~And then go inform the pig.~~ ???

18 In instances where it was early in the year
 19 when it was still very -- would possibly be very wet,
 20 they would, depending upon its importance or
 21 seriousness or significance of what its ^{metal} ~~well~~ loss
 22 indicated, or dent size was pertaining to what was
 23 returned from the Enduro people, we would make the
 24 decision on, okay, we could wait until possibly a later
 25 time or make the judgment to use a greater -- go to

1 greater extents to excavate with the additional tools
2 necessary to get in there at that moment.

3 If the decision was made to postpone it, and
4 if it was lower down on the scale of importance, it was
5 typically something that they would come back to me and
6 say, "Oh, we're going to wait until when it's dry."
7 They would just put it back in their pile and would get
8 back to it when it was more accessible to do, and then
9 jump on it.

10 But, at the same, they wouldn't just do
11 nothing. They would continue on with their program.

12 So it may be misleading to some people to
13 think that there was a daily conversation between us.
14 It was pretty much:

15 Here's the things we need to do. And you
16 guys get these done. Here's kind of a listing of what
17 we think are the most important and should be taken or
18 made higher on the priority list.

19 And then these others we want you to get
20 through during this time frame that makes the most
21 sense for you guys to access them, because you're the
22 experts and doing the excavation work.

23 And then, as they would turn this information
24 back in, I would see where we were missing or had not
25 gotten to some of these locations and would go back and

1 say, "Hey, how are we doing on -- I see that we still
2 need, you know, locations 10, 11 and 15," or something.

3 And they'd say, "Oh, yeah, we're going to get
4 to those, but here is our -- we ran into some problems
5 with this, or it's a permit issue."

6 Or, you know, there was something that they
7 had to deal with at the time.

8 So it's not really a -- we can't really rely
9 on the pattern being exactly the same for every one of
10 these.

11 MR. BESHORE: You don't recall having any
12 conversations with Jim on this particular spot?

13 MR. KLASSEN: Not exactly, no.

14 MR. BESHORE: If you reevaluated it and
15 changed your mind, you know, said, well, we really
16 don't need to go out there, would that be something
17 that you would relate back to Jim?

18 A Oh, sure.

19 Q Say, "Jim, I took another look at that.
20 Don't worry about it," kind of a thing?

21 A Oh, definitely. If we would have made the
22 decision that we weren't going to do it, we would have
23 gone back to him and said, "Okay, we're taking this one
24 off the list."

25 So I feel confident that we did have some

1 conversation about this location because getting back
2 these notes and then my making this other note off to
3 the side made me think that we had some conversation.
4 We did some reevaluation, speaking with Frank, you
5 know, based on the data that we believed to be true.

6 Coming up with a decision what we would go
7 forth with, and then moving on.

8 MR. BESHORE: And you feel like you
9 reevaluated it basically and took that off the list
10 based on what your notes indicate and your
11 recollection?

12 MR. KLASSEN: Right.

13 MR. BESHORE: All right. Anything else?

14 MR. KLASSEN: Oh, I'm sure there were a couple
15 of other things in there that I was tickled. It took
16 me a little while to read all of that.

17 MR. BESHORE: Oh, in Jim's attachment?

18 MR. KLASSEN: Yeah.

19 (Laughter.)

20 MR. BESHORE: All right, let's go ahead and
21 get started with follow-up questions.

22 Jerry, do you have any follow-up questions?

23 /

24 /

25 /

E X A M I N A T I O N

1

BY MR. SCHAU:

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

Q Mostly, I'm interested, Richard, in understanding what your role was in the internal inspection analysis.

I got a couple of comments, or I heard a couple of things that you said during the question and answer that Allan was doing.

Can you just walk me through what your process was? What did you do? You know, starting from did you run the contracts for Tub^Dscope? Talk about just the '96 ones.

A Okay. The '96 ones, you see, there was a change between in early '91 when we were doing it ourselves to later on in '95-'96 when the managing company, TTTI, made the decision that all the Western Region would be under one Tub^Dscope contract.

And that was handled out of the group in Bakersfield, California.

So what I did was presented them with a list of all the different line sections that we needed to inspect. They added it to the list for their contract that they were working out with Tub^Dscope.

And then we got some kind of pricing break or whatever for having x-amount of miles of pipeline to

1 inspect as a Western Region.

2 And then tried to work out the schedule with
3 where the specific tools were. If it was in
4 California, for example, the 20-inch tool, they'd say,
5 "Okay, when they get done with the 20-inch tool in
6 California, we're going to bring the 20-inch tool up to
7 you in Washington."

8 We said, "Great." You know, just "whenever
9 you're ready, please come. You know, we're ready to
10 go."

11 And then some of the other sizes the Western
12 Region in California folks didn't have, so the
13 ~~Tube~~scope was then dealing directly with us. Not on
14 the contract issue but on scheduling when they should
15 show up.

16 Q ... dates.

17 A Right. And then we tried to keep them -- we
18 tried to bring them up and do all the inspections in
19 one shot. There were some advantages to having one
20 crew there because once you let them go, they may go to
21 Europe, Africa, Asia, Australia.

22 You didn't know where they were going to go.
23 And then trying to get on their schedule to get back.
24 It was much better to have them there, keep them there,
25 get them in and get all the lines inspected, and then

1 let them go.

2 Q So all of that scheduling and contracting and
3 all that was centrally managed in '96 anyway by TTTI?

4 A The contracts were. The scheduling, the
5 specific scheduling for the line sections came back to
6 me and the group, and our engineering group.

7 But I really scheduled most of them.

8 Q Okay. So then you got the tool on the line.
9 Were you getting preliminary reports back then?

10 A We didn't get what they called a preliminary
11 report. What we got was a field report. You know, the
12 inspector would verify that the data that he recorded
13 was either good or not good.

14 And in order for him to do that at that time,
15 they would actually print out the raw data sheets. And
16 he would make the determination whether or not all the
17 channels were working.

18 And if he was satisfied that all the channels
19 were working within the parameters of their equipment,
20 then he would either call it a successful run or an
21 unsuccessful run.

22 And we would either make arrangements to
23 reinspect that line section or, if he said it was good,
24 then we took his word for it that it was good and we'd
25 go on.

1 Q But you didn't use any of that preliminary
2 data for analysis at all? That was just really testing
3 whether the run was good. Right?

4 A No.

5 Q I missed that.

6 A That's not completely true. There was one
7 instance in particular that when we had first
8 specifically the five-mile section between Cherry Point
9 Station and Ferndale Station, when we had put -- when
10 we were able to make that line piggable by installing
11 launchers and receivers in that line section.

12 Tubescope came. We had Tubescope come out.
13 I'm not sure what the year was for that in particular.
14 But, once he showed us the field report log, and from
15 the way his indication of his interpretation saying
16 that "These don't really look that good. Maybe you
17 guys out to go out there and take a look," we pretty
18 much immediately took action off of his report.

19 And I made I think 15 different reports that
20 we went out and inspected. I think up to 15 locations
21 in there.

22 Q Then, normally though, you would wait until
23 you'd get a final report?

24 A Yes.

25 Q Okay, and what did you do with that final

1 report?

2 A Well, once we got the final report, I would
3 go over the data, try to sort it in all the different
4 ways possible that they'd give you the opportunity to
5 analyze -- or not analyze, but just:

6 Here's your opportunity to see here's what
7 your depth is in highest to lowest, lowest to highest.
8 Here's what your length is highest to lowest, lowest to
9 highest. Here's what your PR ratio or, you know, the
10 pressure reduction ratio, would be, you know, from high
11 to low, low to high.

12 There was what they called histograms. You
13 could print all kinds of charts. So I would look at
14 everything that they would try to -- what they had --
15 just to see where do these things fall as far as
16 severity -- pressure.

17 Also print out a chart that you could have
18 them calculate a pressure reduction based on the B-31-G
19 calculations.

20 So you did that. I mean I took every
21 opportunity that they gave me to look at their
22 information as they supplied it, and tried to come up
23 with some recommendations for excavations.

24 Q And then you made DIG reports?

25 A Yes. DIG

1 Q You collected a list of defects to
2 investigate. Right?

3 A Yes.

4 Q What did you use for criteria?

5 A Well, usually, if we'd start with -- well for
6 example, in '96, they were more specific in their
7 depths and lengths by giving you a lot more information
8 than they had in the past.

9 And then I took this -- also took the same
10 data, not believing everything that I saw in their
11 information, and plugged it into my own B-31-G
12 calculations to make sure that we'd come up with the
13 same data, the same answer to the questions.

14 And then based off of those, we had come up
15 with a criteria for -- or we came up with the listing
16 for which ones we'd go look at first.

17 Q But, primarily, on B-31-G?

18 A Yes.

19 Q And then for dents you used what?

20 A Well, we only had that one article. I didn't
21 have a lot of information on dents. The B-31-4 just
22 told you that you had -- you could have in that size
23 pipe a 6 percent dent before you had to make a repair,
24 unless it had a dent or a gouge in it. I'm sorry, a
25 scratch or a gouge in it.

1 So you didn't have -- that's the one thing
2 that was lacking was a lot of guidance in how you
3 should evaluate the criteria that was involved.

4 Q Do you mean industry guidance?

5 A Industry guidance, right. Or regulatory
6 guidance. We did the best we could with what we had.

7 Q So you created a list. Did I understand you
8 to say that as long as the pressure reduction ratio was
9 adequate for what we were pumping, is that what you
10 mean? Criteria for whether or not you're even going to
11 investigate?

12 A Oh, no, that wasn't the only criterion. That
13 would be one that would jump out because it was the
14 most -- it was the easiest to relate to. This is
15 significant. If you had a 1.0, that meant you were
16 operating at where the pipe would still withstand its
17 pressure and still have your safety ~~back~~ ^{factor}.

18 Anything less than a 1.0 meant you were in a
19 range where you were below your maximum operating plus
20 safety factor.

21 We typically looked at anything up to
22 approximately like a 1.03 or 1.04. You know, or
23 somewhere in that neighborhood, 1.05. And then we
24 looked for things, you know, ~~well~~ ^{metal} loss percentages.

25 You know, if you had something that was 50

1 percent or 40 percent. You know, there were just some
2 percentage numbers that stuck in people's minds, too.
3 They'd say, "Well, we probably should go look at that
4 also."

5 So we actually went and looked at a lot of --
6 we actually looked at more things that were not really
7 being required by anybody's standards at the time.

8 And also the fact that the data was
9 exaggerated in Tub^oscope's log.

10 Q More conservative. Is that what you mean?
11 More conservative?

12 A Well, I don't know if you'd say conservative
13 but they identified things that showed a higher degree
14 of metal loss than were actually out there.

15 If you want to call that conservative, then,
16 yes, that would be conservative.

17 Q And that was pretty consistent with
18 Tub^oscope's running with your experience then?

19 A Typically, yeah, they were always -- they
20 seemed to always be over-exaggerating. Very seldom did
21 you see -- there were chances when it would go the
22 other way, when they would underestimate.

23 But, not very often.

24 Q Then you'd create a DIG sheet?

25 A Yes.

1 Q And you just described that you gave that DIG
2 sheet to the construction guys and then they followed
3 up and gave them back to you.

4 A That's correct, right.

5 Q Let's zip over to the drill run now. Which
6 one was that?

7 (Perusing documents.)

8 And I use this because you were doing some
9 backend analysis of what you were finding. Is that the
10 one we were talking about?

11 And when I go down the list, if you look down
12 to 16-inch, if I go down that list that I just compare
13 what your findings were to what the indication was on
14 the logs, the majority of them, the defects look -- the
15 actual was less severe than what the indicator was.

16 Is that correct?

17 A That's correct. These are Enduro's numbers.

18 Q That's right, they're Enduro's numbers.
19 That's specifically what I'm asking about.

20 A Okay.

21 Q Would that kind of trend, if you will, play
22 into a decision on whether or not you did further DIGs?
23 Would you guys consider that?

24 A Yes. That was a very big consideration.

25 Q Did you -- do you know or do you remember if

1 you considered it when you went back and looked at that
2 .45...?

3 A Yes.

4 Q You did?

5 A Yes, we did.

6 Q So the data is trending -- I don't want to
7 put words in your mouth. The data is trending to look
8 more severe than the actual. And when you went back
9 and looked at this .45 sharp, you said: likely less
10 than that. Is that accurate?

11 A That's correct. Yes, that's accurate. There
12 was only I believe one or two indications where it
13 actually came out to be exactly the same or maybe the
14 least bit larger.

15 Q One other thing. Allan asked you about
16 formal training around internal inspection analysis.
17 And you said that you didn't have any formal training.

18 Do you know where there's any place you could
19 have gotten formal training from?

20 A No, not that I'm aware of. The only
21 training, the only further training that I'm aware of
22 that we could have gotten would have been going
23 directly to the PIG vendors and sitting down with one
24 of their analysts and working with them to see how they
25 do the evaluation.

1 It's not their job to teach anybody. It's
2 just watching them do the evaluation. If that's
3 considered training -- which I don't think it is --
4 that would be about your only avenue.

5 MR. SCHAU: That's all I have, Allan.

6 MR. BESHORE: All right. Peter.

7 E X A M I N A T I O N

8 BY MR. KATCHMAR:

9 Q Richard, you were just talking about the PIG
10 runs and you got all your data from those line log
11 reports and stuff.

12 Did you look at the feature list?

13 A I looked at all the lists -- the feature
14 lists. They had a defect list, a feature list. But,
15 the feature list was extensive to the point where it
16 was identified, known things such as valves checks,
17 launchers or receivers.

18 Q Weren't these possibles in that list?

19 A I believe they were, yeah.

20 Q My question is did you ask about them. You
21 know, did you think you had wrinkle bends in your pipe?

22 A No. I didn't believe we had wrinkle bends in
23 our pipe.

24 Q Right, so that's my question. Did you ask
25 Tube scope why are you saying I've got a possible

1 wrinkle bend?

2 It wasn't just the one, I don't think. I
3 think there were a few more.

4 A In various line sections I had seen the term
5 "wrinkle bend", "possible wrinkle bend" before. And
6 even "possible mash".

7 And I had asked after the Ebey Slough
8 incident, we specifically went back and questioned
9 Tub^oscope directly what these things mean so that we
10 could get a better understanding.

11 And, hopefully, believe what we were seeing.

12 And when they came back and told us about the
13 Ebey Slough location and not being able to exactly
14 identify that with any assurance, then -- and being
15 able to actually see the pipe that had in the
16 neighborhood of a 2-inch rise, or buckle in it -- I
17 think anybody would lose confidence in their ability to
18 identify anything from that point.

19 And I did. And so, therefore, I just did not
20 accept their interpretation of possible -- if the word
21 "possible" was associated with anything they'd put in
22 there, I disregarded it.

23 Q Right. It appears that in '96, you created
24 one of these.

25 A Yes.

1 Q After the Tub^oscope run.

2 A That's correct.

3 Q And then it appears you did another one I
4 guess right after the Enduro run. So you must have put
5 that information on the Tub^oscope one.

6 And this particular one, it says, you know,
7 all these notes in here. It says, "Put in one call
8 before starting the backhoe, extend-a-hoe."

9 These I guess you just told Allan that these
10 are notes that the people in the field sent into you?
11 Or is this your writing?

12 A No. These were notes that the field person -
13 - I kept the original. I'd make the drawing, keep the
14 original and make a copy for -- make two copies
15 actually -- one for the construction group to keep in
16 their office, and one for the field person to take with
17 them into the field so that he could make his notes and
18 then, when he was done, they brought their copy back to
19 me.

20 And I put that back in the file with the
21 original.

22 Q Okay. Is this your writing, "No. 2 welds 4
23 foot apart," up there on the top right? Is that on
24 yours?

25 A No, that's not mine.

1 Q Yeah, we've got to be careful. There's
2 several versions.

3 A Yeah, there's a lot of versions of this going
4 around.

5 Q Item 0.82?

6 A Yeah, that language is on the exhibit that
7 was used, but --

8 Q Okay, that's not your writing: "No. 2 welds
9 4 foot apart"?

10 A No.

11 Q Okay, so you don't know what that means?

12 A That's not mine either. It could have been.
13 This was probably a little sticky note that was on the
14 original along with this "put in one call." That was
15 one of those little yellow stickers.

16 Q Okay.

17 A And I think there was one even attached to
18 this card of Bill Evans, City of Bellingham.

19 MR. BESHORE: I think that's why we've got --
20 because I've seen another version, for example, where
21 the bottom, the ~~SEE~~^{AFE} number is visible, you know. And,
22 on that version, it's not. So that's what I meant by
23 "certain versions", copies made at different times.

24 MR. KLASSEN: Sure.

25 MR. BESHORE: So, if you have another one you

1 want to talk about, maybe we need to put that in as an
2 exhibit, Peter.

3 MR. KATCHMAR: No, that's fine. They either
4 have the exact, same information or less than the one
5 you've got. I mean like this one doesn't have any of
6 the stickies on it.

7 MR. KLASSEN: Right. And there's something
8 else on the corner.

9 BY MR. KATCHMAR:

10 Q But I guess you're of the opinion that you
11 would have done the first one and then just updated it
12 as you got a new PIG run? Or, you wouldn't have gone
13 back to scratch? Started over?

14 A Yes.

15 Q You would have gone back to scratch?

16 A Yes. I made one of these up for the
17 Tub^oscope inspection. And then after the Enduro
18 inspection, I started over and rewrote one for the
19 Enduro inspection.

20 So there should be one of these that just has
21 Tub^oscope data on it.

22 Q All right, thanks.

23 A And just to make sure that you understand why
24 there was a follow-up with the Enduro and why there was
25 no action on the Tub^oscope, it was after the incident

1 in the summer of '96, which was only three months after
2 we had done the Tuboscope inspection, we had the 20-
3 inch release.

4 Then getting the order from Ecology, we
5 essentially put a stop to all excavations because we
6 were, one, very busy with doing the clean-up activities
7 and repair work on the 20-inch line, and trying to deal
8 with finding anything else pertaining to that type of
9 anomaly in that line section.

10 And then being ordered to perform the capier
11 or defamation survey.

12 So it pretty much put a halt to us because we
13 just didn't have the people to be able to do
14 everything. So we decided this is a good place for us
15 to stop. Let's go on and try to do all this other
16 work, because that wasn't the only thing in the order
17 that was required of Olympic to do.

18 There were -- I can't remember how many items
19 there were, but those took a lot of people's efforts
20 also.

21 Q All right. Are you aware of the B-31-4, the
22 fact that that's a visual criteria and not really a
23 PIGGING criteria? Do you know that?

24 A I used it as -- did I know that that was a
25 visual criteria, not a pigging criteria?

1 Q A lot of people use it as a pigging criteria
2 but it's really a visual criteria.

3 A Well, as far as knowing that --

4 Q I just wondered if you knew it or not.

5 A No, I didn't think of it as you have to put
6 your hands on it in order to use that criteria. I used
7 it as this is a great tool to use to explain or to
8 verify what you have is where it is in the greater
9 scheme of should you go out and do some excavation, or
10 should you not.

11 You've got to start with something and that
12 was the best tool that was available.

13 Q I agree. Okay, so what you had said before
14 is that the only real training you had was while they
15 were running the PIGs and with the report and them
16 telling you, you know, "Here's what these things mean"?
17 The PR ratio, the histogram?

18 A Well, actually, the field guys, they would
19 just show you how to -- here's what they believed
20 corrosion anomaly looked like. Here's what a casing
21 identification start and stop would look like.

22 Here's how you read the binary code at the
23 bottom. Here's what the 1, 3, 5 or 1, 5 and 7 means
24 for orientation. Or what 3, 6 and 10 means, you know.

25 Q Did Enduro do that for you, too? Did they

1 explain to you --

2 A No. Well, Enduro stuff is so difficult to
3 read because it's so small, you had to have -- it was a
4 specific lens made by Bausch magnifying lens that had
5 incremental lines on it for length and height.

6 And then you also had to apply a factor that
7 you would calculate from known items from point to
8 point. And I asked for the tools and I asked for how
9 do you do this. And all I got was "I'm doing this and
10 this and this and here's..." and he's got his face
11 right down on the paper with this eye glass.

12 I never got past that. And didn't get the
13 equipment or anything to help me to read that data
14 better.

15 Q But I guess when they gave you something, an
16 indication in a... count, in your opinion, they were
17 pretty accurate?

18 A Not really. They weren't always accurate to
19 the foot, but they were accurate within a couple of
20 feet.

21 I had more faith in Tub^oscope's footage
22 distances than I had in Enduro's footage distances.
23 And I think it's only because of the scale, the thing
24 that they had to work with. So that made it difficult.

25 But, once you got down to a joint of pipe,

1 you could pretty much estimate it within a foot or two.
2 But, you couldn't get down to the fraction of an inch
3 like Tuboscope could.

4 Q Right. Were you aware of the capabilities of
5 the Enduro tool?

6 A The fact that you're only getting the maximum
7 deflection on that particular tool?

8 Q Yes. Meaning that you didn't get
9 orientation. You didn't get -- if they were separate
10 ones, you were going to get the worst one?

11 A No, I didn't understand that to be the fact.
12 I understand that it had a capability of at any point,
13 it would give you in that circumferential area of the
14 pipe, it would give you what the worst one was in that
15 piece of circumferential pipe.

16 But not as far as any linear length. I
17 thought they would give you as many as they could
18 identify.

19 Q Right. Yeah, that's true. Do you have any
20 thoughts on why Texaco, when they took over from Shell,
21 might have kept the five-year pigging and maybe not
22 have kept some of the other things that Shell was
23 doing?

24 A I don't know what other things.

25 It was a commitment. Management had decided

1 to make, which we stuck with. And I don't know if it
2 was board-approved or board-required. I'm not sure if
3 maybe we even told an agency or something that we would
4 keep that. But, I'm not sure about that.

5 MR. SIM: Don't guess.

6 MR. KLASSEN: I'm not going to guess.

7 MR. KATCHMAR: No, we don't want you to
8 guess.

9 BY MR. KATCHMAR:

10 Q Did you prepare dig sheets for all the digs?

11 I think, in the final one, it said there were
12 like three that you didn't dig, no inspection because
13 of the engineering analysis or something? In your
14 final, there was a few of them.

15 A Right.

16 Q Were there dig sheets for those as well
17 initially?

18 A I don't remember. There could have been. I
19 typically would have done that. I think I've probably
20 did it but I don't recall.

21 Q We just asked a couple of people if they had
22 ever not dug after a dig sheet was issued. And they
23 had indicated that they didn't think so.

24 So pretty much if a dig sheet was issued,
25 they were going to dig it.

1 A Yeah, that was -- if it was out there, we
2 were going to do it.

3 Q Can you remember, Richard, and this will be
4 pretty much my last question on this, did you remember
5 why you would have gone back 797 and put this ... note
6 over here?

7 A Well, the only thing I can say is that I
8 received a lot of the information back and must of had
9 some conversation with someone because I remember that
10 I didn't speak.

11 MR. KLASSEN: I did speak to Mr. ^{Hoff}Hoff about
12 this specific location and this incident and that's --
13 as a matter of fact, I think on two occasions we talked
14 about this spot. And we -- and -- and based on the
15 information I had on them being an individual event and
16 a ^{metal}~~metal~~ loss, my recommendation was they are separately
17 -- they were not injurious --

18 MR. KATCHMAR: Yeah.

19 MR. KLASSEN: -- to the operation of the
20 system.

21 MR. KATCHMAR: Do you know when, maybe, these
22 notes were -- when the people actually went down there
23 the first time, perhaps?

24 MR. KLASSEN: No. I don't know when they
25 would have gone the first time.

1 MR. KATCHMAR: Okay. I'll just tell you the
2 reason I'm asking you, it appears that they went down
3 there early on, you know, like May or whatever, and
4 said, you know, hey, I'm going to -- called somebody
5 and said, hey, I'm going to need some mud floats. If
6 you really want me to do this, I need some mud floats,
7 or something to that effect. And then the person was
8 told, well, we'll just do it when it dries out. And we
9 were thinking -- actually, Mr. Cargo's testimony was
10 that, you know, he thought that it had just slid by the
11 wayside and, you know, fell through the cracks. And I
12 was real happy to understand that that was a 797 and
13 not a 297, to say that you had actually gone back and
14 it didn't fall through the cracks.

15 MR. KLASSEN: No.

16 MR. KATCHMAR: You know, that it was actually
17 reevaluated and, you know, conscious decision was made
18 not to do it. And I just wanted to make sure that that
19 recollection was right.

20 Going back to Bayview, I received a whole lot
21 of documentation -- you probably gave me a whole lot of
22 it -- on -- on your procedures that you'd written up
23 for the Ferndale commissioning. And then there was
24 also two pages on Anacortes commissioning. And the
25 Anacortes commissioning actually stated to check the RV

1 20 -- 1923, which is the Anacortes relief valve, and
2 the 1919 was the Ferndale relief valve, and that's the
3 one I guess you had problems with when you first
4 started out?

5 MR. KLASSEN: I believe so. That was probably
6 the reason why.

7 MR. KATCHMAR: Right. But I guess my -- my
8 question is why -- okay. You're saying that's the
9 reason why you put it on the -- the Anacortes one --

10 MR. KLASSEN: Sure. Just to make sure --

11 MR. KATCHMAR: Okay.

12 MR. KLASSEN: -- because we had put additional
13 product into the tank that we -- we didn't intend to
14 do, so therefore I wanted to make sure that we were --
15 and it took us some time in order to find that, so I
16 put it in the procedure. Let's check that early on to
17 make sure that's not a problem.

18 MR. KATCHMAR: Okay.

19 MR. KLASSEN: Just another one of my -- give
20 somebody else a job to do.

21 MR. KATCHMAR: Do you remember back in
22 October -- there's a document of all the pressures out
23 there at Bayview. It's two sheets of paper. It's just
24 a whole bunch of pressures --

25 MR. KLASSEN: Sure. A set point --

1 MR. KATCHMAR: -- of everything?

2 MR. KLASSEN: Yes.

3 MR. KATCHMAR: And all this -- all of these
4 four relief valves, the -- the -- these two we're just
5 talking about, 1919 and 1923, and then the two leaving
6 were set at 740 -- that's what Jacobs Engineering had
7 them set at.

8 MR. KLASSEN: Oh, okay.

9 MR. KATCHMAR: And you all had crossed them
10 out and written in 650 there, and your initials,
11 Craig's initials -- Craig Hammette's initials and Doug
12 ^{Ben}~~Bue~~'s initials were there. Do you remember sitting
13 down and having a meeting where, hey, we don't want
14 this set at -- these relief valves set at 740, they
15 should be set at 650? Do you remember that?

16 MR. KLASSEN: Well, if my initials are on
17 there I should have been there.

18 MR. KATCHMAR: Well, -- right. But I'm
19 just --

20 MR. KLASSEN: Do I remember the meeting?

21 (Pause)

22 MR. KATCHMAR: Well, let me just go on.

23 MR. KLASSEN: No, I'm not -- I'm not sure --

24 MR. KATCHMAR: It's probably not --

25 MR. KLASSEN: -- I'm not sure I remember the

1 meeting, but --

2 MR. KATCHMAR: -- three years ago now. But I
3 guess my question is if -- since you changed those
4 pressures there, that was before you actually
5 commissioned Bayview?

6 MR. KLASSEN: Mm-hmm.

7 MR. KATCHMAR: Would you have sent that to
8 the field and said, you know, these need to be set at
9 650?

10 MR. KLASSEN: I -- if it went beyond that, the
11 next step would have been to -- to direct the field
12 with some paperwork to say we need you to --

13 MR. KATCHMAR: I guess that --

14 MR. KLASSEN: -- here's the new settings for
15 Bayview -- this is before we put it in service?

16 MR. KATCHMAR: Right. It was like October
17 18th or something.

18 MR. KLASSEN: Yeah. Well, --

19 MR. KATCHMAR: It was in -- it was in
20 Olympic's first product to us.

21 MR. KLASSEN: Okay.

22 MR. KATCHMAR: If you want to go back and
23 look. I don't know if you have that stuff. But it was
24 -- I think it was October 18th or something was the
25 date on it.

1 MR. KLASSEN: Okay.

2 MR. KATCHMAR: And then -- okay. So, let's -
3 - you know, somehow or another that didn't get back to
4 the field because it was still set at 100 pounds when
5 you started commissioning.

6 MR. KLASSEN: So we -- we had not sent that to
7 the field?

8 MR. KATCHMAR: I guess not because the --
9 like you said, the valve was still set at 100 pounds
10 when she started commissioning and -- and the other
11 testimony was that they were trying to hold it in about
12 300 pounds and they just -- you know, it kept running
13 off into the tank. So they shut it down, went looking
14 for the problem, you know, and discovered that the
15 valve or the spring wasn't right or whatever.

16 MR. KLASSEN: Okay.

17 MR. KATCHMAR: But then -- okay. From the
18 time they commissioned Ferndale line through Bayview,
19 right before Christmas there was an e-mail sent out to
20 everybody, all Olympic employees that said I have now
21 set the set point on that relief valve to 700 pounds,
22 which is up from 650, supposedly. So everything ought
23 to run fine and dandy. Do you remember getting that e-
24 mail?

25 MR. KLASSEN: Yes, I do remember that e-mail.

1 MR. KATCHMAR: Okay. Now, my question is
2 does that make -- did that make sense to you that --
3 did you -- were you the guy that -- that -- that would
4 have told Mr. ^{Greenidge} Grinnage to increase the set point?

5 MR. KLASSEN: Not that I'm aware of, no.

6 MR. KATCHMAR: Okay. And then the next
7 question is, does it make sense to you to increase the
8 set point instead of, maybe, lowering the set point?

9 MR. KLASSEN: This was December 18th?

10 MR. KATCHMAR: Whenever you went on -- on
11 this vacation. The e-mail said, you know, I -- I've
12 sent -- I've set the set point to 700 pounds and so you
13 shouldn't have any more problem at Bayview, I guess
14 with the valve closing.

15 MR. KLASSEN: Right.

16 MR. KATCHMAR: You know, have a happy
17 Christmas, I'll see you in January.

18 MR. KLASSEN: I don't know where he would have
19 got that direction from.

20 MR. KATCHMAR: Just -- the question was, did
21 you tell him to do it? You did not --

22 MR. KLASSEN: I don't -- I don't believe it
23 was me.

24 MR. KATCHMAR: Okay.

25 MR. SIM: Do you have that e-mail there?

1 MR. KATCHMAR: Not on me. But it's in the
2 documentation.

3 MR. BESHORE: I have a copy.

4 MR. SIM: I've seen it before. I'm just not
5 following it the same way you are.

6 MR. KATCHMAR: Oh, okay. Anyway, the
7 question is, though, in your mind does it make sense to
8 set it from 650 to 700 instead of setting it from 650
9 to, maybe, 600 or 500? Because if it's not opening or
10 it's not doing what it needs to do at 650, I'm just
11 wondering --

12 MR. KLASSEN: You know, I don't --

13 MR. KATCHMAR: -- if they thought --

14 MR. KLASSEN: -- it was -- that was very early
15 when we just started ^{flowing} ~~flowing~~ through Bayview and we
16 were tight-lining through. I'm not sure what the
17 difficulties were at that time, if it was because they
18 weren't flowing in the tank. They might have had right
19 at their maximum pressures flowing through the piping
20 to get over to Allen Station.

21 MR. KATCHMAR: Okay.

22 MR. KLASSEN: That'd be my guess. It was just
23 -- there, I'm guessing again.

24 MR. KATCHMAR: Okay.

25 MR. KLASSEN: No guessing.

1 MR. KATCHMAR: Then, on May 12th, something
2 happened and Mr. ^{Greenide} ~~Grimase~~ set it back to 700 pounds --
3 or 650 from the 700. There's a -- there's a e-mail or
4 a document somewhere saying that -- that, you know, now
5 it's set from 700 back to 650. Do you remember that?

6 MR. KLASSEN: No.

7 MR. KATCHMAR: We may not have -- had
8 anything to do with it.

9 (Pause)

10 MR. KLASSEN: That was typically something --
11 the set point settings were typically a role of the
12 control center, supervisor, and -- and Craig. They
13 would be making sure that things were ~~along~~ -- set
14 ^{2,} along the right lines. ~~along~~?

15 MR. KATCHMAR: Okay. My next question goes
16 to the operations. This valve -- this isolation valve
17 closed, we find out now, like 59 times or something
18 like that. 41 of those were due to high pressure at
19 Bayview. And every one of 'em caused a shutdown in the
20 pipeline. Obviously, because the isolation valve was
21 shut. No product could go, so the line shut down.

22 Were you aware that it closed that many
23 times?

24 MR. KLASSEN: I was aware that it had closed.
25 You have to also understand that the 49 or however many

1 times it closed, more than half of those times were on
2 instances where they were shutting the line down. They
3 were in the process of shutting the line down and while
4 they were doing it, it triggered the pressure switch
5 because of their packing -- packing the line up to shut
6 the line down. It triggered the switch and that valve
7 just started to close. It wasn't an instance where it
8 was done and then the line was shut down.

9 MR. KATCHMAR: Okay.

10 MR. KLASSEN: It was during the process of
11 shutting the line down. So, many of those --

12 MR. KATCHMAR: Well, I'll have to go back and
13 look because I asked those specific questions and I
14 asked for a list of all the times that you scheduled
15 the shutdown and the valve closed and all the times
16 that you didn't schedule a shutdown and the valve
17 closed.

18 MR. KLASSEN: I know that there was a minimum
19 of 20 times that -- that they had shut -- they were
20 shutting the line down --

21 MR. KATCHMAR: And it --

22 MR. KLASSEN: -- 'cause I went and looked
23 myself.

24 MR. KATCHMAR: Right. Did anybody talk about
25 abnormal -- that being abnormal? I mean was it talked

1 about that -- that perhaps the relief device should be
2 working and that would keep the pressure below 700 so
3 the valve shouldn't go shut? To your recollection?

4 MR. KLASSEN: The few times I remember being
5 involved with conversations that the -- the
6 conversation would go around the surge relief valves,
7 actually, in my experience, a lot of times they worked
8 very quickly. You know, just spit open and close back
9 again. And a lot of times you wouldn't even see an
10 increase in the tank -- tank volume unless you had a
11 very small tank, and this was a 10,000-barrel tank, so
12 it takes quite a bit for a -- it takes over 10 barrels
13 for it to change a hundredth of an inch, which was the
14 only indication they'd have that it would go up.

15 So, to say that the -- did the valve open or
16 did it not open? No, I was always banking on it
17 opening and that it just didn't show a large indication
18 of flow.

19 MR. KATCHMAR: Did you ever get involved in
20 -- in analyzing -- trying to get to the root cause of
21 this valve not opening or opening too quick and closing
22 too quick?

23 MR. KLASSEN: No, not until after we -- after
24 the accident where we came up with a procedure for
25 trying to inspect the valve -- not inspect the valve

1 but operate the valve with pressure and water.

2 MR. KATCHMAR: Flow testing?

3 MR. KLASSEN: Flow test the valve, yes.

4 MR. KATCHMAR: Okay. So there was no flow
5 tests any time prior to --

6 MR. KLASSEN: The flow tests that -- that --

7 MR. KATCHMAR: I mean it worked at 100
8 pounds, I guess.

9 MR. KLASSEN: Yeah. It worked great.

10 The -- that was always a function of the
11 mechanics to do those tests and I didn't get involved
12 with those until later on when we developed the
13 procedure for flow testing them with water.

14 MR. KATCHMAR: After the accident?

15 MR. KLASSEN: After the accident.

16 MR. KATCHMAR: Okay. Do you have knowledge
17 of how many times maybe a mechanic went out there to --
18 to check the valve, adjust the valve?

19 MR. KLASSEN: No.

20 MR. KATCHMAR: Any at all when you were
21 there? Or did you ever direct anybody?

22 MR. KLASSEN: Well, I was there I -- I can
23 remember seeing them go through the process of -- when
24 we were doing facility checks they were -- before we
25 commissioned it, I can remember seeing them working

1 with the valves. Now, what they were doing --

2 MR. KATCHMAR: Okay.

3 MR. KLASSEN: -- I -- I --

4 MR. KATCHMAR: But not specifically for, hey,
5 it shut down again? Would you mechanics go out there
6 and please try to fix this problem?

7 MR. KLASSEN: No, I wouldn't have been there.

8 MR. KATCHMAR: And they never came to you and
9 said, hey, we can't figure this out, help us out?

10 MR. KLASSEN: Not typically, no.

11 MR. KATCHMAR: Well, not typically. I'm just
12 asking in this -- for this valve. You can't remember
13 anybody coming to you and asking you to -- to help out
14 with trying to figure out the problems with Bayview?

15 MR. KLASSEN: People came to me with -- trying
16 to help with whatever, usually. And --

17 MR. KATCHMAR: That's why I asked. Could you
18 -- you seem to be the man on the scene for Olympic.

19 MR. KLASSEN: Yeah.

20 MR. KATCHMAR: For this -- for all this
21 stuff.

22 MR. KLASSEN: Well, there's a lot of those
23 type of pieces of equipment were just beyond my
24 expertise. You know, it was -- that's the mechanic's
25 job, that's their equipment, that's -- don't mess with

1 them.

2 MR. KATCHMAR: Right. Do you know Hoffman
3 Instrument Supply? Does that name ring a bell?

4 MR. KLASSEN: Hoff -- Hoffman Instrument
5 Supply? I believe that's one of the sales companies
6 for -- I think that's one of the companies that handled
7 that particular type valve.

8 MR. KATCHMAR: Okay. Did you ever talk to
9 those guys?

10 MR. KLASSEN: I wouldn't doubt that I would
11 have.

12 MR. KATCHMAR: Do you --

13 MR. KLASSEN: I wouldn't doubt that I would
14 have, but I don't remember if I did.

15 MR. KATCHMAR: Do you ever remember receiving
16 a fax or anything from them concerning a relief valve
17 and -- and the parts that maybe needed to be changed
18 our or something?

19 MR. KLASSEN: After the accident, before the
20 accident, or --

21 MR. KATCHMAR: Before the accident. Middle
22 of January, actually.

23 MR. KLASSEN: Middle of January.

24 MR. KATCHMAR: Of '99.

25 MR. KLASSEN: I remember looking at some

1 information. Now, I don't remember when it was.

2 MR. KATCHMAR: Okay.

3 (Pause)

4 MR. KLASSEN: January. It could have been in
5 reference to getting some information for the equipment
6 that we were going to use.

7 MR. KATCHMAR: Actually, this was
8 specifically concerning -- somehow or another they got
9 word that Olympic was having problems setting these
10 valves or getting the valves to operate at a higher
11 pressure. And I guess you had already said that you --
12 you put in a purchase order for the four springs.
13 Obviously, somebody out there said we need four
14 springs. Maybe you didn't do it, but --

15 MR. KLASSEN: Right. I didn't --

16 MR. KATCHMAR: -- you had it in your notes
17 that they --

18 MR. KLASSEN: Right.

19 MR. KATCHMAR: -- ordered four springs.

20 MR. KLASSEN: Right.

21 MR. KATCHMAR: And -- because there were four
22 valves like that there.

23 MR. KLASSEN: Right.

24 MR. KATCHMAR: And somebody else may have
25 called down there -- must have called down there and

1 said, you know, we just can't seem to set these things
2 right, so sometime or another those guys talked to
3 Fisher-Rosemount people and said what's the -- you
4 know, why can't they set these things? And they were
5 told, well, you -- you can't just replace the spring.
6 You have to replace the piston and the housing as well.
7 And supposedly, that information was passed on to
8 somebody, and I was just wondering if you'd ever seen
9 it?

10 MR. KLASSEN: I remember looking at diagrams
11 of valves.

12 MR. KATCHMAR: Blow-ups of --

13 MR. KLASSEN: Blow-ups of -- of valves. Not
14 necessarily pilots or whatever, but I remember looking
15 at surge relief valves. However, I'm not sure if that
16 was the case. I know that I purchased one for a --
17 another job or another project, so --

18 MR. KATCHMAR: Okay.

19 MR. KLASSEN: -- I'm not sure exactly which
20 one.

21 MR. BESHORE: Let me -- let me jump in here a
22 little bit to ask a quick question.

23 MR. KLASSEN: Sure.

24 MR. BESHORE: When did you become aware -- or
25 maybe you were not aware of this. When did you become

1 aware that more parts were necessary to be changed in
2 this valve to -- to reconfigure its pressure setting
3 than just the spring?

4 MR. KLASSEN: After the accident.

5 MR. BESHORE: Was that after the accident?

6 MR. KLASSEN: Yes.

7 MR. BESHORE: Okay. And then, could we go
8 off the record just for a minute?

9 (Pause)

10 MR. KATCHMAR: Two real quick last questions.
11 Were you aware in -- in the design that the control
12 valve with the stop on it was supposed to be set at the
13 discharge rather than the incoming portion?

14 MR. KLASSEN: At the Ferndale line at Bayview?
15 No. No, I wasn't.

16 MR. KATCHMAR: You just never -- never knew
17 that?

18 MR. KLASSEN: No. I thought they both had it.

19 MR. KATCHMAR: Okay. Last question. You
20 said that you drove up to the Renton facility when you
21 got the page that said we got a release. What'd you do
22 in that hour between then and -- and the explosion?

23 MR. KLASSEN: Explosion? Well, my role in the
24 incident command system is planning section chief. So,
25 I tried -- what I do is activate the people necessary

1 and try to find out as much information as possible so
2 that we can evaluate what we need to do and what
3 services what we need -- that we need and -- and start
4 gathering as much information as -- as available at
5 that time and try to do some calculation on release
6 volume.

7 So, I probably spent a good 30 minutes just
8 trying to figure out where it was exactly, getting some
9 elevation profiles, doing some calculation on line fill
10 volumes, and trying to come up with a -- a number of
11 complete drainage for that, which has been the number
12 that's been out there forever.

13 Also, I contacted -- I knew because of the
14 volume if I contacted the helicopter service to come
15 down there so that we could get some people up there
16 immediately. We're also talking to the people Rick --
17 like Rick -- who was specifically on site that had
18 called in on his radio telling us what he was seeing.
19 We were activating other pipeline personnel to make --
20 to get them going in that direction. I'm sure there
21 was --

22 MR. BESHORE: That's fine.

23 MR. KLASSEN: There was a lot of things
24 happening. Time went by in seconds.

25 MR. BESHORE: Yeah.

1 MR. KLASSEN: I mean it seemed the hour was
2 gone and then they said there was an explosion. So, it
3 wasn't -- I wasn't sitting on my hands.

4 MR. BESHORE: That wasn't why I asked.

5 MR. KLASSEN: Yeah.

6 MR. BESHORE: That wasn't why I asked. Thank
7 you, Richard. I appreciate it.

8 MR. KLASSEN: Sure.

9 MR. BESHORE: That it?

10 MR. KATCHMAR: That's it.

11 MR. BESHORE: Tony?

12 MR. BARBER: Richard, you've -- you've talked
13 about B31G and also about the pipeline industry, the
14 415 regs, the B34 -- 34?

15 MR. KLASSEN: 31-4.

16 MR. BARBER: 31-4, thank you. Are you aware
17 of any other standards that -- that -- that Olympic
18 Pipeline was using to evaluate potential corrosion,
19 gouges, dents, anything like that at the time prior to
20 the incident?

21 MR. KLASSEN: No. No, I'm not aware of any
22 other standards. There's -- the only other corrosion
23 standards are ^{NACE}~~NAI~~ standards, and that's -- that's --
24 those are essentially applied after you know exactly
25 what you've got.

1 MR. BARBER: You mentioned one time maybe --
2 if I could just get you to clarify, with respect to the
3 Tub^oscope pig run, I think you said -- and correct me
4 if I'm mischaracterizing -- anything beyond the wall
5 thickness or wall thickness lost you took with a grain
6 of salt and wouldn't consider anything -- you
7 considered it due to corrosion unless it was visually
8 verified otherwise?

9 MR. KLASSEN: I -- I took their -- their
10 measurements for wall loss and for length as being as
11 accurate as what they were presenting. I discounted
12 and after the summer of '96 completely eliminated their
13 definitions of anything that was considered possible.
14 Whatever.

15 MR. BARBER: Do you think if they had a
16 notation for a feature that was -- that's -- that said
17 "Mash", not "possible Mash", would you have considered
18 that worthy of inspection?

19 MR. KLASSEN: I -- I -- I tried to accept as
20 much as I could of the information. But we realized
21 that their expertise was in corrosion, metal loss, and
22 that's what we decided was what they claim they can
23 assess, and that's what we accepted as what they could
24 assess.

25 MR. BARBER: What in your mind constitutes a

1 gouge? That type gouge.

2 MR. KLASSEN: What would constitute a gouge?

3 Well, as I know gouges today, any separation of the
4 grains of the metal in the -- in the pipe.

5 MR. BARBER: How would you compare your
6 understanding now? How -- how did it differ before the
7 incident?

8 MR. KLASSEN: I actually had not seen that
9 many or I hadn't -- I don't believe I'd seen but maybe
10 one prior to that.

11 MR. BARBER: One gouge?

12 MR. KLASSEN: Yes. Which would -- was caused
13 by a backhoe.

14 MR. BARBER: Thinking about the 1996 E.B.
15 Slew leak, do you know what caused that leak? Do you
16 have an opinion about what caused that leak?

17 MR. KLASSEN: I'm -- I have to go back to what
18 our report says, which says, we believe, is that it was
19 most probably original construction from -- from what I
20 recall from that and the discussions that we had is
21 that -- and from talking to some of the old-timers that
22 -- that laid that line, I believe it was done in the
23 fall or winter of that year and they -- they said they
24 just welded that pipe up and actually drug it through
25 that slew area because it was a small ~~lake~~
- Lake

1 And with -- and with that information and
2 trying -- and having weights attached to it and -- and
3 getting it in the -- to the point where they could tie
4 it into that levy, which was done at another time
5 frame, they probably used some creative methods of --
6 of getting things to line up.

7 But I -- you know, I don't know for sure what
8 the actual failure method was. I -- I do agree that it
9 could have been additionally made worse by the
10 accumulation or addition of -- of materials placed on
11 the levy^{ee} to -- to reinforce it.

12 MR. BARBER: Okay. Allan, is there a copy of
13 the -- the ~~ASE~~^{APE} as an exhibit?

14 MR. BESHORE: Not yet. But you and -- you
15 and Linda are both -- I think have copies of that, so
16 if you want to hand him one of those and ask some
17 questions about it, we'll do so.

18 MR. BARBER: Okay. I should probably do
19 that.

20 MR. BESHORE: I want to -- we've got a couple
21 copies here. I can make you guys copies --

22 MR. BARBER: Let's go ahead.

23 MR. BESHORE: You keep that one if you want
24 to ask questions about it.

25 Just starting from the top, Richard?

1 MR. BARBER: Sure.

2 MR. BESHORE: We'll -- we'll label that as an
3 exhibit, I think, or next one to be attached. Klasen
4 Exhibit F.

5 (The document referred to was
6 marked for identification as
7 Klasen Exhibit F and was
8 received in evidence.)

9 MR. BARBER: Just starting from the top, the
10 title says "Texaco Trading and Transportation,
11 Incorporated, authority for expenditure". Why would
12 that not say Olympic Pipeline had authority for
13 expenditure?

14 MR. KLASEN: Well, because all of our -- all
15 of our budgeting went through the managing company, and
16 the managing company was TTTI. But the company -- it
17 says in the next line down, "Company, Olympic
18 Pipeline".

19 MR. BARBER: Right.

20 MR. KLASEN: Identifying us specifically.

21 MR. BARBER: Okay. Were there varying
22 funding amounts that had varying authorization
23 requirements? For instance, a very small expenditure
24 might require one person to approve and a larger would
25 require higher level of approval.

1 MR. KLASSEN: Yes. Yes. There was -- there
2 were -- what do you call them?

3 MR. BARBER: Delegations?

4 MR. KLASSEN: Delegations of authority. Thank
5 you. That ranged for whatever level pertaining to
6 whose -- what management person was within the
7 organization. You know, specifically, the TTTI folks.

8 MR. BARBER: How high an expense would it --
9 would -- would an expense have to be to go to the Board
10 to get approval?

11 MR. KLASSEN: I -- I don't know.

12 MR. BARBER: Did -- did this AFE include
13 specifically looking at -- at specific features from
14 any of the -- the -- the -- the two pig runs in 1996 or
15 1997?

16 (Pause)

17 MR. BARBER: Maybe the better way that I can
18 ask it is -- is what is your understanding of the
19 purpose of this AFE?

20 MR. KLASSEN: Oh. Well, the purpose of this
21 was, for example, it says states -- the title is
22 "Enduro Digs, Ferndale, Anacortes, and Sea Tac lines".
23 And what I'd -- I had identified and should have also
24 included the Allen-to-Renton, I was trying to lump in
25 there one -- the AFE so that we could go out and do

1 these inspections and be able to charge people's time
2 and the equipment and labor, repair to something
3 specific to track those costs because it was a budget
4 item from the previous year.

5 We knew that we were going to have some level
6 of expenditure. We just didn't know exactly how much,
7 so we -- we threw a number in trying to just guess that
8 we're going to have 20, 30 excavations. And you know,
9 you'd say times however many thousands of dollars per
10 excavation and then come up with some number.

11 But these -- these numbers were typically
12 always something that was just something to get you
13 started, not realizing how much it may cost you in the
14 end. And we -- and if we exceeded this it was one of
15 those where, okay, keep going, you know. You guys
16 still have 10 more to go. We'll supplement this with
17 something else. It was never, oh, you're out of money,
18 you have to stop. That didn't occur.

19 MR. BARBER: Was this -- was this AFE within
20 the annual budget? You said it was from the previous
21 -- a budget item from the previous year, but was it
22 within the annual budget or was it something that was
23 outside of what the budget was planned for?

24 MR. KLASSEN: I -- I don't recall. Since we
25 had -- since this was in '97 and we had -- I think

1 budgets are completed in October of the previous year,
2 so it -- it -- I'm not sure if we would have had an
3 item in there for these or not, depending upon because
4 we were working with the order from DOE. It -- it
5 could have been. If not, it would -- it would easily
6 have been added because it wasn't -- it wasn't
7 something that we were doing for fun. It was something
8 that we -- we were -- we were required to do.

9 MR. BARBER: Okay.

10 (Pause)

11 MR. BARBER: You mentioned a couple of times
12 the ^{inlet}~~inlet~~ surge relief valve at Bayview not fully
13 shutting properly at times, such that you were aware of
14 it being open. Is that correct?

15 MR. KLASSEN: On the initial start-up, the --
16 the surge relief valve on the incoming from the
17 Ferndale line continued to flow while we were doing the
18 initial fill of the -- the pipe and the -- and the
19 tankage and the piping and over to Allen Station and --
20 which we -- as far as we were -- as far as I was
21 concerned, should have been holding. But until we
22 reduced the noise level in there we didn't really -- we
23 weren't able to run it down till we could, you know,
24 really focus in on that specifically.

25 MR. BARBER: And how -- how did you know that

1 that -- the valve was open? You -- you mentioned that
2 it was going to a utility tank and you talked about the
3 ~~transmit~~ tank, Mixed Tank 209 later?

4 *transmit* MR. KLASSEN: Right. They're one and the
5 same.

6 MR. BARBER: Okay.

7 MR. KLASSEN: I'm sorry.

8 MR. BARBER: -- clarify that.

9 MR. KLASSEN: Sure.

10 (Pause)

11 MR. BARBER: Just going -- going back to --
12 who -- who were you employed by before Olympic
13 pipeline?

14 MR. KLASSEN: Before I came to Olympic
15 Pipeline in February of 1980 I was employed by ~~The~~
16 Texas Pipeline Company. It was a 100 percent owned
17 company of Texaco.

18 MR. BARBER: How did you come to be employed
19 by Olympic Pipeline? Did they -- did Texaco assign you
20 to Olympic Pipeline or did you apply for a job there?

21 MR. KLASSEN: That's a good story. At ~~The~~
22 Texas Pipeline Company I was in the control center or
23 what we called the dispatch office back then. And the
24 company was coming into the age of computers. During
25 my time at -- at Texas Pipeline Company everything had

1 been done with people and telephones and World War II
2 fax machines and -- I'm sorry. Teletype machines, not
3 fax machines.

4 And personal contact back and forth with
5 people in the field 24 hours a day, seven days a week.
6 The -- with -- with the improvements in -- of
7 computers, they decided to change the -- the way the
8 reporting was done from the field. They built a
9 redundant system that would do the same thing that I
10 did, to an extent, and then have the field people input
11 all their data so that it would be a permanent record
12 for the scheduling departments, and put the
13 responsibilities that I had back on the personnel in
14 the field.

15 As far as making decisions for when things
16 should happen or -- which most of those guys were -- I
17 gotta say they were excellent in the -- back then, in
18 the early '70s and up to when I left there. It was --
19 it wasn't that difficult a job because people really
20 did real well.

21 So therefore, they -- they just -- they no
22 longer needed the services of a dozen dispatchers, and
23 Olympic Pipeline was changing its operation from a
24 cycle of pumping product of -- a 10-day cycle, meaning
25 they would start from one group of refiners and pump

1 for a certain amount of days and then switch over to
2 another set of refiners and pump for a certain amount
3 of days. And within -- back and forth between those
4 two, before they would recycle, all the way back to
5 their original gasoline -- they had a schedule of
6 gasolines and fuels, gasolines and fuels that would
7 feed the Portland area and the Seattle area and they
8 would -- they would start with -- at that very first
9 point would take them to -- to complete that cycle it
10 would take 10 days. They were changing that from a 10-
11 day cycle to a 7-day cycle, which reduced the volume of
12 -- of product that they'd ship in each batch to the --
13 to the specific sections. And then it would also
14 increase the workload on the dispatcher because he's
15 having to do more things. And they only had one person
16 operating it the -- in the dispatch office.

17 So, their goal was to increase the -- their
18 dispatchers by -- with an additional person, so you'd
19 have two people operating the pipe -- the two different
20 pipelines with -- with the addition -- additional work
21 load.

22 So, the manager of operations came down to
23 Texas Pipeline, interviewed all of us, and from the
24 interviews selected three of us to come up there and
25 see if we would want to work in -- in Seattle for

1 Olympic Pipeline. And two of us decided that we would
2 and the other guy said he didn't want to have anything
3 to do with it. So, we --

4 MR. BARBER: The manager of operations of
5 what organizations?

6 MR. KLASSEN: Olympic Pipeline. He was a
7 ~~Mobil~~ ^{Mobil} employee.

8 MR. BARBER: And did -- did he come to Texas
9 Pipeline --

10 MR. KLASSEN: Yes.

11 MR. BARBER: -- Company through the company
12 contacts there?

13 MR. KLASSEN: Yes. Texas Pipeline and Texaco
14 were and are ⁶owner of Olympic. And with their --
15 they -- they couldn't find enough people to fulfill
16 their need for an increase -- a completely new
17 rotational shift of people. So, they went out to the
18 owners and asked if they had anybody that would be
19 interested in -- in the -- in that particular job, and
20 I liked the fact that I needed to feed my family and so
21 I -- so I interviewed for that and -- and accepted that
22 position.

23 MR. BARBER: Was it a competitive interview
24 where there -- where there were other applicants being
25 interviewed as well? Or did they recruit you

1 specifically?

2 MR. KLASSEN: No. It was -- they interviewed
3 everybody that was -- we were looking for places for
4 people to -- they were looking for locations for 10 to
5 12 people to go. And this was the best choice I had.
6 So, I had to actually resign from the Texas Pipeline
7 and start as a brand-new employee with Olympic
8 Pipeline.

9 MR. BARBER: Okay. You mentioned at one
10 point that in the engineering group there with Olympic
11 Pipeline there were -- there were periods of time that
12 there -- that there wasn't an engineer on staff and
13 that there were periods of time that -- I believe what
14 you said was around 1996 the head office provided
15 temporary engineers. And --

16 MR. KLASSEN: Yes.

17 MR. BARBER: -- I was trying to clarify what
18 you meant by "head office"?

19 MR. KLASSEN: Oh. Well, the TTTI head office
20 was out of Denver. They -- during that time period.
21 They -- they had an engineering group and that's where
22 they assigned the engineer through the management of
23 Olympic to -- to work as engineer -- as Olympic's
24 engineer.

25 With the various types of projects we had

1 going on during those time frames, we'd run into a lot
2 of different -- of their talented folks and they --
3 they'd periodically send somebody out to do a long-term
4 project, you know, something that lasted from weeks to
5 a month, and they -- they would occupy that office
6 and -- and to me, that was fair game for me to go ask
7 them for help. So --

8 MR. BARBER: So you -- are you aware of
9 whether or not they resigned their position with TTTI
10 and became an Olympic employee?

11 MR. KLASSEN: Oh, no. They were the
12 management group. The -- the manager -- the vice
13 president manager, the manager of operations, the
14 engineer, and the accounting -- I don't know what his
15 title is.

16 MR. BARBER: ^{Brian} Chief ~~Ryan~~ Connolly.

17 MR. KLASSEN: Accounting services or whatever.
18 Financial. He was a financial analyst type person.
19 They were and continue to be TTTI. The management core
20 team that was assigned to Olympic, they were not
21 Olympic employees.

22 MR. BARBER: I think I'm -- I'm finished,
23 Richard. I just want to take a quick look.

24 (Pause)

25 MR. BARBER: I don't have any more questions.

1 MR. BESHORE: Johnny, do you have any
2 questions?

3 MR. PARRISH: I don't have any.

4 MR. BESHORE: My -- my -- my question, should
5 we take a break real quick? Linda, are you going to
6 have -- do you --

7 MS. PILKEY-JARVIS: I don't think I have that
8 many, but --

9 MR. BESHORE: Let's take five.

10 (Brief recess)

11 MR. BESHORE: Okay. Let's go ahead and get
12 back on the record here.

13 Linda, do you have any questions?

14 MS. PILKEY-JARVIS: I have just a few
15 questions. Many of my questions have already been
16 covered.

17 Since Tony was just asking you about the AFE,
18 let me -- if you have it in front of you, let me ask a
19 couple more questions about it.

20 (Pause)

21 MS. PILKEY-JARVIS: So, do I -- I just -- I
22 wasn't quite clear on this. Did -- did you participate
23 in drafting this -- this AFE?

24 MR. KLASSEN: Yes.

25 MS. PILKEY-JARVIS: Okay. So you do recall

1 it specifically?

2 MR. KLASSEN: I didn't do many.

3 MS. PILKEY-JARVIS: Okay. And did I
4 understand correctly that this was in anticipation that
5 -- it clearly relates to the ecology order. There's a
6 reference to it. But this was -- this expense document
7 was created before the work was actually done, so in
8 anticipation that you would have to do some digging
9 after the internal inspection, the Enduro inspection
10 because of the timing?

11 MR. KLASSEN: April 10th, '97, for a start
12 date. And they were all signed on the 14th and 15th.

13 MS. PILKEY-JARVIS: Okay.

14 MR. KLASSEN: So -- so, we had actually done
15 the inspections, got the -- gotten results back, and
16 from that listing made a determination of how many we
17 thought we needed to go look at, and then came up with
18 this.

19 MS. PILKEY-JARVIS: Okay. So I was wrong.
20 This was after the Enduro had already been done?

21 MR. KLASSEN: Yes.

22 MS. PILKEY-JARVIS: If you look in that block
23 that says "Description of Project or Revision", it --
24 it references the ecology order and the purpose of this
25 work. What do these numbers mean that are beside --

1 MR. KLASSEN: The locations?

2 MS. PILKEY-JARVIS: Yes.

3 MR. KLASSEN: Those are just accounting
4 location code numbers.

5 MS. PILKEY-JARVIS: What does that mean?

6 MR. KLASSEN: Ferndale's location code in the
7 accounting world is 77202, so if you were going to
8 charge something to that line section you would -- if
9 you were doing some work in there -- there were several
10 different line sections that this one thing applied to,
11 so once they got a bill they would code it out and then
12 apply it to that specific piece of line -- pipeline
13 that was worked on.

14 MS. PILKEY-JARVIS: Okay. So, you -- you
15 helped come up with the estimate ~~\$450,000~~ for the work
16 to be done? *\$150,000*

17 MR. KLASSEN: Yes, ma'am.

18 MS. PILKEY-JARVIS: Do you recall after the
19 all the work was completed whether you were within
20 budget or not?

21 MR. KLASSEN: Oh, there's no way we could have
22 been within budget. We -- we never are. I don't
23 remember ever being less than. It was always, well, we
24 spent much more money than we estimated.

25 MS. PILKEY-JARVIS: So, what would have had

1 to happen, then? Would there had to have been another
2 AFE?

3 MR. KLASSEN: There could have been. A
4 supplemental AFE. I don't recall if I made one or not.
5 It could have been done by our accounting guy, the
6 first signature on there, Mr. Connolly. He may^{have} done it
7 for us and asked for -- for -- submitted a request for
8 more funds.

9 MS. PILKEY-JARVIS: Who are the names of --
10 who are these names of people who have signed this and
11 what were their job --

12 MR. KLASSEN: Brian Connolly. He's the
13 financial -- accounting guy that is represented for
14 TTTI. The next is the engineer, Craig Hammett~~z~~.
15 Number three is Doug ^{Ben}~~Bue~~. He's the operations
16 supervisor, another -- and the fourth one is Frank
17 ^{Hoff}~~Hoff~~, which were all TTTI representatives who have the
18 authority to sign these.

19 MS. PILKEY-JARVIS: Okay.

20 MR. KLASSEN: And sometimes it would be signed
21 by the person who -- well, my name was on here. "For
22 any questions, contact", and my office number. It's
23 typically whoever wrote it.

24 MS. PILKEY-JARVIS: Where is that?

25 MR. KLASSEN: Just above the signatures.

1 MS. PILKEY-JARVIS: Oh, okay.

2 MR. KLASSEN: Typed in.

3 MR. BESHORE: I thought you were having
4 trouble looking at --

5 MS. PILKEY-JARVIS: Yeah.

6 MR. KLASSEN: Well, I can -- I can just see
7 the "RK". That's me.

8 MS. PILKEY-JARVIS: Okay. I think that's all
9 on that. Thank you.

10 Could you pull out -- I think it was Exhibit
11 C. Was it C? The -- your dig sheet.

12 MR. KLASSEN: This one?

13 MS. PILKEY-JARVIS: Yeah.

14 MR. KLASSEN: Okay. Actual number, 82, up in
15 the top right corner. Top right corner.

16 MS. PILKEY-JARVIS: Oh, top right.

17 MR. KLASSEN: Yeah.

18 MS. PILKEY-JARVIS: Right. I wanted you to
19 look, actually, in the bottom left-hand corner --

20 MR. KLASSEN: Okay.

21 MS. PILKEY-JARVIS: Could you explain this
22 designation here? It looks like it has to do with how
23 this document was created on the computer.

24 MR. KLASSEN: Oh, the --

25 MS. PILKEY-JARVIS: Right.

1 MR. KLASSEN: -- "K/smart pig/dig 2"?

2 MS. PILKEY-JARVIS: Right.

3 MR. KLASSEN: That was just the blank form.

4 The -- our draftsman, she was real good about making
5 forms and things. But I think I -- I might have done
6 this in an Excel spreadsheet and just -- that's where I
7 placed the blank. I didn't have these in a computer.
8 These were all hand-drawn.

9 MS. PILKEY-JARVIS: So, the "K/smart pig/dig
10 2" is part of this form? It was part of the blank
11 form?

12 MR. KLASSEN: Yeah. Just the blank form.

13 MS. PILKEY-JARVIS: What's --

14 MR. KLASSEN: "Dig 2" is just a -- in '91 I
15 had a Dig 1. In '95 I had Dig 2. It was just a form.
16 Just a blank form.

17 MS. PILKEY-JARVIS: The -- the Dig 1 -- the
18 Dig 2, was that designating different internal
19 inspection runs, you mean? Or --

20 MR. KLASSEN: No, just the -- I -- and Dig 1
21 was just the -- the way the -- no. Essentially, just
22 the information at the top of the sheet. Dig 2 just is
23 -- that's my second revision of this form. That's all.

24 MS. PILKEY-JARVIS: Okay.

25 MR. KLASSEN: It's my very early attempt at

1 being very computer illiterate and trying to do
2 something with that -- with the form.

3 MR. BESHORE: So the form just had the typed
4 stuff on it?

5 MR. KLASSEN: Yeah.

6 MR. BESHORE: Filled the form in?

7 MR. KLASSEN: Right. It was -- you go into
8 the K drive under "Smart Pigs", bring up "Dig 2", print
9 it out, and then I made 100 copies and then started
10 drawing.

11 MS. PILKEY-JARVIS: Okay.

12 MR. KLASSEN: So it was just a blank form.

13 MS. PILKEY-JARVIS: You talked about earlier
14 how initially you would give some advice to the field
15 folks. You would sort of rank the defects or anomalies
16 one, two, and three. Would that have been written on
17 this dig sheet? Is that how you would give them that
18 information?

19 MR. KLASSEN: No, not for this specifically.
20 There was only -- in -- in this instance, there was
21 only one location that we needed to look at in this
22 line segment. That's why drawing -- it says "Drawing
23 #FE-1". That just means in the Ferndale line section
24 this is number -- the number one drawing. That -- that
25 -- I didn't have a real set rules and regulations for

1 how I did that back then. It was just -- in some
2 instances I'd start at the beginning of the line and go
3 to the end of the line. And other -- other times I'd
4 start with, well, here's the worst one, that's number
5 one. Here's another one, that's number two. You know,
6 it just didn't -- I did -- I wasn't consistent that way
7 over the 10 years.

8 MS. PILKEY-JARVIS: Some of the other folks
9 who we interviewed remember that you would sometimes
10 rank the anomalies and so that would --

11 MR. KLASSEN: Mm-hmm.

12 MS. PILKEY-JARVIS: So, what my -- you know,
13 I'm asking was it on this form that you would give that
14 ranking number or was there some other method that you
15 used?

16 MR. KLASSEN: For this specific instance, no,
17 I didn't have it on -- I don't remember having it on
18 this form. I -- I had made this summary sheet which
19 was pretty much ranked in the different line sections
20 from "worst" to -- well, not exactly. There's one
21 that's not. Most of the time it was "worst" to -- to
22 "least" and other times it was in, you know, footage or
23 distances. So, no, I didn't really have one that
24 specifically listed. We would --

25 MS. PILKEY-JARVIS: Let -- let me try one

1 more time because I -- I don't think -- I guess I must
2 not be asking this too well. I -- I realize that --
3 what -- what you said earlier was that in the beginning
4 you had a ranking and then at some point you stopped
5 doing that, so I understand you did not do that on this
6 particular --

7 MR. KLASSEN: Right.

8 MS. PILKEY-JARVIS: -- dig sheet. So I'm
9 just asking, you know, in -- in your process initially,
10 early on, when you would rank them, would you give that
11 information to the people who would go in the field?

12 MR. KLASSEN: Oh.

13 MS. PILKEY-JARVIS: Would you rank it and --

14 MR. KLASSEN: For which ones were --

15 MS. PILKEY-JARVIS: Right.

16 MR. KLASSEN: -- had a higher priority?

17 (Pause)

18 MR. KLASSEN: You know, I -- I -- I don't
19 recall if I would give them a list that would rank
20 them.

21 (Pause)

22 MR. KLASSEN: We would -- I don't recall
23 giving them a -- a list every time. I can remember
24 that probably on occasion I would have given them a
25 list that had a -- had a ranking or an order of which

1 one should go first, but not every time. And in this
2 instance, we had a lot of involvement from -- from the
3 management team for which ones we should go look at
4 first. We probably just identified them, saying go --
5 go here, go there. But without a formal form saying,
6 okay, this is -- this is how we're going to go after
7 them. I just -- I guess you just have to look at the
8 dates at which we -- we did go and do the inspections.

9 It does kind of look like we -- we had 'em in
10 some kind of order because we -- the 16-inch lines we
11 did in April and then the -- April and May, you know.
12 As it goes down the list we -- we get later in the
13 month. Maybe I did do that. I don't recall doing it
14 that way, but that might have been how it worked.

15 MS. PILKEY-JARVIS: Okay. You described in
16 response to Jerry's question the criteria that you used
17 to select which locations you would go and dig. Can
18 you tell us where that was written down? Where that
19 criteria was written down?

20 MR. KLASSEN: Written criteria. Well, you --
21 it's pretty much looking at the regulation or the --
22 the B31-4 rules. You know, it says that six percent
23 dents, 12 and a half percent metal loss and gouges and
24 grooves. You know, but we didn't know that -- what it
25 was. Or the -- the B31-G calculations for depth and

1 length. It was pretty much a common --

2 MS. PILKEY-JARVIS: The --

3 MR. KLASSEN: To me, it was a common sense
4 issue more than a hard and fast rule and regulation.

5 MS. PILKEY-JARVIS: Did the company have a
6 policy that was written down that you would follow
7 those guidelines and that criteria?

8 MR. KLASSEN: Hmm, guidelines. I think we
9 tried to come up with some -- or rather, the engineer
10 later tried to come up with some. I believe it was
11 even in the manual that was submitted to DOE. But I
12 don't think it ever got approved.

13 So, did we have any rules and regulations
14 that were -- that were approved and we -- we followed?
15 No, I don't recall. I just remember that Steve Hoy had
16 written an entire document. I -- I don't -- I probably
17 looked at but I don't remember every page in the darn
18 thing. But I -- I think it had a section in there
19 about pigging.

20 MS. PILKEY-JARVIS: Who, then -- if it wasn't
21 written down for you to learn what the company's policy
22 was, who taught you what the company's policy was?

23 MR. KLASSEN: Well, when we did the
24 inspections in '91 and '92, Steve Hoy -- he pretty much
25 came up with here's what we're going -- he was very

1 hands-on with -- with the data, he and I, and the --
2 and the criteria for repair, which was also our
3 criteria for excavation.

4 (Pause)

5 MR. KLASSEN: So that -- I guess that would be
6 what our -- what our rules were at the time. We tried
7 to follow those until we got more sophisticated with
8 computer analyzation of the -- of the data with the B31
9 -- using the B31 calculations. Steve's had a lot of
10 extra conservatism.

11 MS. PILKEY-JARVIS: Okay. You referred to a
12 manual. You think it may have been written in a manual
13 that was given to Ecology. Could that be the
14 Prevention Manual?

15 MR. KLASSEN: Yes. As far as I know, it was
16 never okayed.

17 MS. PILKEY-JARVIS: Okay. I brought -- I
18 didn't bring the whole manual. It's too -- too
19 cumbersome. But I did bring two pages out of it. Can
20 I -- can I put that in? Those are my only copies.
21 One's just the cover page so you would know what it is,
22 and the other is -- is the page that --

23 MR. KLASSEN: Bottom of the page, last
24 paragraph.

25 MS. PILKEY-JARVIS: -- talks about

1 Olympic's --

2 MR. BESHORE: Do you want to run and make a
3 copy rather than mark -- so you have your original
4 back?

5 MS. PILKEY-JARVIS: I don't need the original
6 back because I have the copy. If -- if --

7 MR. BESHORE: Okay.

8 MS. PILKEY-JARVIS: So --

9 MR. BESHORE: So, if I can keep that one and
10 I'll --

11 MS. PILKEY-JARVIS: Yes.

12 MR. BESHORE: -- mark it as Exhibit --
13 whatever the next one is. G.

14 (The document referred to was
15 marked for identification as
16 Klasen Exhibit G and was
17 received in evidence.)

18 MS. PILKEY-JARVIS: I -- I realize that
19 this -- I am -- you don't have the benefit of looking
20 at the whole manual, but I did copy the one page that
21 talks about internal inspection, so yeah, could you
22 look at that and -- does that give you a policy
23 guidance for the company?

24 MR. KLASSEN: Yes.

25 MS. PILKEY-JARVIS: What is --

1 MR. KLASSEN: It would, after this would have
2 been approved.

3 MS. PILKEY-JARVIS: What is it?

4 MR. KLASSEN: What does it say?

5 MS. PILKEY-JARVIS: Mm-hmm.

6 MR. KLASSEN: It says, "Olympic Pipeline will
7 excavate and visually inspect all anomalies that are
8 deeper than 20 percent of the original wall thickness.
9 If visual inspection does not reveal a defect, then
10 ultrasonic measurement of the pipe wall thickness is
11 performed to determine if the anomaly is internal. If
12 the inspection of the pipe -- pipeline determine that
13 corrective action is necessary as defined in Nancy B
14 31-4, the pipeline shall be repaired or replaced."

15 MS. PILKEY-JARVIS: And when you say that
16 it's -- it wasn't approved, what do you mean by that?

17 MR. KLASSEN: To the best of my knowledge, it
18 was submitted to Ecology and there was, to the best of
19 my knowledge, never a -- an acceptance of this policy,
20 of this program or plan.

21 MS. PILKEY-JARVIS: Do you know whether there
22 were any requirements from the Federal government, from
23 the Federal rules that govern pipelines about having
24 that information in their manuals, their operation and
25 maintenance manual, for example? Were there other

1 manuals for Olympic that contained information about
2 your internal inspection criteria?

3 MR. KLASSEN: I think we had a section that
4 just stated that we would perform them on a five-year
5 program. I don't recall -- it probably talked about us
6 inspecting with magnetic flux inspection tool.

7 (Pause)

8 MR. KLASSEN: But I don't -- I don't recall
9 all of the detail of that.

10 MS. PILKEY-JARVIS: Richard, which -- which
11 office did you work in?

12 MR. KLASSEN: I -- I worked in the Renton
13 office.

14 MS. PILKEY-JARVIS: Allan asked you a lot of
15 questions about whether you were aware of, you know,
16 concerns in the company about the operations of the
17 valves and the operations of -- at Bayview, and we've
18 had other people who we've interviewed who have talked
19 a great deal about that. Do you recall an e-mail that
20 was written by Al White suggesting -- this is an e-mail
21 that was distributed to a lot of people in the company
22 that suggested a meeting to talk about the various
23 issues at Bayview?

24 MR. KLASSEN: Yes.

25 MS. PILKEY-JARVIS: Do you -- so, I guess I'm

1 just wondering if now that you remember that e-mail if
2 that helps you remember more some of the issues
3 surrounding Bayview? The concerns?

4 MR. KLASSEN: Some of the concerns around
5 Bayview? That -- as I recall, that e-mail was written
6 because of the control center controllers having
7 difficulty in the operation of -- and I believe it was
8 due -- operation and accounting of product through
9 Bayview. And it was -- the -- the controllers used Al
10 as their process -- their supervisor in Al to -- 'cause
11 he would -- he would go in there and talk to them
12 extensively. He was the best practices person -- to
13 try to solve whatever problem that came about.

14 I remember getting the e-mail and then I
15 remember that the -- it was canceled. But I also
16 remember that Al and I and Ron Brentson and I think
17 even David Justice got together and talked about some
18 of the issues anyway.

19 MS. PILKEY-JARVIS: Okay. Tell us about that
20 meeting.

21 MR. KLASSEN: I know it was in the warehouse
22 -- I mean in the -- the mechanics' side of the
23 warehouse. You know, we -- meetings -- we held
24 meetings wherever four or five of us just stood in one
25 place.

1 As I recall, you know, Al was -- Al -- Al and
2 Ron were identifying the -- the concerns that control
3 center had and it just being more difficult for them
4 and -- and because of the complexities of that -- from
5 that facility. And with -- and I'm -- I'm not real
6 sure of -- of everything that we talked about in there,
7 but it was pretty much trying to -- trying to just
8 discuss what -- what they -- what do they need to make
9 their job easier so that they don't have -- they have
10 less confusion.

11 I don't recall there being anything that I
12 could do in my roles to make their job better. You
13 know, it was pretty much a procedural things of how to
14 start and stop pumps associated with Bayview and Allen
15 Station, Anacortes, Ferndale with -- in that -- in that
16 area, so. And some of those guys really did an
17 excellent job of being able to delicately -- and I say
18 that -- you know, it -- it was a very delicate
19 operation in trying to start and stop things because of
20 the -- those two -- Bayview and Allen Station were so
21 close together. And other people didn't have that
22 delicate touch, so it made it more challenging for
23 others to -- to be able to successfully start and stop
24 pumps, which probably attributed to a lot of these
25 closures.

1 MS. PILKEY-JARVIS: Do you recall whether the
2 problems at Bayview were creating a morale problem in
3 the company?

4 MR. KLASSEN: Morale problem? I don't think
5 there's a time when there's not a morale problem
6 anywhere in this -- in the United States of America, so
7 -- I think there was probably some frustration. I
8 don't know if it was a morale problem. I -- I never
9 felt like there was a -- you know, going to be a
10 evacuation of the company because they can't -- people
11 couldn't perform as well as expected.

12 MS. PILKEY-JARVIS: How would you
13 characterize the relationship between Equilon employees
14 and Olympic employees?

15 MR. KLASSEN: Oh. I thought they did just
16 fine, you know.

17 (Pause)

18 MR. KLASSEN: They were -- interacted with --
19 you know, from Frank and Doug and Craig and Brian
20 Connolly. I felt like they all interacted excellently
21 with every individual at Olympic.

22 (Pause)

23 MS. PILKEY-JARVIS: So, you don't -- you
24 don't think that employees made a distinction in their
25 mind about whether a person was employed by Equilon or

1 whether -- if they were employed by Olympic?

2 MR. KLASSEN: I don't understand the question.
3 Employed by Equilon or employed by Olympic.

4 MS. PILKEY-JARVIS: Well, I -- I think you --
5 you answered -- answered it the first time I asked.
6 Thanks.

7 You -- you answered in response to, I think,
8 Tony -- when he asked you to define what a "gouge" is
9 you talked about a separation of grains -- in grains of
10 metal. How would you define a "wrinkle bend"?

11 MR. KLASSEN: A wrinkle bend was -- a wrinkle
12 bend was a process of -- prior to some of the rules,
13 probably in the '60s -- whereby it was allowed to bend
14 the pipe in the field. And in so doing that, you could
15 -- you were allowed to have a minor amount of wrinkle
16 in the steel, which is pretty difficult not to do, even
17 under the techniques they have today with heating the
18 pipe. And sometimes you'll even find some heated or
19 what they call "hot bend pipe" that has a minor wrinkle
20 feel to it. I hate to say the word "wrinkle" but a
21 minor rolling feel to it, very slight, because you're
22 taking something that was straight and you're turning
23 it to a certain degree of angle, so you're going to
24 have an increase of metal, which is going to give a
25 protrusion and on the opposite side, give a thinning.

1 MS. PILKEY-JARVIS: So you're talking about -
2 - you're defining a wrinkle bend that's associated with
3 a bend or a turn in the line?

4 MR. KLASSEN: Yes.

5 MS. PILKEY-JARVIS: Would you ever find a
6 wrinkle bend somewhere -- is there -- where the line is
7 straight? Is there another meaning of the word
8 "wrinkle bend"?

9 MR. KLASSEN: The definition -- Tub⁶scope's
10 definition I don't know. I wouldn't expect that to
11 mean anything else. Now, there's sag bends, which
12 means that it's going underneath, and there's over
13 bends where it's going over the top of something, where
14 it looks like it's still going straight but it's
15 actually bent up or bent down opposed to a left or a
16 right. It's still bent.

17 MS. PILKEY-JARVIS: How about the word
18 "mash"? How would you define that?

19 MR. KLASSEN: I -- I don't really have a
20 definition for "mash".

21 (Pause)

22 MS. PILKEY-JARVIS: I just have two -- two
23 questions left.

24 (Pause)

25 MS. PILKEY-JARVIS: You talked about that you

1 and Doug ^{Beu}~~Bue~~ had planned to inspect all the facilities
2 in May -- May of '99?

3 MR. KLASSEN: Yes.

4 MS. PILKEY-JARVIS: What -- what was -- I
5 just wasn't left clear on the purpose that -- those
6 inspections.

7 MR. KLASSEN: Well, we wanted to -- we wanted
8 to go through and update electrical drawings,
9 mechanical drawings, and line drawings to make sure
10 that what we had was correct. He was aware that some
11 of the -- some of it was less than perfect, so we
12 wanted to -- that was always a goal that he had set
13 when -- when I became this -- this new appointee
14 assigned to him, that one of the things he wanted to
15 achieve.

16 So I set up the schedule for us to put
17 together teams of people to -- to do that
18 investigation. And we kept getting pushed back so I
19 would reschedule -- reschedule the dates of the -- for
20 doing that inspection. And then we actually never --
21 we never got to go do it.

22 MS. PILKEY-JARVIS: Aside from setting up the
23 teams and the schedules, were you asked to -- to
24 prepare anything else for those inspections?

25 MR. KLASSEN: No. That was enough.

1 (Pause)

2 MS. PILKEY-JARVIS: You said that when you
3 wrote up your -- your dig sheet -- or when you
4 evaluated the internal inspection findings, that you
5 did go compare this with the line sheets and there's a
6 reference to the line sheets on this form.

7 MR. KLASSEN: Yes.

8 MS. PILKEY-JARVIS: You recalled seeing the
9 72-inch water line?

10 MR. KLASSEN: I believe so. It was either 72
11 or 60. I'm not sure. I think it was a 72.

12 MS. PILKEY-JARVIS: Do you recall seeing any
13 other lines in that general area?

14 MR. KLASSEN: It -- it was a very busy area of
15 the -- of that particular sheet.

16 MS. PILKEY-JARVIS: Yeah. You -- you
17 remember there -- so there were -- there were --

18 MR. KLASSEN: There were a lot of different
19 things in there, yeah.

20 MS. PILKEY-JARVIS: Okay.

21 MR. KLASSEN: Power, telephone, you know,
22 those kind of things.

23 MS. PILKEY-JARVIS: Okay.

24 MR. KLASSEN: Plastic pipes, I think, even.

25 (Pause)

1 MS. PILKEY-JARVIS: That's all the questions
2 I have. Thank you.

3 MR. KLASSEN: Sure.

4 MR. BESHORE: Okay. I have some follow-ups,
5 so we'll go through those.

6 TTTI became --

7 MR. KLASSEN: TTTI became Equilon, yes.

8 MR. BESHORE: Basically, what, they merged
9 with Shell and became Equilon, is that --

10 MR. KLASSEN: That's correct.

11 MR. BESHORE: And that was prior to the
12 accident?

13 MR. KLASSEN: Yes.

14 MR. BESHORE: But you were always an Olympic
15 employee; you were never an Equilon employee?

16 MR. KLASSEN: That's correct.

17 MR. BESHORE: But then you -- you said you
18 resigned in July of 2000. Where did you go at that
19 point?

20 MR. KLASSEN: I went to -- I applied for a
21 position at Equilon and was offered a position.

22 MR. BESHORE: And that's who you're employed
23 with now?

24 MR. KLASSEN: That's correct.

25 MR. BESHORE: And what -- what's your role

1 and title?

2 MR. KLASSEN: What's my role? I -- I work in
3 the major group called Community Safety in the Pipeline
4 Group. And a subset of that is the Asset Integrity
5 Group. And there's a total of six of us in that group
6 where -- of which I'm a asset integrity coordinator.

7 My role in that group is to provide some
8 assistance in smart pigging, guideline. One -- one of
9 the gentlemen in our group worked on the API 1160,
10 which I was -- got to help review and make comment on
11 some of those items. The -- we also updated and -- and
12 improved a pipeline engineering guide for the company
13 around smart pigging. We -- which I was a team member
14 on that.

15 I do some work in assistance with the
16 regulatory group for when reports come in of -- it's
17 called first notification of incident, which could be a
18 drop of oil or product on a -- on water to, you know, a
19 major release, getting that information and compiling
20 that and trying to come up with some questions to ask
21 to further give people some investigation issues.

22 I'm working on developing an investigation
23 program for all the company.

24 I'm -- we recently had a smart pigging
25 conference for all of Equilon where I participated in

1 giving the presentation on documentation.

2 Pretty much the go-fer guy.

3 MR. BESHORE: So that's been your role ever
4 since you left Olympic?

5 MR. KLASSEN: Yes.

6 MR. BESHORE: Okay. Somebody mentioned the
7 OPS audit prior to the accident. Were you involved in
8 that?

9 MR. KLASSEN: Yes.

10 MR. BESHORE: Do you recall during your
11 preparation, you know, whatever for that audit, do you
12 recall anything that people were concerned about OPS
13 finding out about?

14 MR. KLASSEN: Finding out about. No. My --
15 my role was to provide river crossing survey data and
16 also smart pigging data.

17 MR. BESHORE: Okay. So --

18 MR. KLASSEN: They were concerned about making
19 sure I had my information.

20 MR. BESHORE: Okay. So your -- your
21 preparation was basically to demonstrate that you had
22 your stuff --

23 MR. KLASSEN: That's exactly right.

24 MR. BESHORE: So you don't recall anybody
25 having a concern that there was some -- that there was

1 some weakness or exposure or something to be concerned
2 about OPS coming in and finding?

3 MR. KLASSEN: Well, they were always concerned
4 that OPS will find something. No, I don't recall. I
5 mean if there was -- if -- a big flag drawn up to say
6 that, oh my gosh, we're -- we didn't inspect this
7 right-of-way one day or something, we're two days late,
8 or -- I don't -- there could have been an issue like
9 that.

10 MR. BESHORE: You don't --

11 MR. KLASSEN: I'm sure Peter caught it,
12 though.

13 MR. BESHORE: That was my question. But you
14 don't recall anything, like, being significant like
15 that?

16 MR. KLASSEN: No.

17 MR. BESHORE: Okay. The -- you mentioned you
18 had a couple of conversations with Frank and others
19 about the -- the -- the anomalies at this location
20 and -- and you just mentioned that it was a busy area.
21 I'm trying to get a feel for the context of that --
22 those conversations. Was the context about, you know,
23 this being a busy area and it's, you know, going to be
24 a hassle to get to or was the -- you know, was that the
25 context of the conversation?

1 MR. KLASSEN: Well, the accessibility to -- to
2 this location with the various types of other things
3 involved, the fact that -- I think they said the line
4 was a minimum of seven feet deep underneath all -- all
5 of this water treatment equipment. The -- the -- the --
6 -- the fact that it was a sloped area, that I recalled
7 it being from looking at the line sheets, and the --
8 the fact that individually these items weren't worth
9 the risk of going after trying to disturb all that
10 other -- all that -- all that soil.

11 MR. BESHORE: Was cost an issue that was
12 discussed?

13 MR. KLASSEN: No. There was never a time when
14 somebody was worried about how much it was going to
15 cost to go dig something up. It was always -- it was
16 always do we need to be there? Does the information
17 tell us that this is an area of concern?

18 MR. BESHORE: You mentioned the flow tests
19 that were done with the relief valves after the
20 accident.

21 MR. KLASSEN: Yes.

22 MR. BESHORE: And you were involved in that
23 project?

24 MR. KLASSEN: Yes.

25 MR. BESHORE: If I remember correctly, there

1 was -- you -- ya'll found that there was some
2 difference, basically, between what you thought to be
3 the set pressure and the pressure at which the valve
4 was actually relieved. Do you recall that, the results
5 of that testing?

6 MR. KLASSEN: We did -- we did some early
7 tests -- flow tests with actual pressure on the line
8 with product and then -- and then we did some tests --
9 we moved the valves around so that we could perform
10 them on the Anacortes line. And then we did some tests
11 after that where we actually used a manifold and water.
12 So, which tests are you talking about?

13 MR. BESHORE: All right. Well, let's --
14 let's kind of go through those, then, and just go
15 through all of them. The -- the in-place testing. I
16 mean did you -- did you find that the -- the pressure
17 was being relieved at the pressure that -- the supposed
18 set point pressure? Was there -- was it --

19 MR. KLASSEN: I don't -- I'd have to look at
20 the -- the report, the log information. That was a lot
21 of numbers.

22 MR. BESHORE: Okay. Let's just jump to the
23 manifold testing, then, because that was a more
24 controlled, I guess, kind of a test --

25 MR. KLASSEN: More scientific.

1 MR. BESHORE: Did -- I mean do you recall
2 what was found there in terms of the comparison of
3 the -- the set pressure versus the actual relieving
4 pressure?

5 MR. KLASSEN: We found there was a correlation
6 with the relieving pressure with the sensitivity.
7 There was -- there's two settings. You can set not
8 only pressure but you can set sensitivity of the --- of
9 the -- of the equipment so that it would -- its
10 reaction time is either faster or slower. So,
11 depending upon how your sensitivity was set, in most
12 instances it sped up or slowed down the reaction time.

13 MR. BESHORE: Okay. The -- now, the volume
14 estimates have been updated since your original
15 calculations. Was that something that you prepared?

16 MR. KLASSEN: No.

17 MR. BESHORE: They were updated after the
18 line, you know, was -- they figured out what was in the
19 line and, you know --

20 MR. KLASSEN: Figured out what the over and
21 shortage was.

22 MR. BESHORE: Right. But you didn't do that?

23 MR. KLASSEN: No.

24 MR. BESHORE: Okay.

25 MR. KLASSEN: I -- I remember checking some of

1 those numbers but -- but I don't remember verifying
2 everything.

3 MR. BESHORE: What you looked at you were
4 comfortable with?

5 MR. KLASSEN: I -- I guess so.

6 MR. BESHORE: During any of the -- I think
7 you mentioned, and correct me if I'm wrong, that you
8 were involved in meetings with the state people?

9 MR. KLASSEN: Yes.

10 MR. BESHORE: In any of those conversations
11 did the possible wrinkle bend from the Tub^oscope log
12 ever come up? Was that ever discussed with those
13 folks, do you recall?

14 MR. KLASSEN: Well, the -- I only went to two
15 early meetings with Ecology, that I recall. I think I
16 went to one in September ^{or} and October and the other one
17 probably December. Some -- somewhere within that year.
18 I don't believe we went into detail about what
19 Tub^bscope -- what Tub^oscope identified. Their -- the
20 concern that we had with the -- that was their main
21 concern was can we find something that was similar to
22 what was on the 20-inch line, and Tub^oscope had no
23 bearing on -- or very little bearing on trying to find
24 something that was^andent or -- that's why we utilized
25 Enduro's caliper tool.

1 MR. BESHORE: And the spreadsheets you
2 prepared was just off the Enduro runs?

3 MR. KLASSEN: Exactly.

4 MR. BESHORE: Was any data off the Tub⁰scope
5 runs provided to them, to your knowledge?

6 MR. KLASSEN: Not that I'm aware of, no.

7 (Pause)

8 MR. KLASSEN: No, I -- I don't believe so.

9 MR. BESHORE: Now, the -- you looked at the
10 shut-downs after the accident. You looked at the
11 various valve closures. You said about half of 'em
12 were when they were shutting down the facility?

13 MR. KLASSEN: Right.

14 MR. BESHORE: Were all the rest of 'em when
15 they were tight-lining? Do you remember if that ever
16 happened when they were floating tanks?

17 MR. KLASSEN: I don't remember what their --
18 what exactly all the -- where they were going, if some
19 were tight-lining or some were floating. No, I don't
20 recall.

21 MR. BESHORE: But did you -- you had some --
22 you felt, and I think you expressed it earlier, that
23 the problems mainly that they were having with the
24 pressures in Bayview were because they were trying to
25 tight-line, is that correct?

1 MR. KLASSEN: Yes. I think so. They were --
2 it was -- difficult.

3 MR. BESHORE: Okay. Then, -- okay. This was
4 -- this is prior to the accident, going back and trying
5 to stretch your memory. When they -- any conversations
6 you had about this valve setting. Did anybody ever
7 wonder what the pressure was on the upstream side of
8 this valve? What the pipeline might be seeing in terms
9 of pressure when that valve closed?

10 MR. KLASSEN: Which -- I'm sorry. Which
11 valve?

12 MR. BESHORE: This is the incoming valve to
13 Bayview that would close at 700 pounds.

14 MR. KLASSEN: Oh, oh.

15 MR. BESHORE: Did anybody -- do you -- to
16 your knowledge, did anybody take a look at what was
17 happening on the pipeline side, you know, the surge
18 analysis or some other kind of thing to the pressures
19 on the pipeline side?

20 MR. KLASSEN: No.

21 MR. BESHORE: Do you recall anybody talking
22 about that or --

23 MR. KLASSEN: No.

24 MR. BESHORE: -- expressing a concern or
25 question or --

1 MR. KLASSEN: No, 'cause that pipe was rated
2 for pressures that exceeded what its maximum operating
3 pressure was.

4 MR. BESHORE: Does anybody else have any
5 follow-up questions?

6 (Pause)

7 MR. BESHORE: Go off the record.

8 (Pause)

9 MR. BESHORE: Did -- let's go back to -- you
10 know, based on -- on what you now know, did you realize
11 that the -- appears the metal loss and dent actually
12 lined up based on -- did you -- did you review the OPS
13 consultant report and look at that information or was
14 that just yesterday?

15 MR. KLASSEN: Yesterday I saw that, but I
16 still don't agree.

17 MR. BESHORE: You don't agree?

18 MR. KLASSEN: No.

19 MR. BESHORE: Okay. So, you believe that
20 this was the case here, that your dig sheet was
21 accurate?

22 MR. KLASSEN: I believe mine is correct.

23 MR. BESHORE: Okay. So you disagree with
24 that?

25 MR. KLASSEN: Yes.

1 MR. BESHORE: But you understand what I'm --
2 what I'm saying, right?

3 MR. KLASSEN: Yes. I understand that you're
4 saying the -- the Enduro dent and the Tubascope 23
5 percent ^{metal} ~~low~~ loss are -- according to the DOT's expert
6 are in the same location.

7 MR. BESHORE: Right.

8 MR. KLASSEN: I disagree with that.

9 MR. BESHORE: Which is not the location of
10 rupture.

11 MR. KLASSEN: I -- I agree with that.

12 MR. BESHORE: I mean we're talking about
13 the -- the -- the -- the dent on the second pipe that
14 was closer to the water line.

15 MR. KLASSEN: Right.

16 MR. BESHORE: And that's where he's saying
17 that stuff all lines up.

18 MR. KLASSEN: Right.

19 MR. BESHORE: Okay. All right. Good.

20 That --

21 MR. KATCHMAR: The only other question was I
22 thought of something that Shell was doing back in '91,
23 and they were -- they did the surge analysis on the
24 line?

25 MR. KLASSEN: Yes.

1 MR. KATCHMAR: And in that ^{Marmac}~~Merrimac~~ report it
2 does state that --

3 MR. KLASSEN: Stoner.

4 MR. KATCHMAR: Okay. Stoner report. Says if
5 you're going to change anything or add anything to
6 another surge analysis --

7 MR. KLASSEN: That would have been something I
8 wouldn't have had.

9 MR. KATCHMAR: You wouldn't have been in
10 there --

11 MR. KLASSEN: No.

12 MR. KATCHMAR: -- on that decision? That's
13 it.

14 MR. BESHORE: Any other follow-up questions?

15 (No response)

16 MR. BESHORE: Then I'll just ask my standard
17 one at the end. Is there anything else we haven't
18 talked about, Richard, that we haven't asked you about
19 that you feel like we need to know or take into
20 consideration as we're finishing this up?

21 MR. KLASSEN: Well, my first question is
22 you're -- you're saying -- the last statement you made
23 saying that the rupture site was not at the location of
24 these anomalies that were identified by Tub²scope or
25 Enduro.

1 MR. KLASSEN: Okay. Best thing I could ask
2 for.

3 MR. BESHORE: Is there anything else I can
4 answer for you, Richard?

5 (Laughter)

6 MR. BESHORE: No, this is an opportunity --
7 if we haven't asked you something that you feel is
8 important for us to get an accurate record of facts,
9 basically, I appreciate you filling us in.

10 MR. KLASSEN: Do I have -- can you think of
11 anything that I should think you -- no, I -- I -- you
12 did a good job of asking questions.

13 MR. BESHORE: Thank you, Richard.

14 (Laughter)

15 MR. BESHORE: Well, having finalized it, I
16 guess we're done. Go off the record.

17 (Whereupon, at 3:30 p.m., on May 17, 2001,
18 the interview was concluded.)

19

20

21

22

23

24

25

1 MR. BESHORE: Okay.

2 MR. KLASSEN: Is that true?

3 MR. BESHORE: Yeah, I believe that's true.

4 Yeah. The possible wrinkle bend is at the rupture
5 location.

6 MR. KLASSEN: Possible wrinkle bend was -- was
7 associated with the actual --

8 MR. BESHORE: Right.

9 MR. KLASSEN: -- rupture location?

10 MR. BESHORE: Yes. The rupture location was
11 at the -- the possible wrinkle bend was at the rupture
12 location.

13 MR. KLASSEN: Was that the origination point
14 of the rupture?

15 MR. BESHORE: The -- the rupture originated
16 in a gouge --

17 MR. KLASSEN: Okay.

18 MR. BESHORE: -- that was located in that
19 vicinity.

20 MR. KLASSEN: And that was not identified on
21 either one of the logs?

22 MR. BESHORE: Well, I can't go into the
23 specifics on that, but -- but there were -- the only
24 thing called out on the log in that vicinity was a
25 possible wrinkle bend.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

REPORTER'S CERTIFICATE

This is to certify that the attached
proceedings before: NTSB

In the Matter of:

PIPELINE RUPTURE AND FIRE

were held as herein appears and that this is the
original transcript thereof for the file of the
Department, Commission, Administrative Law Judge
or the Agency.

EXECUTIVE COURT REPORTERS, INC.
1320 Fenwick Lane, Suite 702
Silver Spring, MD 20910
(301) 565-0064

Official Reporter

Dated: MAY 17, 2001



National Transportation Safety Board

Washington, D.C. 20594

In the Matter of the National Transportation Safety Board Investigation of the Pipeline Accident Occurring in Bellingham, Washington, on June 10, 1999.

COMPULSION ORDER


It appearing to the satisfaction of the Acting Chairman of the National Transportation Safety Board:

1. That Richard Klasen has been called to testify or provide other information in this matter;
2. That Richard Klasen has refused or is likely to refuse to testify or provide other information, on the basis of his privilege against self-incrimination;
3. That in the judgment of the Acting Chairman of the National Transportation Safety Board, the testimony or other information from Richard Klasen may be necessary to the public interest; and
4. That this order has been issued with the approval of the Attorney General or her designated representative, pursuant to 18 USC Section 6003 and 28 CFR Section 0.175.

NOW, THEREFORE, IT IS ORDERED, pursuant to 18 USC Section 6002 and 6004, that Richard Klasen appear and give testimony or provide other information which he has refused or is likely to refuse to provide or give on the basis of his privilege against self-incrimination as to all matters about which he may be questioned in this matter.

IT IS FURTHER ORDERED that in accordance with the provisions of 18 USC Section 6002, Richard Klasen shall forever be immune from the use of such testimony or information or any information directly or indirectly derived from such testimony against him in any prosecution, penalty or forfeiture, either State or Federal or otherwise; but the witness shall not be exempt from prosecution for perjury, giving a false statement or contempt committed while giving testimony or producing evidence under this order.

Dated this 22nd day of February, 2000.


Carol Carmody
Acting Chairman

Klasen Exhibit A.



OLYMPIC PIPE LINE COMPANY

2319 LIND AVE. S.W.

P.O. BOX 1800

RENTON, WASHINGTON 98057

(206) 235-7736

We are sending 3 pages. INCLUDING this page. If you need confirmation or a resend of any page, please call (206) 235-7736 or fax (206) 271-5320.

DATE: 6-3-97

FROM: R.J. Klasen

TO: E. Story

LOCATION: WADDE BELLEVUE

TELECOPY #: 649-7098

COMMENTS: UPDATE OF FIELD INVESTIGATIONS

Multiple horizontal lines for additional comments or notes, currently blank.

Klasen Exhibit B

SUMMARY OF 1997 CALIPER PIG INSPECTION AND FIELD INVESTIGATION

Pipeline Segment	Inspection Stationing	Inspection Date	Inspector	Weather	Time of Day	Time of Year	Time of Day	Time of Year	Time of Day	Time of Year	Time of Day	Time of Year	Time of Day	Time of Year	Time of Day	Time of Year	Time of Day	Time of Year
FERNDALE	TO	Allen 16"	May															
16" 843+69	.45" Total Sharp**	Allen 16"	May															
ANACORTES	TO	Allen 16"																
None	None	Allen 16"																
RENTON	TO	Seattle 12"																
None	None	Seattle 12"																
RENTON	TO	SEA-TAC 12"																
None	None	SEA-TAC 12"																
None	None	SEA-TAC 12"																
ALLEN	TO	RENTON 20"																
987+15	.70" Ttl, .49" Sharp	RENTON 20"	June															
1450+21	.59" Total Sharp**		June															
1724+53	.63" Ttl, .44" Sharp**		June															
3076+53	.70" Total Sharp		June															
ALLEN	TO	RENTON 16"																
763+46.5	1.12" Total Sharp	RENTON 16"	4/2	No	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes
1783+64	1.02" Total Sharp	.625" Sharp	4/7	No	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes
3549+50	.94" Ttl, .67" Sharp	Less than .50" Flat	4/3	No	No	No	No	No	No	No	No	No	No	No	No	No	No	No
3595+37	1.06" Ttl, .77" Sharp	Greater than .50" Sharp	4/7	No	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes
1724+64	.59" Total Sharp	.75" Sharp	4/11	No	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes
2141+66	.43" Total Sharp**		May															
2268+93	.63" Ttl, .50" Sharp	.375" Sharp	5/13	No	No	No	No	No	No	No	No	No	No	No	No	No	No	No
2278+98	.70" Ttl, .57" Sharp	.375" Sharp	5/12	No	close to weld, cut out	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes
2283+48	.54" Ttl, .37" Sharp	.56" Sharp	5/6	No	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes
2319+41	.80" Total Sharp	.50" Sharp	5/14	No	No	No	No	No	No	No	No	No	No	No	No	No	No	No
2319+92	.74" Total Sharp	.375" Sharp	5/15	No	No	No	No	No	No	No	No	No	No	No	No	No	No	No
2340+35	.50" Ttl, .39" Sharp	.375" Sharp	5/1	No	No	No	No	No	No	No	No	No	No	No	No	No	No	No
2383+31	.78" Total Sharp	.3498" Sharp	5/18	No	No	No	No	No	No	No	No	No	No	No	No	No	No	No
2416+49	.76" Total Sharp	.500" Sharp	5/20	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes
2451+94	.84" Total Sharp	.5625" Sharp	5/21	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes	Yes
2587+82	.48" Total Sharp	.25" Sharp	4/28	No	No	No	No	No	No	No	No	No	No	No	No	No	No	No

Alpen Pipeline Segment ID	Defect Description	Location	Severity	Date of Discovery	Repair Status	Estimated Cost	Priority	Completion Date
3073+29	.84" Total Flat	In Gate Valve	.500" Sharp	6/30	No	No	No	5/29
3084+00	.60" Total Sharp**			5/28	Yes	Yes	No	
3111+07	.80" Total Sharp			6/4				
3839+30	.68" TI, .37" Sharp**			June				
3992+23	.58" TI, .33" Flat**			June				
1956+51	1.06" TI, .65 Sharp			July				
2045+27	1.80" TI, 1.26" Sharp			July Bore Replacement				
2045+56	1.40" TI, .96" Sharp			July Bore Replacement				
2046+81	.94" TI, .35" Sharp			July Bore Replacement				

Definitions

Total - Is a measurement made from the baseline of the record to the peak.
 Sharp - Anomaly as a reduction in pipe diameter, occurring within a span of 2 feet or less.
 Flat - Anomaly as a reduction in pipe diameter having a span exceeding 2 feet but, not greater than 5 feet.
 ** - May investigate if risk is justified by engineering opinion.

SUMMARY OF 1997 CALIPER PIG INSPECTION AND FIELD INVESTIGATION

Pipeline Segment Stationing	Defect/Discrepancy	Finding	Scheduled or actual investigation 1997	Repair / Replacement Required	Reinforcement Recommended (Full Encirclement Sleeve)	Recast and Retrenching Recommended	Completion Date 1997
FERDALE	TO	ALLEN 16"					
16" 843+69	.45" Total Sharp**		No inspection				
ANACORTES	TO	ALLEN 16"					
None	None						
RENTON	TO	SEATTLE 12"					
None	None						
RENTON	TO	SEA-TAC 12"					
None	None						
ALLEN	TO	RENTON 20"					
987+15	.70" Ttl, .49" Sharp	.312" Sharp	6/17	No	No	Yes	6/18
1450+21	.59" Total Sharp**	Wet Area	No inspection				
1724+53	.63" Ttl, .44" Sharp**	Buckle / Dent	6/23	Yes	Cut out	Yes	6/25 / 9/13
3076+53	.70" Ovality**	In 45 deg. Fitting	No inspection				
ALLEN	TO	RENTON 16"					
783+45.5	1.12" Total Sharp	.75" Sharp	4/2	No	Yes	Yes	4/4
1783+64	1.02" Total Sharp	.625" Sharp	4/7	No	Yes	Yes	4/9
3549+50	.94" Ttl, .67" Sharp	Less than .50" Flat	4/3	No	No	Yes	4/5
3595+37	1.06" Ttl, .77" Sharp	Greater than .50" Sharp	4/7	No	Yes	Yes	4/16
1724+64	.59" Total Sharp	.75" Sharp	4/11	No	Yes	Yes	4/17
2141+66	.43" Total Sharp**	In .500" WT pipe	No inspection				
2268+93	.63" Ttl, .50" Sharp	.375" Sharp	5/13	No	No	Yes	5/14
2278+98	.70" Ttl, .57" Sharp	.375" Sharp ***	5/12	No	Cut out***	Yes***	5/12 / 10/8
2283+48	.54" Ttl, .37" Sharp	.56" Sharp	5/5	No	Yes	Yes	5/9
2319+41	.80" Total Sharp	.50" Sharp	5/14	No	No	Yes	5/15
2319+92	.74" Total Sharp	.375" Sharp	5/15	No	No	Yes	5/16
2340+35	.50" Ttl, .39" Sharp	.375" Sharp	5/1	No	No	Yes	5/2
2383+31	.78" Total Sharp	.344" Sharp	5/16	No	No	Yes	5/19
2416+49	.76" Total Sharp	.50" Sharp ****	5/20	Yes	Yes	Yes	5/22
2451+94	.84" Total Sharp	.562" Sharp ****	5/21	Yes	Yes	Yes	5/22
2587+82	.48" Total Sharp	.25" Sharp	4/28	No	No	Yes	4/29
3073+29	.84" Total Flat	In Gate Valve	5/30	No	No	No	5/30
3084+00	.50" Total Sharp**	.50" Sharp	5/28	Yes	Yes	Yes	5/29

Klassen Exhibit C

SUMMARY OF 1997 CALIPER PIG INSPECTION AND FIELD INVESTIGATION

Pipeline Segment Stationing	Defect/Discrepancy	Finding	Scheduled or actual investigation 1997	Repair or Replacement Required	Reinforcement Recommended (Full Encirclement Stays)	Recast and Retrenching Recommended	Completion Date 1997
3111+07	.80" Total Sharp	.625" Sharp	6/11	No	Yes	Yes	6/12
3839+30	.68" TII, .37" Sharp**		No Inspection				
3992+23	.59" TII, .33" Flat**		No Inspection				
1958+51	1.06" TII, .65" Sharp	Fitting out of round	11/3	No	No	Yes	11/4
2045+27	1.80" TII, 1.26" Sharp	Too deep next to levee	Bore Replacement	Yes	No, new crossing	New Crossing	11/6
2045+56	1.40" TII, .96" Sharp	.95" Sharp in pipe 4" from bend	Bore Replacement	Yes	No, new crossing	New Crossing	11/6
2046+61	.94" TII, .35" Sharp	Under slough	Bore Replacement	No	No, new crossing	New Crossing	11/6

Definitions:

Total

Sharp

Flat

**

...

....

Is a measurement made from the baseline of the record to the peak.

Anomaly as a reduction in pipe diameter, occurring within a span of 2 feet or less.

Anomaly as a reduction in pipe diameter having a span exceeding 2 feet but, not greater than 5 feet.

May investigate if risk is justified by engineering opinion.

Also found localized corrosion near weld, while not technically requiring repair, this segment will be cut out and replaced during the installation of the new bored crossing of Ebay Slough.

Small bored crossing found in pipe wall in the dent, requiring repair.

LINALOG DIG INFORMATION DIRECTIONS TO DIG SITE


Drawing # FE-1 Pipeline Segment FE-AL 16"

M.P. 16.0 Joint Length 23' Defect % 23

Detail: Defect Length 0.4'
(1'-6" from weld)
Also Passcode MAS11

Line Sheet S - 100 - 1

Position 1 O'clock



Encluro 1/97
FROM ~~XXXXXXXXXX~~ RUN ~~XXXXXX~~

2 Weld.
1 a part

CONFIDENTIAL
DO NOT COPY

000082

BILL L. EVANS
Chief Operator
Water Treatment Plant
(206) 876-6582



City of
Bellingham
2221 Pacific St.
Bellingham, WA 98228

SR01
ALBOT SILVER BEACH
WATER PLANT

MP 16

ONE CALL

Water lines on
TOP OF OPL

PUT IN ONE CALL
BE FOR STARTING

Back Hoe

EXTEND a Hoe

(PIPE DEPTH)

(ENCLURO SAYS
30-80L)

(ENCLURO SAYS
22-80L)

491
Did not inspect this
location.

Tabulate possible mill/mach 2376 (min)

Endure 45 sharp (less than repairable)

RIK.

(Difficultures to access)
K:\Smartpig\DIG2

AFE 9

Cherry Point, Ferndale, Anacortes, Allen to Renton 16.00" O.D., .312" W.T.		Inches		Inches		Length		
Nominal O.D.	Nominal W.T.	Metal % Loss	Defect Length	Mil. Loss	D. Length	B =	Maximum L =	Metal % Loss
16.000	0.312	11.20	10.10	0.0349	10.10	4.0000	10.0096	11.20
		20.00	6.60	0.0624	6.60	2.6764	6.6975	20.00
		30.00	3.30	0.0936	3.30	1.3333	3.3365	30.00
		40.00	2.30	0.1248	2.30	0.9500	2.3773	40.00
		50.00	1.80	0.1560	1.80	0.7500	1.8768	50.00
		60.00	1.50	0.1872	1.50	0.6197	1.5508	60.00

ASME B31.4 - 1992 Edition 451.6.2 Disposition of Defects, pages 59-60	
Calculations to find the maximum length of a defect for various metal loss.	
$B = \sqrt{((c/Tn)/(1.1 \cdot c/Tn - 0.15))^2 - 1}$ if $c/Tn > 4$, then 4, if $c/Tn < 4$, then calc.	
D = O.D.	
c = Amount of wall thickness loss in inches	
Tn = Nominal wall thickness	
$L = 1.12 \cdot B \cdot (\text{Sqrt}(D \cdot Tn))$	
L = Maximum Length	

ASME B31.4 - 1992 Edition	
451.7 Derating a Pipeline to a lower Operating Pressure, page 62	
Pressure Rating of the defect area	
$Pd = 1.1 \cdot PI \cdot ((1 - 0.67 \cdot (c/Tn)) / (1 - ((0.67 \cdot c) / (Tn \cdot (((0.893 \cdot L) / (D \cdot Tn)^5)^2 + 1)^{0.5}))))$	
Example 54% metal loss, 1.7" length	
$= 1.1 \cdot 1440 \cdot ((1 - 0.67 \cdot (0.1685 / 0.312)) / (1 - ((0.67 \cdot 0.1685) / (0.312 \cdot (((0.893 \cdot 1.7) / (16.0 \cdot 0.312)^5)^2 + 1)^{0.5}))))$	
1439.173 [Check to verify the maximum defect example]	

Pd = Derated internal design gage pressure, psi	
PI = Original internal design gage pressure, psi	
c = Amount of wall thickness loss in inches	
Tn = Nominal wall thickness	
L = 1.12 \cdot B \cdot (\text{Sqrt}(D \cdot Tn)) Longitudinal extent of the corroded area	
G = 0.893 \cdot L / (\text{Sqrt}(D \cdot Tn)) A value not to exceed 4.0, if > 4.0, then use the following equation for Pd.	
Pd = 1.1PI(1-c/Tn)	
D = O.D. of pipe	
Dsgn Psi	1440
PI	1440
Inches Dfct Dpth	0.0349
Inches W.T.	0.312
Inches Tn	0.312
Inches Length	10.10
Inches O.D.	16.000
G	4.0368
PSI Pres Rig	1492.06
PSI Pd # G > 4	1406.59
Dsgn Psi	1440.15
PI	1440.55
Inches Dfct Dpth	0.0624
Inches W.T.	0.312
Inches Tn	0.312
Inches Length	6.60
Inches O.D.	16.000
G	2.6379
PSI Pres Rig	1440.15
PSI Pd # G > 4	1287.20
Dsgn Psi	1440.55
PI	1440.55
Inches Dfct Dpth	0.0936
Inches W.T.	0.312
Inches Tn	0.312
Inches Length	3.30
Inches O.D.	16.000
G	1.3189
PSI Pres Rig	1440.55
PSI Pd # G > 4	1108.80
Dsgn Psi	1440.55
PI	1440.55
Inches Dfct Dpth	0.1248
Inches W.T.	0.312
Inches Tn	0.312
Inches Length	2.30
Inches O.D.	16.000
G	0.9193
PSI Pres Rig	1444.49
PSI Pd # G > 4	950.40
Dsgn Psi	1446.80
PI	1446.80
Inches Dfct Dpth	0.1560
Inches W.T.	0.312
Inches Tn	0.312
Inches Length	1.80
Inches O.D.	16.000
G	0.7194
PSI Pres Rig	1446.80
PSI Pd # G > 4	792.00
Dsgn Psi	1446.80
PI	1446.80
Inches Dfct Dpth	0.1872
Inches W.T.	0.312
Inches Tn	0.312
Inches Length	1.50
Inches O.D.	16.000
G	0.5995
PSI Pres Rig	1445.68
PSI Pd # G > 4	633.60
Dsgn Psi	1445.68
PI	1445.68

0001154

Klassen Exhibit E

~~CONFIDENTIAL~~ ACB
DO NOT COPY

OLYMPIC PIPE LINE COMPANY

SPILL PREVENTION PLAN

STATE OF WASHINGTON AND STATE OF OREGON

OLYMPIC PIPE LINE COMPANY
2319 LIND AVE. S.W.
P.O. BOX 1800
RENTON, WA 98057
TELEPHONE - (206) 235-7736
24 HOUR EMERGENCY NO. (COLLECT) - (206) 226-8880

RECEIVED

DEC 31 1992

Department of Ecology

Klasen Exhibit G

8.3.1 Addition Inspections

Olympic Pipe Line Company has a program of internally inspecting all mainline or lateral lines on a 5 year rotating basis. This "smart pigging" program uses a magnetic flux leak detection tool to detect and record variances in wall thicknesses as it travels the length of the pipeline. The inspection also measures and locates the length of each joint of pipe, each weld, valves, fittings and different wall thicknesses. The variances in the wall thicknesses are graded on a system based on the percentage of metal lost from the original wall thickness. The inspection system is sensitive enough to locate other types of non-corrosion related defects such as mashes, taps, test leads, supports, mill/mechanical anomaly, patches, half soles, debris, and anchors.

The inspection tool measures the distance from the origin launch location in feet and in time, seconds, from launch. The tracking of the inspection tool is done by placing above ground markers along the pipeline route. This provides meaningful markers on the reference survey that are identified to later refer to if excavation is necessary. The current status of Olympic's inspection program is shown below:

PIPELINE SEGMENT	YEAR OF LAST INSPECTION	YEAR OF NEXT INSPECTION
Ferndale Station to Allen Station 16" Allen Station to Renton Station 16" Allen Station to Renton Station 20"	1991	1996
Cherry Point Station to Ferndale Station 16" Anacortes Station to Allen Station 16" Renton Station to Seattle Delivery Facility 12" Renton Station to Sea-Tac Terminal 12" Tacoma Junction to Tacoma Delivery Facility 8" Vancouver Junction to Vancouver Delivery Facility 12" Renton Station to Portland Delivery Facility 14"	1992	1997
Olympia Junction to Olympia Delivery Facility 6"		1993

Olympic Pipe Line will excavate and visually inspect all anomalies that are deeper than 20% of the original wall thickness. If visual inspection does not reveal a defect, then ultrasonic measurement of the pipe wall thickness is performed to determine if the anomaly is internal. If the inspections of the pipeline determine that corrective action is necessary (as defined ANSI B31.4.) the pipeline shall be repaired or replaced.

STOEL RIVES LLP

A T T O R N E Y S

ONE UNION SQUARE
600 UNIVERSITY STREET, SUITE 3600
SEATTLE, WASHINGTON 98101-3197
Phone (206) 624-0900 Fax (206) 386-7500
TDD (206) 628-6202
Internet: www.stoel.com

July 6, 2001

J. RONALD SIM
Direct Dial
(206) 386-7592
email jrsim@stoel.com

Alan C. Beshore
Investigator-in-Charge
National Transportation Safety Board
Washington, D.C. 20594

Re: Deposition Transcript for Richard J. Klasen

Dear Alan:

Richard has finished his corrections. Many are minor and noted in the transcript, but three are a little more perplexing. At page 96, Richard is sure he did not say "ASP evaluation", but is not positive what he did say. He thinks it may be "NACE." On page 99, line 17, he did not say "And then go inform the pig."

Thank you for your cooperation in finalizing Richard's part in this investigation.

Very truly yours,



J. Ronald Sim

JRS:jal
Enclosure

cc: Richard J. Klasen (w/o enclosure)