

UNITED STATES OF AMERICA

NATIONAL TRANSPORTATION SAFETY BOARD

* * * * *

Investigation of:

*
*

CSX TRAIN DERAILMENT IN HYNDMAN,
PENNSYLVANIA, AUGUST 2, 2017

* Accident No.: DCA17FR011
*
*

* * * * *

Interview of: JOSEPH TAYLOR

NTSB Headquarters
Washington, D.C.

Thursday,
September 7, 2017

APPEARANCES:

PAUL STANCIL, Senior Hazardous Materials
Accident Investigator
National Transportation Safety Board

RANDY KELTZ, JR., Manager, Tank Car Safety Program
Federal Railroad Administration

STEVE AMMONS, System Road Foreman
CSX Transportation

<u>ITEM</u>	<u>I N D E X</u>	<u>PAGE</u>
Interview of Joseph Taylor:		
By Mr. Stancil		5
By Mr. Keltz		37
By Mr. Stancil		38

I N T E R V I E W

(10:08 a.m.)

1
2
3 MR. STANCIL: Today is September 7, 2017. It's 10:08 a.m.
4 We're at NTSB Headquarters in the Office of Railroad Pipeline and
5 Hazardous Materials Investigation. My name is Paul Stancil. I'm
6 a senior hazardous materials accident investigator for the NTSB,
7 and we are discussing the investigation of the CSX Transportation
8 train derailment in Hyndman, H-y-n-d-m-a-n, Pennsylvania, that
9 occurred on August 2, 2017. The accident number is DCA17FR011¹.

10 Present in the room we have Mr. -- well, the interview is of
11 Mr. Joe Taylor, who was the operations section chief for CSX
12 Transportation on the response to this incident.

13 So we'll go around the room and introduce ourselves.

14 MR. TAYLOR: Joseph Taylor, manager of hazardous materials
15 for CSX Transportation. I'm based out of Pittsburgh,
16 Pennsylvania.

17 MR. AMMONS: Steve Ammons, A-m-m-o-n-s, system road foreman
18 of engines, CSX Transportation.

19 MR. KELTZ: Randy Keltz, Jr., Federal Railroad
20 Administration, Manager of Tank Car Safety Program.

21 MR. STANCIL: Okay. And as I explained to you, Mr. Taylor,
22 this is a safety investigation that the NTSB is conducting. The
23 purpose of the investigation is to increase safety and not to
24 assign any fault, blame or liability. Our sole mission is to

¹ Corrected Accident Number

1 improve transportation safety and prevent accidents.

2 The NTSB cannot guarantee any confidentiality or immunity
3 from any legal or certificate actions by other agencies, whether
4 local, state or federal.

5 A transcript of the interview will eventually be placed in a
6 public docket for this investigation, which will be available via
7 the NTSB website. Okay?

8 MR. TAYLOR: Yes, sir.

9 INTERVIEW OF JOSEPH TAYLOR

10 BY MR. STANCIL:

11 Q. So to start off with, if you could tell us a little bit about
12 your background, your current position, and your history with CSX.

13 A. Yes, sir. I am the manager of hazardous materials, based out
14 of Pittsburgh, Pennsylvania. I've been with CSX now since July of
15 2015, employed in the same position. Prior to that, I was
16 employed as a, initially, a hazardous materials compliance
17 officer, and then when I ended my employment with Norfolk Southern
18 Railroad, as a regional hazardous materials manager in the same
19 position, so --

20 Prior to that, I spent time in both the fire service,
21 volunteer and career fire service, and I have a military
22 background as well.

23 Q. Wow. Okay. All right. And so you were the first person on
24 scene from CSX?

25 A. Outside of the train crew, yes.

1 Q. Outside of the train crew?

2 A. I believe so, yes, sir.

3 Q. Okay. So if you could walk us through the incident, you
4 know, from about the time you were notified until the scene was
5 stabilized. Tell us -- walk through the activities and your
6 observations over those first couple of days.

7 A. I think probably the most important part to start off with is
8 that I was not in Pittsburgh; I was not at my home. I was in
9 LaVale, Maryland. I had business the next morning in Cumberland,
10 Maryland at our yard, so I was staying at a hotel in LaVale.

11 And just after 5 a.m., I got a call from the Public Safety
12 Coordination Center. Gentleman by the name of Sean Reed called me
13 and said, as I recall, we have a train -- and he told me the name
14 of the town, and I was still waking up, and I said okay. And he
15 said that I'm getting a report that there was an explosion and
16 that there are multiple fires.

17 And I kind of did this -- looked over at the clock to see did
18 I sleep in and did I miss a drill sort of thing. But I confirmed
19 with him the train ID. I confirmed with him the town, and I said,
20 do we have any idea what's on fire? Do we have any other
21 information? He said, no, other than the information that he had
22 been -- they were receiving multiple calls into the PSCC. That's
23 the information I got.

24 So I immediately hung up. Without putting the phone down, I
25 immediately called Mike Austin, my boss, and told him, relayed to

1 him exactly what I was told, and said, I'm getting report from the
2 PSCC that this train has derailed, that there's been a explosion,
3 multiple fires. I tried to repeat exactly what I heard. And that
4 I was going to be on the way in a few minutes, and I told him --
5 initially I didn't know what my ETA was going to be because the
6 town that I thought he said -- there's a town in West Virginia
7 that has a similar name, and I thought that's where I'd be going.
8 So I thought, all right, I've got a few hours to kind of get
9 myself together while I'm on the road, start coming up with a game
10 plan.

11 And then when I got in the truck, I tried to call -- I called
12 the PSCC back, the operator that I spoke with, and I said, do you
13 have a consist? I need a consist. I need a standing order. I
14 need for you to give me anything and everything I can get, and I
15 said, I need you to spell that town for me again. He told me, and
16 he said Hyndman, Pennsylvania. And I put it in the GPS and it
17 said, you know, ETA whatever. I don't remember the actual, but it
18 wasn't very long. And I thought, well, that's not where I thought
19 I was going. I was going -- very close.

20 So, again, I called Mike Austin to update him. I said, I
21 don't have a standing order or consist, that the operator was
22 going to be getting that for me; I'm going to be calling him. And
23 that I initially feared where I was going I was not going to have
24 cell phone reception. So I immediately called -- at that point,
25 as I got into the truck, I got a hold of one of our primary

1 response contractors -- Specialized Professional Services,
2 Incorporated, out of Washington, Pennsylvania -- and explained to
3 him that I did not have a lot of information and I wasn't sure how
4 much was accurate and was not, but to go ahead and load and
5 prepare for the worst, and get everybody on the road and moving
6 towards Hyndman, Pennsylvania. And that was the last time I spoke
7 with the contractor because at that point I was on the road.

8 I was maybe a mile away from the hotel and I got back on the
9 phone with -- I don't remember if he called me or if I was able to
10 call the PSCC, but I asked the operator, I said, do you have a
11 standing order or anything else yet? And he said, I got a
12 standing order. I said, fine; start reading me the standing
13 order. Because at that point I was driving, I wasn't going to
14 stop over and read a consist or a standing order.

15 So I had him begin to read to me the hazardous materials that
16 were in that train. I immediately asked were there any TIH/PIH,
17 and he said there did not appear to be. He said a lot of
18 flammable gas, a lot of flammable liquid, lot of molten sulfur.
19 The flammable liquids were alcohols, NOS, ethanols, those types of
20 materials. And he said, you do have one car of sodium chlorate in
21 the train. I said, okay. About that time my reception started to
22 really get bad so I think actually we may have been disconnected
23 in the middle of that conversation.

24 Kept coming down the road, and I'm looking for the glow. I'm
25 looking for anything precursor to tell me what it is I'm walking

1 into here or driving into. I found a decent spot for reception on
2 the hill, and I slowed down to a crawl so I could make one last
3 phone call to Mike. I said, Mike, I'm going down into this. I
4 don't think I'm going to have any good reception, and as soon as I
5 can, I will call you and let you know what we have. And that was
6 when Mike told me what he thought his ETA was, and I proceeded
7 down the hill.

8 When I came down the hill, I could look over, I saw there was
9 an orange glow. I could see some smoke. It was a fairly clear
10 night. But I didn't see any active flame, I could just see the
11 glow. I turned down -- you have to forgive me -- the main road
12 there that runs through town. Drove down to the end of town.
13 Obviously, saw the activity. And pulled off on a side street.
14 Got out. Looked around to see if I could see was there anybody
15 establishing a command post, was there anything that I could --
16 you know, someone that I could point to maybe that was in charge
17 that I could start walking towards. And there wasn't really
18 anything evident, mostly because they were still -- the local fire
19 department was still putting hose on the ground. They were
20 establishing water supply. They were -- I mean, vehicles were
21 still arriving. So it was still pretty chaotic when I got there.

22 Actual time for this -- I know that we sat down and we put
23 some times of this. That document is on a hard drive that I'll
24 make available to you, sir. I -- my apologizes. Personal note,
25 I'm coming off of a death in the family last night. So that's why

1 I didn't get a chance to download that and provide it to you
2 today. So my apologies. But I'll make sure that you have that.

3 So got to the end of the road. Immediately opened my truck.
4 Donned all of my personal protective equipment, which was
5 structural firefighting gear, SCBA, and started a walk towards the
6 bridge. At that point, it was very chaotic. There were a lot of
7 people running back and forth. It didn't appear to be -- there
8 was obviously some order because there was a lot of folks talking
9 on the radio. And I was asking several people, can you tell me
10 where the incident command post is? Can you tell me who the
11 incident commander is? I kept asking everybody that I came into
12 contact with that. And I got a lot of the "Down there," "This
13 way," "Over here." I got different names.

14 When I got to the bridge -- well, first of all, you could
15 hear the car. You could hear what was going on when I parked.
16 But when I got to the bridge, the sound that I heard -- does
17 anybody have any fire service background? Okay. So a large
18 diameter hose line, when water is hitting the side of a building
19 that noise is what I thought I heard. And I thought, well, based
20 on the amount of hose that they've got on the ground, my goodness,
21 they must be putting water on something. That's what I thought,
22 with the noise that I heard coming from the derailment site. I
23 could at that point see a flame above the houses, but I did not
24 know -- I theorized that maybe the water was hitting maybe a tank
25 car, maybe the side of a building that they were trying to protect

1 from catching on fire. I didn't know that.

2 So I walked over to the other end of the bridge, and then I
3 recognized that the local fire department was in full-scale mode
4 of trying to get everybody out of that block. They were going
5 from house-to-house trying to get people out of homes. And, I
6 mean, we've got folks in their nightclothes and their slippers
7 that are standing out in the middle of the street. Some trying to
8 get out of the way; some trying to get a better position for
9 pictures. So what I did was kept asking for the incident
10 commander. At the same time helping people, you need to go this
11 way, just trying to help with the evacuation effort.

12 I did that kind of a one round for that, and I never really
13 got a good look at where the noise was coming from. All I saw was
14 that there was a large volume of fire. But when I did get on the
15 other side of the bridge, I recognized that there was no water
16 being put on the fire. So at that point I knew, well, that noise
17 is obviously coming solely from a tank car, not -- or from
18 something else down in the derailment site, you know, underground
19 utility or something.

20 So I backed out to the bridge, and I finally found a deputy
21 chief, who he asked me specifically, he said, what's inside this
22 train? And I gave him the information that I had verbally. I
23 said that I've been told that there is all those products I
24 previously listed. I immediately asked, have we verified the
25 safety of the crew? Do we know is the crew safe? Have we

1 accounted for them? And if we have accountability for them, they
2 will have that paperwork, and we need to get that.

3 And he made a call on the radio, and then he said the crew is
4 okay, and the chief on the other side of the tracks has the
5 paperwork. I said, okay, the crew will go through that with him
6 and tell him exactly, you know, what's in the train, but I can't
7 tell you what's causing your problem until I go down there and
8 look. So at the first opportunity, I need to go and see exactly
9 what's potentially derailed, what's impacted, what's on fire,
10 what's not on fire, and then I can give you a really good idea of
11 perhaps what we're dealing with.

12 He said, no problem. I also gave him the number to the PSCC.
13 I said, if you call your dispatch center and have them call the
14 PSCC, and give them a fax number, give them an e-mail address,
15 give them anything that you can, they'll get you the -- another
16 copy of the paperwork.

17 So that went on, and I requested the assistance for two
18 personnel to kind of back me up, to walk with me back down towards
19 the derailment site and stay at a safe distance, so that I could
20 just get an idea of what we had.

21 So I went back down in. I had two firefighters with me. I
22 had them stay back at a safe distance so if something were to
23 happen, they could get their hands on me and come in pull me out.

24 And I walked down -- you have to forgive me. I just don't
25 know the road names. But when I came down -- may I stand up

1 and --

2 Q. Yeah, sure.

3 A. The road that's -- this would be the main road here, looks
4 like here. That's -- yeah, that's Red's house here. So this is
5 the main road. I went down this road here, and that's when I
6 recognized that we had two freight cars into houses. I
7 immediately stopped and asked had we accounted for everybody
8 inside those houses. They were unaware. So I went up to both of
9 those houses to see if there was anybody. I called out to anybody
10 to see if anybody was there. I got no response.

11 And then when I got between the two houses that were hit, I
12 was able to see this car here, CBTX71553, and I could tell that
13 there was a large volume of fire, flame and pressure coming out
14 from that car. But because of the large volume of fire, I
15 couldn't tell was it a protective housing, coming out of maybe the
16 pressure release, but I couldn't tell that. All I knew is that's
17 where it was coming from.

18 So I went back out, told the incident commander. I said, I
19 strongly recommend that we get everybody as far back as possible
20 from this site. And they were in the process of continuing to do
21 that. And I specifically asked them the question, can you verify
22 if the people in those houses are accounted for? At that time I
23 was told, yes, everybody is accounted for.

24 The base of the bridge -- so the east side of the bridge,
25 there was a home. This nice lady, elderly lady, who was sitting

1 on her front porch, and I politely asked her if she had a landline
2 phone, and she did. She gave me a cordless hand line phone or
3 landline phone, and I called Mike Austin. And I said, Mike, we
4 have a -- I know we have a pressure car that's -- I don't know if
5 it's the PRD, but we have a pressure car that is venting and it is
6 on fire, and we have a large volume of fire on the ground and I
7 don't know what that is. And I gave him that update. I told him
8 that I would call him back as soon as possible with additional
9 information. I think it was two or three houses back from the
10 bridge was the lady that I used that phone.

11 So I went back down for another entry. At this time I came
12 down this road to try and get to this vantage point here. And
13 when I got to the corner right before the hill starts to go up to
14 the crossing, I was able to look down this way here, and this is
15 where I saw the protective housing for that car. I could also
16 verify there were still numbers on the end of the car that I could
17 still see, and I verified that it was 71553. So I knew that that
18 was the car.

19 But what alarmed me was that I saw the protective housing
20 here in a 90-degree position and the pressurized flame was coming
21 from here. So that immediately set off the warnings to me. In
22 addition to that, all of this -- this is a little bit -- so all of
23 this in here was on fire. This was all -- and it had that, that
24 real pretty blue flame.

25 Q. So you're pointing to the area surrounding CBTX781553. The

1 dark soil in the vicinity around that car was all on fire?

2 A. All of this was. And it was not an aggressive flame. It was
3 a flame -- it was a ground cover fire, and I could tell at the
4 base of the fire was a very blue-colored flame, and I knew
5 immediately; I said that's got to be molten sulfur the way it's
6 burning like that.

7 So I figured we at least had a molten sulfur car ruptured,
8 and it spilled on the ground and was on fire. And that was also
9 aiding into -- this, at this point, I'm thinking the absolute
10 worse scenario: Do I have a ground cover fire that's adding to
11 the heat and increasing pressure on this pressure car? I didn't
12 know what kind of damage that we had here because the jacket was
13 still intact at that point. So I didn't know if I had a puncture,
14 a crack, a run-away crack. I didn't know what we had.

15 But we had the noise coming from that car was changing in
16 volume and intensity, and then it would go down a little bit, and
17 it would come back up, and the height of the flames. And then all
18 of that accompanied with that I saw on the ground was when I went
19 back to the incident commander and I recommended that, based on
20 those observations, that we evacuate at a minimum to, you know,
21 half a mile. And I said, what would be a half a mile from here?
22 What would be like a good bench point, benchmark? And he said,
23 well, we can go back to the firehouse. And I said, well, the
24 firehouse it is. This is your town. I said, I can't make this
25 call, but I strongly recommend it. This is a pressure car. We

1 can't really tell what's going on with the car until this thing
2 needs to calm down and do what it's doing. And that's when the
3 incident commander said, fine, we're all going back to the
4 firehouse, everybody pull out; 30-second statement, everybody's
5 going to pull out and go back to the firehouse. Of course, that
6 takes a while to get everybody actually together, get on their
7 fire trucks, start evacuating more people in the town and getting
8 everybody pushed back.

9 I made another phone call to Mike Austin, and I told him that
10 I didn't have very good news; that the car that was venting that
11 -- that the pressure car was venting was not coming from a PRD;
12 that the side wall had been impacted either by a puncture or a
13 crack or something, but that's where the fire was coming from.

14 And at that point I immediately turned my efforts to
15 assisting the locals with the evacuation of more citizens in the
16 town, getting them back to the firehouse. I believe the incident
17 commander made the decision to move evacuees to a charter school
18 initially. That was -- that's where he felt, you know, would be a
19 good rally point for them. And I went to the firehouse.

20 When I got to the firehouse, I asked to use the landline.
21 They said they didn't have a long distance plan. I asked if
22 anybody in town had a long distance plan. They said that the EMS
23 station did. So they -- a block away. I went over to the EMS
24 station, made another phone call to Mike to update him that we
25 have backed out even further because of what we're seeing, and

1 that I was going to continue to help with the evacuation.

2 By that time, there was local sheriffs, local police. There
3 were Pennsylvania State Police. There were multiple fire
4 departments. There was a very organized collective effort to get
5 everybody evacuated from down there, and they were working through
6 that. I had an opportunity to kind of catch my breath at the EMS
7 station. I don't think it was for very long.

8 A Maryland State Trooper helicopter had showed up on-site,
9 had already been up once with a CXS special agent to provide an
10 overview. And then at that time, I went up to see if I could get
11 a better view of what else was potentially involved, and I did
12 that over-flight, took some basic notes.

13 It was during that over-flight that I was able to determine
14 it was in fact molten sulfur that was on the ground, but I also
15 had a volume of what appeared to be asphalt. And I knew that that
16 made more sense in the consist where we thought what was derailed
17 between what car and what car, that made more sense to see molten
18 sulfur on the ground and what appeared to be asphalt and some of
19 the soy meal. What I was trying to rule out was did we have
20 ethanol involved; did we have, you know, some form of other high
21 vapor pressure alcohol that I was going to have to deal with. But
22 it did not appear to that, and that's what that over-flight for me
23 confirmed, was that it really did say this is the derailment
24 between this car and this car, at least roughly between this car
25 and this car.

1 And then came down off of that. Calls from Jacksonville
2 started to come in, but those were not for me. They were for like
3 our transportation, like our trainmaster and those other folks
4 were being summoned up to the charter school because they were
5 able to establish a landline. We have our -- our claims
6 department was on-site helping getting all that established, and
7 the beginnings of an outreach center and those types of things.

8 And then I drove up to the school at the time that I thought
9 Mike said he was going to -- his ETA to the school. So I drove up
10 there. About the same time Mike Austin pulled into the charter
11 school. I briefed the Pennsylvania State Police commander that
12 was there. I believe he's the barracks commander. I spoke with
13 him. He wanted to know things like, what's this product? What
14 can you tell me about this product? What's this car? How, you
15 know, how strong the car is. I gave him very generic basic
16 information knowing my observations.

17 And he started asking me like worst-case scenario, you know,
18 what happens if this car comes apart sort of thing. And wanted to
19 know about what would the material do and those types of things.
20 What could we expect? So I briefly went over, you know, it's a
21 flammable gas. It's got an expansion ratio. It will expand based
22 on that expansion ratio, and everything that it comes in contact
23 will most likely be on fire. That there's a possibility of the
24 car, if it does come apart, can come apart in two ways: either a
25 split tear or it can, you know, break apart. But I don't have any

1 of that fact-based information. I really tried to stick with what
2 I knew.

3 And by that time Austin was there and he started briefing
4 what the expectation was between at that point until like maybe
5 18-, 1900 when we knew we had so many more resources coming in.
6 But we started to get a plan together so that Mike Austin -- by
7 that time Joe Cocamo (ph.) had arrived on-site, another hazmat
8 manager, and myself and one of our contractors could go down to
9 the site and get as close as we thought we could safely get to get
10 better eyes on this thing. See maybe -- tell the type of damage,
11 specifically what other cars might be involved, those types of
12 things. We were so consumed with evacuation, the preliminary
13 information that I got, I just tried to keep it simple: It's a
14 pressure car. It's venting. I don't know what the damage is.
15 Here are the basic safety, you know, rules in approaching that.

16 So we got together with -- let's see, there was four. So
17 there was Mike Austin, myself, Joe Cocamo, and one of our
18 contractors. And then the fire department provided was like eight
19 guys in two fire trucks. And our plan was to go down, we're going
20 to stop at the bridge, and then we were going to walk over across
21 the bridge. The fire department is going to hang back, more of a
22 backup team for us, and we were going to go in, we're going to
23 look: what do we have; you know, what's changed; specific cars,
24 and those types of things.

25 Well, when we did that, we got to the bridge, and we stepped

1 out of the fire truck and started to walk to the height of the
2 bridge, there was a significant change in volume, the type of
3 sound and intensity of that flame. So you could see the tip of
4 the flame when you first got off -- when you first got out of the
5 fire truck. But when we got to the height of the bridge,
6 something changed, and it was louder and the flame was clearly
7 above all the houses now, and that signified to us that something
8 was imminent, something was -- there was a potential for something
9 imminent happening. Was this car getting ready to come apart? We
10 didn't know.

11 So at that point, based on --

12 Q. How far into incident was this? What time of the day?

13 A. I'd have to check the timeline, sir, but I believe it was by
14 noon or 1 o'clock.

15 Q. Okay. I'm sorry. Continue.

16 A. No. I have to check my timeline.

17 Q. Trying to get a feel for --

18 A. But by noon or 1 o'clock this is -- we heard a significant
19 change, and that was when Mike was in control of the entry. So it
20 was at that point we said, we can't stay here. If this car is
21 going to do whatever it's going to do, we've got to back up and
22 get at a safer distance. So we backed up. We went down a couple
23 side streets thinking maybe we could get a view that we hadn't
24 seen yet with binoculars, and we just -- we couldn't get a view of
25 it. And the entire time that we were in that entry, that sound

1 got louder. The flame got higher or taller across the houses, and
2 that was when we regrouped, went back to the school, the initial
3 school, the charter school that we were staged at.

4 And we had a brief conversation about what ifs; what do you
5 think? And I've not been standing 100 feet from a propane car
6 when it came apart. I've never -- I've not seen that before. But
7 I have been around propane cars when they're venting. And they're
8 venting, they're doing exactly what they need to do, but that's
9 out of the pressure release device. This was a whole 'nother
10 game. I have not seen one where a car had been punctured in the
11 side and was venting like this. And I said, well, everything that
12 the rules -- I say rules -- everything that practice tells you,
13 that when you hear a change in intensity, you see an intensity in
14 the flame, you know that something is changing inside the car and
15 I'm not going to be the guy to guess, you know, oh, it's okay,
16 it'll be just fine. I wasn't going to do that.

17 So that's when -- my recommendation was, I said I think we
18 need to firm up our evacuation area. This is what I recommended
19 to Mike. And really I think we need to let this car do what it's
20 going to do. And it's not worth one of us trying to get up there
21 to get a pressure on the car or even try and tear the jacket at
22 that point. There was just -- we knew by nature of the car it was
23 a loaded car of propane. So we knew, you know, the range of
24 pressures that the -- that that product operates at without being
25 damaged and without being, you know, being exposed to a three-

1 dimensional fire or anything like that.

2 So Mike went into the charter school. I was not a part of
3 that conversation. That was at the unified command at that point,
4 so state police and local fire, and it was everybody inside there.
5 And when Mike came out, that was when the decision was made that
6 we were going to evacuate to 1 mile, which meant we were going to
7 evacuate the charter school included, and that we were relocating
8 the incident command post to the Ministry Center, which was
9 several miles out of town.

10 And at that point, myself, the other hazmat manager,
11 Joe Cocamo, we focused on assisting local police, state police.
12 At this point there were two agents from the Federal Bureau of
13 Investigations, Pittsburgh Office, that were on-site. They were
14 helping us with evacuations going door-to-door and just getting
15 everybody out as much as we can. Provided rides when needed.
16 Encouraging them to get in their car and go to the Outreach
17 Center. And that was more of the chaos for the first probably
18 8 to 10 hours for me. It felt like it took forever.

19 Once the decision was made to get everybody back to the
20 Ministry Center, it -- I won't say it took forever to get
21 everybody out there, just some people didn't want to leave, so you
22 had to do your best to encourage them. Some people wanted to stay
23 and, you know, we respected that. But we were doing our best to
24 inform them, trying to keep a list of who was staying, and then
25 identifying any other needs in trying to get people out. That was

1 really the focus. All the while at that point, you know, we would
2 hear the sound that pressure sound coming from the car. We would
3 hear it change in intensity. Some of that was based on where we
4 were standing. Some views you had houses in front of you so that
5 would change the noise. But it would -- the flame stayed
6 relatively about the same height, and the sound stayed about the
7 same height. So -- and I would say it stayed like that till -- I
8 mean, the entire time that we were doing evacuations it stayed
9 with that kind of intensity. So --

10 Q. All right. So that carries you through that first day pretty
11 much?

12 A. Certainly through the first operational period. At that
13 point there was a lot of, you can imagine, there was a lot of set-
14 up at the --

15 Q. Right.

16 A. -- the unified command. At that point I was trying to get
17 control over exactly how many -- what kind of resources we had
18 coming in with contractors, and staying in communication with the
19 fire chief to ensure that he knew exactly what we were doing and
20 what we needed.

21 Q. Okay.

22 A. And that involved I can't tell you how many trips down into
23 the city and then back, either going to the fire station or coming
24 out or going down to do another sweep. Because I'm told -- I
25 think at one point we were told, man, there's a teenager out here

1 raking leaves in her front yard, you know, that -- and the
2 evacuation had already been there for several hours and that
3 family didn't know. So it was let's go back down there, do
4 another sweep. So we just did everything we could to try and keep
5 people as far back as possible. So --

6 Q. Good. All right. So as time went on, you were able to
7 further size up the scene and maybe take a look at the condition
8 of this propane car. What did you later find out about the car as
9 you went back and --

10 A. Well, I mean, hindsight is always 20/20. I mean, I later
11 found out, you know, we -- this was days later once the pressure
12 in the car went down, several more entries later with all of us on
13 the hazmat team, went in. We were able to get a pressure on the
14 car several days later. I think 2 days into the incident, I think
15 we had a pressure of the car was around 28 pounds, 26, 28 pounds.
16 So we knew the pressure was coming down in the car.

17 We didn't see a frost line because the jacket was still
18 intact. So we knew one of the things we wanted to do was try and
19 get the jacket peeled back as best we could. We were able to get
20 the jacket peeled back, and we were able to determine that there
21 was a puncture in the side wall of the car. It was pretty
22 evident. I couldn't see the actual size of the puncture. When I
23 got pretty close to the car I could tell it was -- you know, it's
24 about that big. Most important to me is that it was a puncture,
25 that it wasn't a crack, that it wasn't a twist, you know, a

1 torsion or something like that on the metal.

2 One of those entries when I went up to inspect to see if I
3 could see as close as I could on that, I noticed that there was a
4 sizeable what appeared to be a bubble in the metal adjacent to the
5 puncture. I have no idea when that started. But I know the first
6 time I noticed it was when we had the jacket all finally peeled
7 back, and I was able to get up -- the car was still on fire. I
8 was able to get up and take a look at the size of that hole.

9 Q. That's the first time you noticed the bulge in the tank
10 shell?

11 A. Yes, sir.

12 Q. Did any -- was there any discussion about that as to what
13 hazard that might have played into the incident?

14 A. By the time we noticed it, I mean, there was almost no
15 pressure or product in the car.

16 Q. Okay.

17 A. We were in the process of gas-freeing the car. At that point
18 we felt confident we had control of the car and control of the
19 product. So, sure, there's a lot of -- you know, you hear of
20 sudden heat-induced tears and, you know, and --

21 Q. Right.

22 A. -- general service tank cars, thinning of metal, you know,
23 based on its compromise and the damage that it received. And,
24 sure, you do a lot of the, wow, I wonder how thin it got sort of
25 thing. You could see the bubble, but how thin did it really get?

1 So I know we later found that out. You published that in your
2 preliminary findings. So, sure, there was discussion about that.
3 But you don't really "what if" -- for me, I don't really "what if"
4 it until it's done and over and I'm driving home. But we -- when
5 we noticed it, we were, wow, that was something that it was very
6 difficult to see it with the jacket still on.

7 Q. Right.

8 A. And once we got the jacket off and we could walk up to it, by
9 that time we had control of the car. We wouldn't have done that
10 unless we had control of the car anyway. That was when we
11 recognized it. So --

12 Q. So toward the end, I see there was a flare stack put up.
13 Could you kind of describe what that process is all about? What
14 prompted that action?

15 A. So when we pulled the jacket, we pulled the jacket on the end
16 that was damaged because we wanted to clearly identify the amount
17 of damage, and we also -- the car was not level. The car was on a
18 slope. And so we pulled the jacket back from the downward end.
19 We wanted to see the frost line. We wanted to see how much
20 potential liquid was inside the car. That was going to determine
21 did we need to come in and flare the car? Did we need to come in
22 -- is this thing going to kind of burn itself out? What kind of
23 timing?

24 At that point, pressures were down to like 8 pounds, 8, 10
25 pounds. And we saw a frost line on the bottom of the car that

1 indicated that there were still some -- quite a bit of liquid
2 inside the car. So at that point, what we decided to do was roll
3 the car. And by rolling the car, it would put all the liquid
4 theoretically and, you know, the induction line, the liquid
5 induction line down into the liquid space to allow us better
6 management of the liquid. It would ensure that the vapor line was
7 clearly in the vapor space, and again we can manage the vapor.

8 So what we did was dig a pit. We took an excavator, and we
9 dug a pit right in here. I'm pointing to CBTX71553, just adjacent
10 to that. And that pit, I don't know the size of it, but I could
11 probably stand up in it. Right here in this. So as we rolled the
12 car, if liquid were to want to come out of that puncture, it would
13 immediately come out into the pit while it was on fire as opposed
14 to running -- not that it was going to run across the ground and
15 chase us away, but we wanted to be able to control that.

16 Q. Okay.

17 A. So we rolled the car up. We observed no liquid coming out of
18 the puncture, so we knew that the liquid inside the car was below
19 that. And then from there, we ran a pipe from the protective
20 housing on the liquid line off the car, and then we bury a pipe
21 that goes into that same pit, and then we, in a controlled sense,
22 liquid flare the car. So we very easily open the valve, make sure
23 that we won't have a problem with an excess flow check valve, you
24 know, actuating, and then we liquid flared the car.

25 Once we liquid flared the car, we were able to start vapor

1 flaring. That's where you saw the vapor stack where we've -- gas-
2 free the car. We had a nitrogen -- truck of nitrogen brought in.
3 We were able to flood that car with nitrogen, and continue to gas-
4 free it, and we did that for -- I'd have to go back and look at my
5 timeline. We did it for a pretty long time to gas free the car.
6 And then once the car was gas-free, we pulled the protective
7 housing and the pressure plate. Pulled that out of the car to
8 ensure that there weren't going to be any problems with flare-ups,
9 that we had 100 percent, you know, zero -- gas-free zero pressure
10 car.

11 And then from there, the car was actually moved over to our
12 staging area where your team was able to access it, and we were
13 able to get you the coupons that you guys needed. So --

14 Q. Did the pressure relief device ever actuate on the propane
15 car?

16 A. I never observed it.

17 Q. No. Okay.

18 A. If it did, I didn't observe it.

19 Q. Okay. And you mentioned that at some point you decided you
20 had control over the car. What were those circumstances that made
21 the scene under control?

22 A. We knew we had originally a loaded car product, down to less
23 than 25 percent of that lading remaining.

24 Q. Okay.

25 A. So substantially less product and substantially less pressure

1 on the car. Those two factors alone were -- you know, made it to
2 the point where we could manage that risk to handle that car. I
3 mean, these cars are built extremely well. And between
4 substantially less lading, substantially less pressure, and we
5 could positively identify the type of damage on the car. Those
6 three things I would say is what allowed us to be comfortable with
7 uprighting the car.

8 Q. So you were comfortable at that point that there was no
9 longer any danger that the tank was going to fail or --

10 A. I did not have any reason to believe that, no.

11 Q. Even with that bulge in the shell?

12 A. At that point, with 8 pounds of pressure, the amount of --
13 you know, based on, well, a lot of stuff that I've read coming out
14 of this office --

15 Q. Right.

16 A. -- it takes a lot more pressure to cause metal to fail at a
17 catastrophic rate. So I was very comfortable with the pressures
18 that we were managing.

19 Q. Okay. So this action that was taken to flare-off the
20 remaining product, was there any problem with the timing of this?
21 Was it -- you know, was there anything driving those decisions in
22 terms of outside pressure from the other agencies that were there
23 on scene or getting the service restored? Was any of that
24 factored into --

25 A. No, sir. I never once heard a conversation about, you know,

1 we have to get this cleared because of service restoration. I
2 never felt there was any pressure from the agencies. I think the
3 pressures that were there were self-induced because we knew we had
4 a town evacuated and we wanted to get these people back in their
5 homes.

6 Q. Right.

7 A. As many as possible. Only because in my experience as a
8 first responder, I know the longer you keep people out of their
9 homes the more problems can become compounded for that community.
10 So getting them back, that was a pressure I would say that that
11 was self-induced by us. And once we had that car under control,
12 the other problems that we were dealing with was sulfur dioxide
13 from the molten sulfur car that was burning. So but we knew we
14 couldn't -- we knew we couldn't begin to work on that fire and
15 deal with that problem until we dealt with that propane car.

16 Q. How was the sulfur, molten sulfur fire extinguished finally?

17 A. We made an approach to the car. We were able to identify
18 that there appeared to be a large hole in the side of the car that
19 we knew we were able to get close to using thermal imaging,
20 thermometer guns and those types of things. We were able to
21 confirm that the actual tank jacket itself was as hot as the fire
22 that was on the ground. So we knew there was still an active
23 fire, it wasn't just smoldering.

24 And what we wanted to do was cool the steel of the car at
25 first. So initially we tore away all of the jacket we could tear

1 away from the sulfur car that was ruptured, and we flooded the
2 outside of that car with water, and were able to get a very
3 dramatic cooling effect on the tank shell. But when we realized
4 that wasn't going to extinguish the fire, we immediately put in a
5 water stream inside the hole, very brief -- it was less than a
6 minute -- to allow kind of a crusting effect over the molten
7 sulfur. That was what we were trying to do. And then that
8 knocked down enough of the SO2 that we were able to safely get two
9 folks in PPE and SCBA up there with nitrogen sponges, and then get
10 them down into the car, and then we flooded that car with
11 nitrogen. And within minutes the fire was out.

12 Q. Okay. As far as working with the local emergency responders
13 on scene, what -- how would you describe their state of
14 preparedness for this incident?

15 A. I would describe their state of preparedness as on par with
16 most localities that have a volunteer fire service as their
17 primary service. That -- and by on par, it's the highest
18 compliment, meaning, you know, that they weren't prepared for a
19 train derailment that morning, but they were prepared for the
20 hazards. And they were very basic in their approach and you could
21 tell that they -- their strengths were the basics: You know,
22 let's get folks back; let's get hose lines, you know, in a
23 defensive posture to make sure that the incident doesn't get
24 bigger; you know, incident stabilization, those types of things.

25 So could I go to any firefighter in that company and say,

1 what kind of tank car are you dealing with today or what's the
2 fuel capacity on a locomotive? Probably not. But they obviously
3 had a large volume of fire problem. We had a three-dimensional
4 fire. They knew they had hazardous materials involved. So their
5 priority was life safety and evacuation and instant stabilization
6 by putting cotton on the ground. And so, you know, I mean,
7 unfortunately these things just don't happen with the experts
8 right around the corner. And I thought that all of their response
9 actions were appropriate and on point.

10 Q. Good, good. Were there any -- have you all had a hot wash or
11 lessons learned meeting or anything at this point?

12 A. We have not had a formal hot wash. Two weeks into the
13 incident -- might have been a week. Week or two into the incident
14 -- the local fire department meets every Tuesday night. Sometimes
15 it's a formal business meeting or trainings a lot of times. But
16 every Tuesday night it's just a -- it's a way for them to get
17 together, and they -- and the first opportunity that Tuesday, I
18 know that all the hazmat staff that was on scene, we went out
19 there. It must have been the first -- after the first week.

20 So we went out there that Tuesday night, and had a very
21 informal us thanking them very much for, you know, coming to our
22 assistance and all of their actions. And allowed an opportunity
23 for some questions, although there weren't very many. We have not
24 had a formal -- we haven't had a formal sit-down, hey, guys, let's
25 go through the timeline and, you know, the discussions moving

1 forward. We are certainly going to do that. It's yet to be
2 scheduled, but -- and we're still in their town right now cutting
3 up cars and things like that. We're trying to get that done. And
4 then lining up some additional training for them as well.

5 Q. Good. Good. Well, was there -- at this point I know it's
6 probably a little early for this, but are there any lessons
7 learned that you think would be helpful to share with the hazmat
8 response community? Anything major that seems to be recognized
9 from this incident?

10 A. I'm going to reserve my answer to be I think there's going to
11 be a lot, but I'm still going through a lot of that in my head.

12 I think the one thing that is evident right now is if there
13 is ever any doubt about how strong these tank cars are and the
14 amount of damage that they can sustain when they're built properly
15 and they're maintained properly, transported safely, those types
16 of things, that in the rare event that there is an accident that
17 these cars are extremely strong. How do you quantify or put that
18 into a measurable dynamic so that you can account for that in risk
19 assessment? It's hard to do. But I think that the more first
20 responders, the more potential incident commanders see that, and
21 they see the information that comes out publicly about how well
22 these cars are built and those things and how tough they are, that
23 allows you to make a more educated decision, an educated risk
24 assessment. Because the flip side of this is that everyone in
25 there could have been screaming and running around crazy and not

1 doing anything, not getting anything accomplished, and that's not
2 what happened. But I think this is clear evidence that that car
3 obviously took a pretty good punch to make that kind of damage,
4 and it didn't break apart. It didn't. It didn't do a lot of
5 things that we were prepared for. Not that we shouldn't always be
6 prepared for. I would say that's first and foremost.

7 I think there's going to be some other things that come out,
8 on the nerd side of hazmat, I think that's going to help out some
9 things later on. But I'm still kind of collecting my thoughts
10 with those types of things. But I'm sure we'll be discussing that
11 at a later date, another venue.

12 But, you know, I -- the only other thing I can come up with
13 is that the approach to hazardous materials, emergency response to
14 hazardous materials should never be -- you should never confine
15 yourself with pre-selected tactical doctrine. And I say that --
16 fire departments across the country use a tactical doctrine: I'm
17 going to fight a house fire like this based on this number of
18 people and this number of trucks or this number. And while we've
19 always said hazmat can't be done that way, I think we really need
20 to firm up that the tactical doctrine for emergency response to
21 hazardous materials is, you know, safety first, but you have to
22 make educated decisions on your risk assessment. And you have to
23 make -- you have to reach out to industry and find out, okay, what
24 is the best way to handle this particular problem with this
25 particular container or this particular material. And I think

1 those are probably two of the best takeaways so far.

2 Q. On this incident, did you need to reach back to the shipper
3 for any assistance?

4 A. I did not need to. The biggest thing that I needed kind of
5 confirmation on was, for the sulfur cars, when were they loaded?
6 Obviously, we still had quite a bit of molten sulfur that ran out.
7 So that was -- when was that loaded? When was the asphalt or the
8 elevated temperature loaded? But I needed to know was this
9 propane, butane, isobutene? What kind of LPG was this? Because I
10 knew that that material was going to react very differently in
11 terms of burn rates and those types of things.

12 So I did not personally reach out. That was done outside of
13 -- again, I had no cell phone or -- service or anything like that.
14 But that SDS was handed to me by Mike and said this is -- we've
15 confirmed this is what it is. And with the amount of LPG that's
16 on the -- that's in, you know, transportation today, there's a few
17 products out there that we're expected to know our stuff with, and
18 that's one of them. So I feel very comfortable with that product,
19 knowing -- once I had the SDS in hand.

20 Q. Right. So LPG is one of those larger volume hazmats that are
21 transported by rail. One of the top three to four, I think. Is
22 there -- I guess CSX has training scenarios for these sorts of
23 things.

24 A. Yes, sir. Proudly, CSX has a very dynamic training program.
25 Everything from firehouse-delivered emergency response to railroad

1 incidents basic level training, where the hazmat manager will go
2 into a firehouse of 12 people or a high school auditorium of 100
3 people. We work with communities, perform something called Crisis
4 Management Exercises, where we have a contractor who will come in
5 and perform what most would think would be a tabletop exercises,
6 but this is pretty extreme. There's lights and there's phones
7 going off, and there's, you know, lots of pictures and things
8 constantly changing. But that's more of the emergency management
9 incident commander level. And then, of course, we have the REDI
10 Center. So we have a very nice facility that we've used down
11 there for training everybody from contractors to first responders.
12 So --

13 Q. I know this is fairly -- a fairly rare event. Uncontrolled
14 propane or LPG release doesn't happen nearly as often as other
15 types of releases. How many of these have you handled like this
16 before?

17 A. This is the first one from a derailment that I have seen like
18 this where it sustained this kind of damage. I have seen this in
19 industry. I've seen this in rail yards where, you know, during
20 switching operations and cars would come together or humping
21 operations or those types of things, I've seen those types of
22 releases, but not when you had -- not when you combine, you know,
23 a ground cover fire underneath it and other types of influences on
24 the car. Usually it was very specific, and you had two cars come
25 together in a sideswipe event or you had a bypass coupler event or

1 you had something like along those lines or, you know, in industry
2 they've had valve failure or something like that. I've seen
3 those, but nothing like this, sir.

4 MR. STANCIL: Okay.

5 Randy, do you have any --

6 BY MR. KELTZ:

7 Q. I just wanted to circle back on -- you made a comment about
8 the -- to the local fire folks, you instructed them to go contact
9 the train crew to get a hold of the documentation for the train
10 that spelled out what was in the train. Did they know to do that
11 on their own or did you have to kind of coax them that way to --

12 A. Actually, and I -- forgive me because I was describing my
13 actions at the time. What I later found out was that the fire
14 chief himself lives a block south of that. So he was on the
15 southside of the derailment, and he later told us that within 5
16 minutes after arrival, his chief on the other side had that
17 paperwork.

18 Q. Okay. So they knew to get a hold of the crew?

19 A. They knew to get a hold of it.

20 Q. Okay.

21 A. They knew to seek it out, and they had access to it under 10
22 minutes. I didn't know that until afterwards. That was why my
23 instructions were to them, call this number.

24 Q. Go get it.

25 A. Go get it.

1 Q. All right.

2 A. And this will -- and, of course, by that time other
3 departments of CSX started to show up. Our Mechanical Department
4 showed up. He had like five different copies of the consist. I
5 mean, he -- and we were able to hand those out. And I think one
6 of their local hazmat trucks had a fax machine on it or something
7 like that, and they were getting, constantly getting, you know,
8 more and more pages of it. So at that point, when I had asked for
9 them to do that, they had actually already had it on the other
10 side.

11 Q. All right.

12 A. I don't know to what extent, you know -- I don't know what
13 happened. Did the conductor sit down, say let me show you what's
14 going on here? I don't know any of that, but I know -- I found
15 out after the fact they had access to it immediately, and they
16 knew to ask for it.

17 Q. Okay.

18 A. So --

19 MR. KELTZ: That's good.

20 MR. STANCIL: Steve, do you have anything?

21 MR. AMMONS: No.

22 BY MR. STANCIL:

23 Q. Well, Joe, is there anything that we haven't asked you about
24 that you think would be important to add, or --

25 A. Gosh. Not that I can think of right off the top of -- I

1 mean, I -- we didn't have to worry about underground utilities. I
2 mean, there were utilities there, but they weren't -- you know, it
3 wasn't natural gas lines and things like that. We didn't have a
4 lot of those outside factors.

5 I don't know how that fire stopped burning where it did
6 behind the house. I mean, there was some heat damage obviously to
7 the back of that house. I don't -- I can't think of anything
8 right off the top.

9 It was pretty, pretty chaotic at first. You train to always
10 be the first guy arriving on-site, you know, in a few minutes, and
11 -- but in the end, your priorities are those folks. So much of my
12 time was trying to get them out and to get as much information
13 that I could see in between the houses looking at the car at the
14 same time, trying to multitask. So it was -- I think it's pretty
15 straightforward.

16 Q. So I know at least until the time we were there, there had
17 not been any injuries reported. Was that -- is that still the
18 case? Any work-related on-scene mishaps or anything?

19 A. I'm not aware of any injuries; not that I can recall.

20 Q. Okay.

21 A. Certainly not involved with -- take that back. During the
22 re-railing operation, I believe one of the treads came -- broke
23 away from one of the cranes. And I don't think there was -- I
24 think it was a near miss. I don't think it was an injury. But
25 PPE was on and -- but no, I've not -- I'm not aware of any other.

1 MR. STANCIL: Okay. Anything else?

2 We'll go ahead and terminate the interview and bring
3 Mr. Austin in.

4 Thank you very much.

5 (Whereupon, the interview was concluded.)

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE

This is to certify that the attached proceeding before the

NATIONAL TRANSPORTATION SAFETY BOARD


IN THE MATTER OF: CSX TRAIN DERAILMENT IN HYNDMAN,
PENNSYLVANIA, AUGUST 2, 2017
Interview of Joseph Taylor

ACCIDENT NO.: DCA17FR011

PLACE: Washington, D.C.

DATE: September 7, 2017

was held according to the record, and that this is the original,
complete, true and accurate transcript which has been transcribed
to the best of my skill and ability.


Katherine Motley
Transcriber

NATIONAL TRANSPORTATION SAFETY BOARD

NOTICE AND ASSURANCES TO INTERVIEWEE REQUESTED TO PROVIDE INFORMATION ON A VOLUNTARY BASIS

You are being asked to provide information as part of an investigation being conducted by the NATIONAL TRANSPORTATION SAFETY BOARD (NTSB) regarding the derailment of CSX Transportation Train Q38831 in Hyndman, Pennsylvania on August 2, 2017.

This interview is voluntary. Accordingly, you do not have to answer questions.

The purpose of NTSB investigations is to increase safety, not to assign fault, blame or liability. Our sole mission is to improve transportation safety and prevent accidents.

The NTSB cannot, however, offer any guarantee of confidentiality or immunity from any legal or certificate actions by other agencies, whether local, state, or federal.

A transcript of this interview will eventually be placed in the public docket for this investigation, which will be available via the NTSB website.

ACKNOWLEDGMENT

I understand this notice and am willing to make a statement and answer questions. No threats or promises have been made to me and no pressure or coercion of any kind has been used against me.

SEPTEMBER 7, 2017
(Date/Time)

NTSB HEADQUARTERS
(Location)

PAUL L. STANLIL
(NTSB Interviewer's Printed Name)

[REDACTED]
(NTSB Interviewer's Signature)

JOSEPH L. TAYLOR
(Printed Name)

[REDACTED]
(Signature)

STEVEN M. AMMONS
(Attorney or Representative Printed Name)

[REDACTED]
(Attorney or Representative Signature)

RAUDY M. KEETZ JR. (FRA HM)
(Interviewer's Printed Name)

[REDACTED]
(Interviewer's Signature)